

COMMISSION OF INQUIRY
ON HORMONE RECEPTOR TESTING

BEFORE THE HONOURABLE JUSTICE CAMERON - COMMISSIONER

July 23, 2008

Appearances:

Bernard Coffey, Q.C. Commission Co-counsel

Sandra Chaytor, Q.C. Commission Co-counsel

Rolf Pritchard/Jackie Brazil Her Majesty in Right of NL

Peter Browne/Jane Hennebury Doctors Kara Laing et al

Daniel Simmons/Beth Whalen Eastern Regional Integrated
. Health Authority

Pamela Taylor. Members of the Breast Cancer
. Testing Class Action

Mark Pike NL Medical Association

Jennifer Newbury Canadian Cancer Society (NL Division)

Blair Pritchett. Central, Western and Labrador-Grenfell
Regional Integrated Health Authorities

LIST OF EXHIBITS

EXHIBIT P-2409 AND P-2429 Pg.132

EXHIBIT P-2304 Pg. 165

TABLE OF CONTENTS

MR. BARRY DYER - RESUMES THE STAND

Examination by Sandra Chaytor, Q.C. - Cont'd . . . Pgs. 4 - 202

Examination by Jackie Brazil Pgs. 202 - 206

Examination by Peter Browne Pgs. 206 - 283

Examination by Blair Pritchett Pgs. 283 - 299

Examination by Jennifer Newbury Pgs. 299 - 372

Examination by Daniel Simmons Pgs. 372 - 410

Re-examination by Sandra Chaytor, Q.C. Pgs. 410 - 419

Certificate

1 THE COMMISSIONER:

2 Q. Please be seated. Ms. Chaytor.

3 MR. BARRY DYER, RESUMES STAND, EXAMINATION BY SANDRA

4 CHAYTOR, Q.C. (CONT'D)

5 CHAYTOR, Q.C.:

6 Q. Good morning, Commissioner. Good morning, Mr.

7 Dyer.

8 MR. DYER:

9 A. Good morning, Ms. Chaytor.

10 CHAYTOR, Q.C.:

11 Q. If we could have, please, C-0184? Mr. Dyer,

12 this is one of the pathology reports that I

13 took you to yesterday that had two different

14 results.

15 MR. DYER:

16 A. Yes.

17 CHAYTOR, Q.C.:

18 Q. And you indicated that you would have went

19 with the more recent result and if it showed

20 that there was positivity, that would not have

21 gone into your pile, in terms of the ones you

22 would be forwarding on for retest?

23 MR. DYER:

24 A. Yes.

25 CHAYTOR, Q.C.:

Page 5

1 Q. Okay, and you would look at the most recent
 2 test and see whether it was positive or
 3 negative?
 4 MR. DYER:
 5 A. Yes.
 6 CHAYTOR, Q.C.:
 7 Q. Okay. In this particular case, it's 12 days
 8 apart, the two tests, I mean, are 12 days
 9 apart. What system is in place, to your
 10 knowledge, to ensure that the treating
 11 physician would be made aware of the second
 12 addendum to this report?
 13 MR. DYER:
 14 A. Currently you mean or -
 15 CHAYTOR, Q.C.:
 16 Q. Back in 2002, when this was happening,
 17 presumably the oncologist or the treating
 18 physician would have received the report on, I
 19 think this one is July 10th, 2002, and would
 20 have received the addendum saying that there's
 21 negative--no positivity for estrogen
 22 receptors. 12 days later it's repeated.
 23 Would that necessarily have been brought to
 24 the attention of the oncologist or the
 25 treating physician, and if so, how?

Page 6

1 MR. DYER:
 2 A. I think that would--that's a clinical
 3 question. I wouldn't be able to explain. I
 4 know from a technical point of view, the
 5 system automatically generates a report. So
 6 technically speaking, from my point, what
 7 happens is this report would have been
 8 automatically generated the next morning at
 9 six a.m. when it was--the day before. If it's
 10 signed out yesterday, it would be generated
 11 today, and then it would be sent to the
 12 physician. So I guess it would be a clinical
 13 issue of if the pathologist actually contacted
 14 them or anything like this. I wouldn't know.
 15 CHAYTOR, Q.C.:
 16 Q. Okay. So would a hard copy be sent every time
 17 there's an addendum, a new -
 18 MR. DYER:
 19 A. Every single time, yes.
 20 CHAYTOR, Q.C.:
 21 Q. There should be?
 22 MR. DYER:
 23 A. The system automatically would generate the
 24 report, based on what we call sign out. So
 25 when a physician signs out a report, that

Page 7

1 triggers the computer to print that report six
 2 a.m. the next morning.
 3 CHAYTOR, Q.C.:
 4 Q. Okay, and so hopefully or you would expect, in
 5 any event, that the treating physician would
 6 have received 12 days later or thereabouts
 7 would have received the addendum number two?
 8 MR. DYER:
 9 A. Yes.
 10 THE COMMISSIONER:
 11 Q. Is it marked as addendum number two on what's
 12 produced the next morning?
 13 MR. DYER:
 14 A. Yes, just as you see it there, Madam
 15 Commissioner.
 16 THE COMMISSIONER:
 17 Q. So if--what I'm inquiring about is whether or
 18 not if a pathologist did a report within a
 19 week or say two of the first report, is there
 20 something on the second report so that the
 21 person receiving it knows this is not just a
 22 second copy of what I just read a few days
 23 ago?
 24 MR. DYER:
 25 A. Yes, if they put in addendum number one, the

Page 8

1 report would actually print out addendum
 2 number one, as you see there, or then it would
 3 say addendum number two, as you would see
 4 there.
 5 THE COMMISSIONER:
 6 Q. Okay, thank you.
 7 MR. DYER:
 8 A. And you can put in as many addendums as you
 9 like. It would just keep track of the
 10 numbers.
 11 THE COMMISSIONER:
 12 Q. But the report you get notes that it is an
 13 addendum?
 14 MR. DYER:
 15 A. Yes.
 16 THE COMMISSIONER:
 17 Q. Okay.
 18 CHAYTOR, Q.C.:
 19 Q. And can you access Meditec for something
 20 that's been entered or does it have to be
 21 signed out before you can access it?
 22 MR. DYER:
 23 A. For pathology itself?
 24 CHAYTOR, Q.C.:
 25 Q. Yes.

Page 9

1 MR. DYER:
 2 A. The report has to be signed out before anybody
 3 can access it.
 4 CHAYTOR, Q.C.:
 5 Q. Okay. So in a situation where we have two
 6 different reports in a relatively short time
 7 period or whenever you saw this in going
 8 through your process, you and Mr. Gulliver in
 9 2005, you didn't just look at those as well as
 10 this equivocal, should we put it to one side
 11 and bring those to Dr. Cook's attention as
 12 well?
 13 MR. DYER:
 14 A. Again, it all came down to, you know, like if
 15 the cutoff was ten and we had a ten or if it
 16 commented on like faintly positive, something
 17 like this, I would contact Dr. Cook. But
 18 something like this, I would imagine if it's
 19 30 percent are positive and the cutoff was ten
 20 percent, this would be considered a positive.
 21 CHAYTOR, Q.C.:
 22 Q. Yes. So there wasn't any--you didn't have a
 23 rule of thumb if there were more than one
 24 report on ER and PR that we'll put that to one
 25 side and bring it to Dr. Cook's attention and

Page 10

1 then he can check to see whether or not in
 2 fact the second report was ever -
 3 MR. DYER:
 4 A. No, I don't think so. I think we just went by
 5 what the report would say.
 6 CHAYTOR, Q.C.:
 7 Q. You just went by the numbers on the second
 8 report?
 9 MR. DYER:
 10 A. Yes, and I don't even know if we would have
 11 been cognizant at the time, like when we read
 12 that addendum two and it said it was 30
 13 percent, then that patient was not sent for
 14 retest, in this scenario.
 15 CHAYTOR, Q.C.:
 16 Q. The next day when the report is generated,
 17 does the entire report come out again or is it
 18 just the addendum?
 19 MR. DYER:
 20 A. No, the previous diagnosis and that would also
 21 be printed.
 22 CHAYTOR, Q.C.:
 23 Q. So the entire report?
 24 MR. DYER:
 25 A. The entire report would print again.

Page 11

1 CHAYTOR, Q.C.:
 2 Q. So the treating physician might not be alerted
 3 to this is a difference in the report?
 4 There's nothing to bring to their attention
 5 that there's actually an addendum? Whether or
 6 not they might look at it and say "well, gee,
 7 I already got this yesterday" or four days
 8 ago.
 9 MR. DYER:
 10 A. It was just the data section, the addendum
 11 data section was what would highlight.
 12 THE COMMISSIONER:
 13 Q. I'm sorry, what you're highlight?
 14 MR. DYER:
 15 A. As you can see there, it has a--the word
 16 addendum, that's an actual what we call a data
 17 section and that's what would be highlighted
 18 on the report.
 19 CHAYTOR, Q.C.:
 20 Q. Yes, and that's highlighted for all the
 21 addendums?
 22 MR. DYER:
 23 A. Yes.
 24 CHAYTOR, Q.C.:
 25 Q. You mean like we're looking at here, it's in

Page 12

1 black?
 2 MR. DYER:
 3 A. Yes, it's in black.
 4 CHAYTOR, Q.C.:
 5 Q. Okay, and that's standard. Like here we see -
 6 MR. DYER:
 7 A. Yes, that's standard.
 8 CHAYTOR, Q.C.:
 9 Q. Yes, so those are your headings?
 10 MR. DYER:
 11 A. Yes.
 12 CHAYTOR, Q.C.:
 13 Q. But there wouldn't be, for example, in this
 14 case, the second addendum wouldn't otherwise
 15 be highlighted to alert the treating physician
 16 to pay attention to this portion of the
 17 report? You're not saying that--what I'm
 18 seeing is that a treating physician is getting
 19 a report again 10 or 12 days later.
 20 MR. DYER:
 21 A. Yes.
 22 CHAYTOR, Q.C.:
 23 Q. Is there anything done to bring to their
 24 attention that this is not, in fact, the same
 25 report you received before there's a new

Page 13

1 portion?
 2 MR. DYER:
 3 A. No, technically no.
 4 CHAYTOR, Q.C.:
 5 Q. Okay, and is that still the case today?
 6 MR. DYER:
 7 A. I believe it is, yes.
 8 CHAYTOR, Q.C.:
 9 Q. Okay. Just one other question, in the August
 10 1 meeting, '05 meeting when Dr. Carter made
 11 the comment about there not having been any
 12 positives in a certain time period, any
 13 positive ERs in a certain time period, and you
 14 testified yesterday that that was certainly
 15 directed towards Mr. Gulliver and you. Was
 16 that comment directed towards any other
 17 particular group in attendance?
 18 MR. DYER:
 19 A. I don't--no, I don't think so. It didn't
 20 appear, but again, it was a different time. I
 21 don't know if it was--I thought that she was
 22 actually--she was looking right at us, I
 23 believe, when those statements were being
 24 said.
 25 CHAYTOR, Q.C.:

Page 14

1 Q. And so was there anything said in terms of the
 2 oncologists and the oncologists, whether or
 3 not they were tracking any trends?
 4 MR. DYER:
 5 A. Not that I can remember, no.
 6 CHAYTOR, Q.C.:
 7 Q. And you told us that Mr. Gulliver's response
 8 at the time was basically "why, if you've
 9 known this, are you only telling us this now?"
 10 MR. DYER:
 11 A. Yes, I think that was his response at the
 12 time. "you're saying those things, why am I
 13 only hearing it now?" something to that
 14 effect.
 15 CHAYTOR, Q.C.:
 16 Q. Okay, and that was aimed at the pathologists?
 17 MR. DYER:
 18 A. That was aimed at Dr. Carter.
 19 CHAYTOR, Q.C.:
 20 Q. At Dr. Carter. In the task that you and Mr.
 21 Gulliver, the task that you were assigned back
 22 in August of 2005 in trying to identify the
 23 patients and pull the appropriate reports and
 24 specimens, in doing that, did you ever engage
 25 anyone from information management or any IT

Page 15

1 specialist?
 2 MR. DYER:
 3 A. No.
 4 CHAYTOR, Q.C.:
 5 Q. Okay, and why not?
 6 MR. DYER:
 7 A. I think in terms of--I don't know if we never
 8 thought of it at the time, but when it came to
 9 the actual Meditec system, they didn't have a
 10 lot of knowledge about it. It was like for
 11 example, back in '91, I was the one who was
 12 sent away. None of the staff--I think Mr.
 13 Gulliver might have went away in '87 or '88,
 14 around that time, when they set it up. So we
 15 were the people who really understood the
 16 Meditec system.
 17 CHAYTOR, Q.C.:
 18 Q. So anybody who would have been in house at
 19 Eastern Health at the time, in terms of IT,
 20 you felt that your knowledge of the system was
 21 equal, if not better, than theirs?
 22 MR. DYER:
 23 A. Yes, for sure. We had--just as a note to
 24 that, in '07, I did get together with IT, a
 25 bunch of their staff, to see and explain to

Page 16

1 them about the--I took them completely through
 2 the Meditec system to see if they could
 3 actually put together, I guess, a database, if
 4 you will, of all this information, and they
 5 couldn't. They really struggled. They felt
 6 that the only way that it could have been
 7 done, at the end of the day, was the way we
 8 actually did it.
 9 CHAYTOR, Q.C.:
 10 Q. And did you make any inquiries of Meditec, the
 11 company?
 12 MR. DYER:
 13 A. No.
 14 CHAYTOR, Q.C.:
 15 Q. And why not?
 16 THE COMMISSIONER:
 17 Q. Who does your servicing?
 18 MR. DYER:
 19 A. Who does the servicing?
 20 THE COMMISSIONER:
 21 Q. Yes, if you have problems with your Meditec
 22 system?
 23 MR. DYER:
 24 A. It goes through information management. I
 25 think there's a contact person with Lab who

Page 17

1 would deal directly with Meditec.
 2 THE COMMISSIONER:
 3 Q. So if your Meditec system goes down today -
 4 MR. DYER:
 5 A. Then I -
 6 THE COMMISSIONER:
 7 Q. - do you have to contact someone from outside
 8 the province to get it up again?
 9 MR. DYER:
 10 A. Yes. Yes, they do, but that--when things go
 11 down, it doesn't usually have an impact or
 12 doesn't have--how can I explain it? When
 13 things--when the system shuts down, it's not
 14 usually something that we're using on the
 15 system, like a search or like how we do data
 16 entry. It's more--I think it's more
 17 complicated to the overall system. Am I
 18 making--I don't know if I explained it.
 19 THE COMMISSIONER:
 20 Q. Okay, I understand that there is a difference
 21 in the question of the development of programs
 22 and their capability and the actual
 23 troubleshooting, to use the terminology that
 24 seems to be used, of problems with your
 25 computer system and that perhaps different

Page 18

1 people would do it, but since your IT people
 2 don't seem to be up on Meditec, does that mean
 3 they don't service it either?
 4 MR. DYER:
 5 A. No, they're up on Meditec, but I don't think
 6 they're up on the actual like how to do a
 7 search or how to add markers or how to add--
 8 how to write specific dictionaries, things
 9 like this.
 10 THE COMMISSIONER:
 11 Q. Okay. So what you're saying really is your IT
 12 people are service people for IT. They're not
 13 in the development of programs or that kind of
 14 -
 15 MR. DYER:
 16 A. Not that I know of, not too much for Meditec,
 17 for laboratory.
 18 CHAYTOR, Q.C.:
 19 Q. And so you, yourself, in going through your
 20 process in August 2005, didn't see the need to
 21 contact Meditec or seek any assistance from
 22 that?
 23 MR. DYER:
 24 A. To be honest, I don't even think it came to my
 25 mind. I think the focus was we just went

Page 19

1 right at it, to get as much as we could done.
 2 I don't think I even thought of it.
 3 CHAYTOR, Q.C.:
 4 Q. And for example, the people that we talked
 5 about, it came to your knowledge some time
 6 later that somebody had been missed or at
 7 least one patient had been missed because
 8 there had been an ER test ordered, but not
 9 actually reported and -
 10 MR. DYER:
 11 A. Yes.
 12 CHAYTOR, Q.C.:
 13 Q. - whether or not there were other patients
 14 that fit that category and how you might be
 15 able to access them in the system, no
 16 inquiries were made of anyone as to how that
 17 might be accessed?
 18 MR. DYER:
 19 A. Not from me, no.
 20 CHAYTOR, Q.C.:
 21 Q. Okay, and well, would it be made from anyone
 22 else, if -
 23 MR. DYER:
 24 A. I don't know, but I personally didn't, no.
 25 CHAYTOR, Q.C.:

Page 20

1 Q. I'd like to turn now then and discuss the
 2 external reviews which took place in--sorry?
 3 MR. DYER:
 4 A. Can I just go through one more thing with -
 5 CHAYTOR, Q.C.:
 6 Q. Sure, absolutely.
 7 MR. DYER:
 8 A. - with this whole review?
 9 CHAYTOR, Q.C.:
 10 Q. Yes.
 11 MR. DYER:
 12 A. Just to show, like it was a really--it was
 13 like an organizational nightmare. When we
 14 started the review, of course, in pathology,
 15 we have--everything is identified as a
 16 department. So one thing that's big, as
 17 you've heard all throughout this Inquiry, is
 18 called surgicals and so mostly when you're
 19 looking at these cases, you'll see the number,
 20 you know, SU. So we had--I think we had eight
 21 or nine labs in Newfoundland who were doing
 22 testing or doing breast work and they would
 23 send in their cases to us. So you can see
 24 this here, this SU for example. So everybody
 25 in the province today, like starting January

Page 21

1 I, has SU1, SU2, SU3, SU4. So when all this
 2 stuff was coming in, you know, we could--
 3 everybody was SU and so it was very
 4 challenging because as multiple cases came in,
 5 there could have been an SU-2000 from Health
 6 Science and there could have been an SU-2000
 7 from St. Clare's. So it was like it was an
 8 organizational nightmare to try and keep
 9 everything separate and organized so that we
 10 wouldn't--so that those types of things
 11 wouldn't be missed. It was unreal what we had
 12 to go through.

13 CHAYTOR, Q.C.:

14 Q. Okay, and in looking then at the external
 15 reviews, we understand that Trish Wegrynowski
 16 came in in September, around September 20th,
 17 2005. Did you meet with her while she was
 18 here for her first visit?

19 MR. DYER:

20 A. Yes, I did, I believe.

21 CHAYTOR, Q.C.:

22 Q. Okay, and were you also involved in any
 23 coordination for her to come in?

24 MR. DYER:

25 A. I think I was to a degree, yes.

Page 22

1 CHAYTOR, Q.C.:

2 Q. If we could look, please, at P-1746? And this
 3 is an e-mail exchange between you and Ms.
 4 Wegrynowski, for the most part, working out
 5 logistics, I believe, for her travel. I'll
 6 just take you down to the bottom of the page
 7 here. On August 19th, 2005, she's writing
 8 back to you and she says "Hi, Barry. It was
 9 very nice to touch base with you to discuss my
 10 upcoming trip to your institution. Below is a
 11 copy of the e-mail I sent Bev. Dr. Cook has
 12 since suggested the week of September 20th to
 13 25th." She goes on to say "thank you for your
 14 candour. I have a better understanding of the
 15 situation. I will await your call on Monday
 16 after your meeting for you to outline your
 17 expectations before making any arrangements."
 18 What do you recall discussing with her prior
 19 to her actually arriving in St. John's? What
 20 would she be referring to in saying "thank you
 21 for your candour" and she now has a better
 22 understanding of the situation?

23 MR. DYER:

24 A. I think I took her through what we were going
 25 through, about we had--in our

Page 23

1 immunohistochemistry, we had cases, I believe,
 2 at the time that were negative and now were
 3 positive, and so we had concerns, I guess
 4 concerns--or concerns were raised about how
 5 immuno was being performed. So I took her
 6 through that situation, what it was all about.

7 CHAYTOR, Q.C.:

8 Q. So just the fact that there were retests going
 9 on which indicated that--which were leading to
 10 inconsistent results?

11 MR. DYER:

12 A. Yes.

13 CHAYTOR, Q.C.:

14 Q. And was there anything other than that
 15 discussed with her?

16 MR. DYER:

17 A. No, I don't--you know, again, candour, I think
 18 I might have explained to her, you know, that
 19 the lab was under a lot of stress at the time,
 20 you know, so I might have said something like
 21 that to her too, just to let her know that,
 22 you know, it's like--it's not a Pandora's Box
 23 or anything, but it was really stressful
 24 times.

25 CHAYTOR, Q.C.:

Page 24

1 Q. So she's have a better understanding as to
 2 what she was walking into to do the review?

3 MR. DYER:

4 A. Yes, more than anything else, I believe.

5 CHAYTOR, Q.C.:

6 Q. In terms of people's mind frames?

7 MR. DYER:

8 A. Yes.

9 CHAYTOR, Q.C.:

10 Q. Okay, and what in particular was causing--what
 11 was causing the stress at that point in time?

12 MR. DYER:

13 A. I just think it's just the fact that, you
 14 know, we thought that, you know, I guess
 15 seriously, I think the issue was that, you
 16 know, errors--there was--not errors, but there
 17 were conversions. We knew that there were
 18 conversions by this time and I guess we were
 19 all worried that, you know, did we make a
 20 mistake.

21 CHAYTOR, Q.C.:

22 Q. Okay, and then you met with her when she
 23 arrived in St. John's?

24 MR. DYER:

25 A. Yes.

Page 25

1 CHAYTOR, Q.C.:

2 Q. And what do you recall discussing with her at

3 that time?

4 MR. DYER:

5 A. I think we met in my office and I just gave

6 her the outline, the lay out of the land, like

7 what we were doing, you know, a reference lab.

8 Specimens were coming in from all over. We

9 had just consolidated. We were doing work

10 over at--grossing was occurring at St.

11 Clare's. Like I took her through pretty well

12 everything of how the lab was working.

13 CHAYTOR, Q.C.:

14 Q. Okay. If we could look, please, at P-1745?

15 And these, we understand, are Ms.

16 Wegrynowski's notes of her meeting,

17 conversation with you, September 20th, 2005,

18 and she makes reference to the '96 reorganize.

19 Do you have any notes of your meeting with

20 her?

21 MR. DYER:

22 A. No.

23 CHAYTOR, Q.C.:

24 Q. And in terms of the other--we do have your

25 notes from the May 17th meeting.

Page 26

1 MR. DYER:

2 A. Yes.

3 CHAYTOR, Q.C.:

4 Q. Did you take any notes at the August 1st

5 meeting?

6 MR. DYER:

7 A. None. I'm not a note taker usually. It has

8 to be something that's big, before I actually

9 take notes, I'll be honest.

10 CHAYTOR, Q.C.:

11 Q. And there's a note here "fixation site

12 dependent." So I take it that's referring to

13 -

14 MR. DYER:

15 A. She must have asked about that, so I said yes.

16 CHAYTOR, Q.C.:

17 Q. And you're being a--you're referring--there's

18 samples being referred in from outside, I

19 guess, and so -

20 MR. DYER:

21 A. Yes.

22 CHAYTOR, Q.C.:

23 Q. - the fixation is not standard. "2002,

24 complete for organizations in St. John's, all

25 immunos." So St. John's doing the immunos?

Page 27

1 MR. DYER:

2 A. All the immunos, I guess.

3 CHAYTOR, Q.C.:

4 Q. And then there's a note here, "St. Clare's do

5 60 to 70 percent of breast and 50 percent are

6 reprocessed." Do you recall indicating that

7 to Ms. Wegrynowski?

8 MR. DYER:

9 A. I don't know if I might have said it to her,

10 but--and we may have discussed it. She may

11 have asked, you know, how do we process

12 specimens. She may have actually asked me

13 those types of questions. I don't know if I

14 actually told her we were reprocessing.

15 CHAYTOR, Q.C.:

16 Q. And her making a note of your conversation to

17 indicate that 50 percent are being

18 reprocessed, if you provided her with that

19 information, where would you have gotten that

20 statistic that it's up to 50 percent?

21 MR. DYER:

22 A. In '05? I don't know if I said 50 percent.

23 And again, no, I don't know where that came

24 from, where that number came from. I mean, if

25 she says I said it, I must have said it, but I

Page 28

1 don't remember saying 50 percent are

2 reprocessed.

3 CHAYTOR, Q.C.:

4 Q. Well, in 2005, would that be, in your opinion,

5 a reasonable estimate?

6 MR. DYER:

7 A. Maybe based on what techs told me, you know,

8 but that was--and again, I think we talked

9 about--this was about old specimens, I

10 believe, yes, right.

11 CHAYTOR, Q.C.:

12 Q. I'm sorry?

13 MR. DYER:

14 A. I think this was about old cases.

15 CHAYTOR, Q.C.:

16 Q. Old cases?

17 MR. DYER:

18 A. Yeah, not what was actually happening in '05.

19 I think she was asking me about, you know, our

20 history of how we processed and that over the

21 years.

22 CHAYTOR, Q.C.:

23 Q. So by 2005, you indicated yesterday things --

24 reprocessing was still happening, although to

25 a lesser extent?

Page 29

1 MR. DYER:
 2 A. In '05, very little, I would imagine, very
 3 little by then. In '05 when we consolidated
 4 and started doing all the embedding at Health
 5 Science, I don't think we were doing much
 6 reprocessing of anybody then.
 7 CHAYTOR, Q.C.:
 8 Q. Okay. So the 50 percent figure may be
 9 representative of over the years?
 10 MR. DYER:
 11 A. Yes.
 12 CHAYTOR, Q.C.:
 13 Q. What was coming out of St. Clare's?
 14 MR. DYER:
 15 A. Yes, and again I didn't have any stats or
 16 anything. It might have come from the techs.
 17 CHAYTOR, Q.C.:
 18 Q. Okay. Did you just have the one meeting with
 19 Ms. Wegrynowski, or did you meet with her
 20 again?
 21 MR. DYER:
 22 A. I think we met at the end -- before she left
 23 or before she had her -- I think her exit
 24 interview. It stands out for some reason that
 25 we actually met in Terry's office. I can see

Page 30

1 three or four people there.
 2 CHAYTOR, Q.C.:
 3 Q. And who attended that meeting besides yourself
 4 and Terry?
 5 MR. DYER:
 6 A. I can see Mr. Gulliver and myself, Trish, and
 7 Don Cook and -- I thought there was someone
 8 else in the office, but I can't place them.
 9 CHAYTOR, Q.C.:
 10 Q. So it was all lab people?
 11 MR. DYER:
 12 A. Yes, I think another pathologist was there,
 13 but I can't remember who it was.
 14 CHAYTOR, Q.C.:
 15 Q. Okay, and do you recall what was discussed in
 16 that meeting?
 17 MR. DYER:
 18 A. I think she just discussed about -- she made
 19 some point -- I mean, the first thing she said
 20 it was a great lab, great people, great staff,
 21 and she thinks they're all willing to move
 22 towards any recommendations -- she got the
 23 impression from just the way they talked that
 24 they're all very open and open to any
 25 suggestions, any ideas, and she talked about -

Page 31

1 - the big one she talked about was
 2 documentation and SOPs.
 3 CHAYTOR, Q.C.:
 4 Q. Okay.
 5 MR. DYER:
 6 A. I believe those two things definitely stood
 7 out in that meeting.
 8 CHAYTOR, Q.C.:
 9 Q. And in terms of saying great lab, great
 10 people, she's talking about the atmosphere and
 11 the people that are working there?
 12 MR. DYER:
 13 A. The staff themselves, yes. You know, we were
 14 very open. Whatever Ms. Wegrynowski wanted,
 15 we did. You know, like, whatever she wanted
 16 to see, she got to see. We didn't do anything
 17 to impede that process.
 18 CHAYTOR, Q.C.:
 19 Q. And given your efforts since taking on the
 20 position of manager in 2002 to bring about
 21 standardization and processes, I take it you
 22 didn't take issue with the fact that she was
 23 recommending or one of her key findings was
 24 the lack of SOPs?
 25 MR. DYER:

Page 32

1 A. At that time?
 2 CHAYTOR, Q.C.:
 3 Q. Yes.
 4 MR. DYER:
 5 A. No, I didn't. She also talked about the
 6 consolidation -- not consolidation, but she
 7 talked about all the equipment should be on
 8 one site, things like this, and it's things
 9 that I agreed with.
 10 CHAYTOR, Q.C.:
 11 Q. And those were things that you had been
 12 advocating for some time?
 13 MR. DYER:
 14 A. Yes.
 15 CHAYTOR, Q.C.:
 16 Q. And in terms of her findings regarding the
 17 state of affairs with respect to
 18 documentation, I take it you didn't take issue
 19 with that either?
 20 MR. DYER:
 21 A. Well, again I -- we never actually documented,
 22 but my answer and defense to her was we were
 23 performing all those procedures, like, we were
 24 doing our pH's and things like this before we
 25 ran reagents that would come in, but we

Page 33

1 weren't documenting, so I said we will -- so
 2 we started documenting within a couple of
 3 days. We actually started to documentation
 4 process immediately.
 5 CHAYTOR, Q.C.:
 6 Q. And your knowledge as to what was or was not
 7 happening in the IHC lab in that respect,
 8 you've told us that you didn't spend a whole
 9 lot of time in the IHC lab?
 10 MR. DYER:
 11 A. No, I didn't.
 12 CHAYTOR, Q.C.:
 13 Q. So whether that's happening, you're relying on
 14 who to tell you that?
 15 MR. DYER:
 16 A. Back then?
 17 CHAYTOR, Q.C.:
 18 Q. Yes.
 19 MR. DYER:
 20 A. No, but once we started, I relied on the techs
 21 to tell me.
 22 CHAYTOR, Q.C.:
 23 Q. Okay.
 24 MR. DYER:
 25 A. Now that we have a quality management program

Page 34

1 in place, they're actually monitoring.
 2 CHAYTOR, Q.C.:
 3 Q. Yes.
 4 MR. DYER:
 5 A. So now --
 6 CHAYTOR, Q.C.:
 7 Q. There's a system in place now to verify
 8 exactly what's happening?
 9 MR. DYER:
 10 A. Yes.
 11 CHAYTOR, Q.C.:
 12 Q. And Mr. Dyer, why had there not been
 13 documentation before this?
 14 MR. DYER:
 15 A. I don't think -- I just -- it's a good
 16 question and I thought about that, and I don't
 17 think anyone -- I don't think any lab was
 18 doing very much documentation at the time. We
 19 were extremely busy and the goal was just to
 20 get the work done. We did very little
 21 documentation.
 22 CHAYTOR, Q.C.:
 23 Q. Well, any lab in terms of -- you would have
 24 been familiar with the Janeway lab and you
 25 would have been familiar with Eastern Health

Page 35

1 or Health Care Corporation lab?
 2 MR. DYER:
 3 A. Yes, and from what I understand, there was
 4 very little documentation through a lot of the
 5 labs in terms of --
 6 CHAYTOR, Q.C.:
 7 Q. In St. John's.
 8 MR. DYER:
 9 A. In St. John's, in terms of what we're doing
 10 now.
 11 CHAYTOR, Q.C.:
 12 Q. If we could have, please, P-0048. I take it
 13 you did not attend the exit interview Ms.
 14 Wegrynowski had?
 15 MR. DYER:
 16 A. No.
 17 CHAYTOR, Q.C.:
 18 Q. But you had sort of a mini exit interview with
 19 the lab medicine program people?
 20 MR. DYER:
 21 A. Yes, I'm pretty sure we did.
 22 CHAYTOR, Q.C.:
 23 Q. Okay, and this is a copy of her first report
 24 then on May 2nd, 2006, and this is indicated
 25 this particular copy is one of four.

Page 36

1 MR. DYER:
 2 A. Yes.
 3 CHAYTOR, Q.C.:
 4 Q. And this was -- I'm sorry, this is not the
 5 right report. I'm looking for the November --
 6 P-0047. Yes, this is the right one. Sorry
 7 about that, Mr. Dyer.
 8 MR. DYER:
 9 A. That's okay.
 10 CHAYTOR, Q.C.:
 11 Q. And this is the November 9th report. So this,
 12 in fact, is the first report, copy seven of
 13 eight or one of four. Did you receive a copy
 14 of this report?
 15 MR. DYER:
 16 A. At the time?
 17 CHAYTOR, Q.C.:
 18 Q. Yes.
 19 MR. DYER:
 20 A. No.
 21 CHAYTOR, Q.C.:
 22 Q. Have you ever received a copy?
 23 MR. DYER:
 24 A. I got a phone call, I think, February of this
 25 year.

Page 37

1 CHAYTOR, Q.C.:

2 Q. February, 2008?

3 MR. DYER:

4 A. Yes, permission to read the report. So then I

5 read the report.

6 CHAYTOR, Q.C.:

7 Q. And that's after, I take it, Judge Dymond's

8 decision?

9 MR. DYER:

10 A. I think so, yes.

11 CHAYTOR, Q.C.:

12 Q. So you didn't receive a copy before that?

13 MR. DYER:

14 A. Of this one, no.

15 CHAYTOR, Q.C.:

16 Q. Well, did you receive a copy of either of her

17 reports?

18 MR. DYER:

19 A. I think I was involved to a degree with the

20 second report.

21 CHAYTOR, Q.C.:

22 Q. And you received a copy of the second --

23 MR. DYER:

24 A. Oh, no, I didn't receive an actual copy, but I

25 did get to see parts of it.

Page 38

1 CHAYTOR, Q.C.:

2 Q. Okay, and who would have shown you parts of

3 that?

4 MR. DYER:

5 A. I think it was Dr. Williams.

6 CHAYTOR, Q.C.:

7 Q. And in what context were you shown copies of

8 the reports?

9 MR. DYER:

10 A. To identify what actions needed to be done for

11 certain things that they felt may fall within

12 my responsibility.

13 CHAYTOR, Q.C.:

14 Q. So were you involved in the actual

15 implementation of the recommendations?

16 MR. DYER:

17 A. Yes.

18 CHAYTOR, Q.C.:

19 Q. And you were shown portions of the second

20 report, but not the first report?

21 MR. DYER:

22 A. Correct.

23 CHAYTOR, Q.C.:

24 Q. And you read the report, I take it, when you

25 received it in February?

Page 39

1 MR. DYER:

2 A. Yes, I actually read it, and I read it to the

3 entire technical staff.

4 CHAYTOR, Q.C.:

5 Q. Did you also provide them with copies of it?

6 MR. DYER:

7 A. Yes, I did.

8 CHAYTOR, Q.C.:

9 Q. And what were your overall impressions, did

10 you take issue with any portion of it or --

11 MR. DYER:

12 A. No, it was a very -- I thought it was a very

13 good report, good criticism, and again I felt

14 like we were doing a lot of the things that

15 the report was suggesting, however, we weren't

16 documenting what we were doing, so -- but it

17 is a good report.

18 CHAYTOR, Q.C.:

19 Q. Okay and, of course, ultimately there's a

20 spreadsheet prepared which has 52

21 recommendations, some of which were Dr.

22 Banerjee's, I think the majority are Ms.

23 Wegrynowski's, and some are both -- some are

24 both Dr. Banerjee and Ms. Wegrynowski's. Mr.

25 Dyer, when Ms. Wegrynowski was here, I think

Page 40

1 in interpreting what she had to say to the

2 Commissioner, most of what she had set out

3 here in her first report, and indeed her

4 second report where further recommendations

5 came forward, seemed to be fairly basic

6 things. Would you agree with that in terms of

7 lab -- how to run IHC procedures?

8 MR. DYER:

9 A. I don't understand the question.

10 CHAYTOR, Q.C.:

11 Q. In terms of -- for example, let's look at a

12 few then. Well, the standard operating

13 procedures, okay, "refrigerator to be

14 available in quick section rooms", the issue

15 of recommending, I guess, amalgamation to one

16 site of the tissue processing, that's

17 something you had been looking for, "sign

18 daily cleaning and maintenance schedules for

19 the processors", and I'll come back to the

20 designated staff. I think if we look ahead at

21 page -- this is about your record keeping,

22 "minimal record keeping of daily, weekly,

23 monthly equipment maintenance, no pipette and

24 thermometer calibration of accuracy, no

25 reagent antibody or detection system

Page 41

1 evaluation and no validation documentation".
 2 So those sort of things seem from her evidence
 3 to be what she would have classified as fairly
 4 basic or routine issues?
 5 MR. DYER:
 6 A. Some of them may be routine, but some of them
 7 I would consider not basic. For example, again
 8 we'll go back to the pipette because that
 9 seems to be an issue. When the recommendation
 10 came about the pipette and the pipette
 11 accuracy --
 12 CHAYTOR, Q.C.:
 13 Q. And temperature accuracy.
 14 MR. DYER:
 15 A. Again temperature accuracy, we weren't using
 16 what they were using in, I guess, in Ontario,
 17 through their accreditation. They were using,
 18 I believe they call it, the NIST. They're
 19 special calibrated thermometers. We were
 20 using routine laboratory thermometers to check
 21 temperatures at the time and that's what
 22 everybody in the laboratory was doing in here
 23 in St. John's at the time. The same thing
 24 with the pipette accuracy, I brought that to
 25 our management group, and as far as I

Page 42

1 understand, none of our laboratories were
 2 actually doing pipette accuracy testing at the
 3 time. Again in pathology, we always run a --
 4 I always go back -- this is how I was trained.
 5 We always ran an external control and as long
 6 as the external control was working, that
 7 means our protocol, our procedure was working.
 8 So I felt that we were doing a good job
 9 because our controls were working.
 10 CHAYTOR, Q.C.:
 11 Q. So there was a high reliance on the external
 12 controls?
 13 MR. DYER:
 14 A. Definitely. In pathology, that's how its
 15 been.
 16 CHAYTOR, Q.C.:
 17 Q. And the idea here in terms of reagents with
 18 predefined pH should be monitored, and she
 19 also says, "Primary antibodies, even if
 20 they're pre-diluted and concentrated, any
 21 change in lot number or concentration,
 22 specificity of the antibody must be verified.
 23 Staining results should be compared to the
 24 previous lot using the appropriate control".
 25 MR. DYER:

Page 43

1 A. Now we didn't compare our results with the
 2 previous lot, but every new -- every time an
 3 antibody came in, it was run against a current
 4 external control that we were using.
 5 CHAYTOR, Q.C.:
 6 Q. Okay.
 7 MR. DYER:
 8 A. And in terms of documentation for, like, lot
 9 numbers and things like this, that was all
 10 done on the Ventana system. Each time a
 11 reagent or an antibody came in, unlike the
 12 DAKO system, where there was no documentation,
 13 everything comes in with a button and you wand
 14 it into the system, and everything -- as
 15 you've seen in the reports, when I printed a
 16 detailed report, it tells you the lot number,
 17 when it's introduced, when it expired. So a
 18 lot of those things were tracked
 19 electronically.
 20 CHAYTOR, Q.C.:
 21 Q. And all issues, concerns, and corrective
 22 actions must be documented and you've told us
 23 that you've since started doing that, there's
 24 now corrective action logged?
 25 MR. DYER:

Page 44

1 A. We didn't have a true correction action format
 2 at the time, but we do now, yes.
 3 CHAYTOR, Q.C.:
 4 Q. So basically there were 52 recommendations
 5 generated through both of the reviewers.
 6 MR. DYER:
 7 A. Yes.
 8 CHAYTOR, Q.C.:
 9 Q. Some of which may be basic and some of which
 10 you might take issue with that and say are
 11 more than basic or more detailed than what you
 12 would have thought?
 13 MR. DYER:
 14 A. More than what I think our organization was
 15 doing at the time, however, we still did --
 16 everything she recommended, we proceeded to
 17 put in place.
 18 CHAYTOR, Q.C.:
 19 Q. Started putting in place.
 20 MR. DYER:
 21 A. That was our goal.
 22 CHAYTOR, Q.C.:
 23 Q. I guess my question then, Mr. Dyer, is when I
 24 look at this report and look at her second
 25 report then in the spring of 2006, why would

Page 45

1 it take an external person coming in to
 2 identify all of this?
 3 MR. DYER:
 4 A. I don't understand.
 5 CHAYTOR, Q.C.:
 6 Q. How could that state of affairs exist that it
 7 would take an external reviewer to come into
 8 your lab and identify all of those issues?
 9 MR. DYER:
 10 A. Well, again - I guess at the time again with
 11 pathology, like, I wasn't receiving any
 12 complaints that there was anything wrong, so I
 13 guess at the time we probably -- I felt -- not
 14 that I felt we didn't need her, but I wasn't
 15 getting any complaints or nothing was being
 16 identified that we were actually having
 17 issues. All of our -- again we run a control
 18 with everything and they were all going out
 19 and there was nothing coming back to say there
 20 were issues. I mean, and again when you work
 21 in pathology, we're doing 1100, 1200 slides a
 22 day. If you get the odd issue -- as we go
 23 through our history, you can see most of the
 24 complaints that were written down were all
 25 technical, not IHC, and that's a daily thing

Page 46

1 depending on the type of tissue that comes in
 2 every day. You're not going to get a perfect
 3 section on every single slide, no lab can do
 4 that, but most of the complaints that I
 5 received were all just technical complaints
 6 and we would address them as we would go
 7 through.
 8 CHAYTOR, Q.C.:
 9 Q. Of course there were Dr. Ejeckam's concerns in
 10 2003, so you were aware of those concerns?
 11 MR. DYER:
 12 A. Yes, but again he was handling it, and the
 13 slides were still being read by pathologists,
 14 and so -- his major concern is he wanted the
 15 techs -- again I think they wanted to lead the
 16 techs into interpreting controls more so.
 17 CHAYTOR, Q.C.:
 18 Q. And in terms of any issues -- then what you're
 19 saying is I didn't hear anything, so no new is
 20 good news. In terms of whether or not there
 21 were a high number of repeats on a ER/PR test,
 22 that wasn't brought to your attention?
 23 MR. DYER:
 24 A. Again a high number -- it was never brought to
 25 my attention. Like, I really believed that we

Page 47

1 were doing a really good job, and again I
 2 always said, like, every slide that leaves our
 3 program is reviewed by a physician, not like
 4 other labs. That's what's so special about
 5 pathology and that's why I thought, you know,
 6 we were doing a great job.
 7 CHAYTOR, Q.C.:
 8 Q. And in terms of those repeats, whether or not
 9 any of them resulted in inconsistent results,
 10 again that was never brought to your
 11 attention?
 12 MR. DYER:
 13 A. The first time anything about inconsistent
 14 results came to me was from Dr. Ejeckam in
 15 '03.
 16 CHAYTOR, Q.C.:
 17 Q. So Dr. Ejeckam had inconsistent results?
 18 MR. DYER:
 19 A. It was the letter that he wrote stopping the
 20 antibodies. That's the first time that was
 21 brought to my attention to that degree, and
 22 again my understanding was that he solved all
 23 those issues.
 24 CHAYTOR, Q.C.:
 25 Q. Were you aware then in 2003 that there had

Page 48

1 been patients retested and there were changed
 2 results?
 3 MR. DYER:
 4 A. I was never -- if that happened, I was never
 5 informed.
 6 CHAYTOR, Q.C.:
 7 Q. You were never -- when did that first come to
 8 your attention?
 9 MR. DYER:
 10 A. That first truly came to my attention in 2005,
 11 the May 17th meeting, when they discussed a
 12 patient who had a change in results.
 13 CHAYTOR, Q.C.:
 14 Q. And then you further became aware of other
 15 patients in going through the pathology
 16 reports with Reza in 2007?
 17 MR. DYER:
 18 A. Well, in 2005 -- I don't think we truly paid
 19 attention to it in 2005, but when we started
 20 the retesting -- you know, I read a lot of
 21 those reports.
 22 CHAYTOR, Q.C.:
 23 Q. So you would have noticed it then?
 24 MR. DYER:
 25 A. I might have seen -- like, that report we just

Page 49

1 looked at, I might have actually seen that
 2 there then, but our focus was if it had to go
 3 for retesting, send it for retesting, so
 4 that's what we did.
 5 CHAYTOR, Q.C.:
 6 Q. And at that point in time it didn't really
 7 come to your attention in terms of what you
 8 told me yesterday in looking through the
 9 pathology reports. It didn't jump out at you,
 10 even though on May 17th you had had a finger
 11 pointed at you and said this is a changed
 12 result and that was upsetting for you, when
 13 you're going through two or three months later
 14 and seeing others with changed results, that
 15 didn't --
 16 MR. DYER:
 17 A. Honestly, our focus was just -- I mean, Mr.
 18 Gulliver might have actually made a comment, I
 19 mean, realistically speaking, but in terms of
 20 anything else, no, the idea was just to get
 21 things identified -- get the patients
 22 identified so we can send them out.
 23 CHAYTOR, Q.C.:
 24 Q. So in coming across those reports, and you and
 25 Mr. Gulliver perhaps commenting on them in

Page 50

1 2005, August, 2005, did you bring that to the
 2 attention of Dr. Cook or any pathologist?
 3 MR. DYER:
 4 A. Only if it was required for a retest.
 5 CHAYTOR, Q.C.:
 6 Q. And do you recall whether or not any of those
 7 were brought to the attention of Dr. Cook?
 8 MR. DYER:
 9 A. I wouldn't be able to say.
 10 CHAYTOR, Q.C.:
 11 Q. Or Dr. Fontaine?
 12 MR. DYER:
 13 A. I can't remember. I wouldn't be able to say
 14 if I actually did.
 15 CHAYTOR, Q.C.:
 16 Q. So only if there was something equivocal in
 17 the result?
 18 MR. DYER:
 19 A. Yes.
 20 CHAYTOR, Q.C.:
 21 Q. So while you didn't actually receive a copy of
 22 the November, 2005 report of Ms. Wegrynowski,
 23 were you otherwise told the contents of her
 24 report?
 25 MR. DYER:

Page 51

1 A. I think what happened, I think Mr. Gulliver
 2 created a spreadsheet, and that's when I --
 3 that's when I got involved in terms of what
 4 may have been in the report.
 5 CHAYTOR, Q.C.:
 6 Q. Spreadsheet of recommendations?
 7 MR. DYER:
 8 A. Yes.
 9 CHAYTOR, Q.C.:
 10 Q. And you were then tasked with implementing
 11 certain recommendations?
 12 MR. DYER:
 13 A. I think we looked at them and to see what we
 14 could start and so, if there's parts of it
 15 that I probably could, I could start, then we
 16 would start.
 17 CHAYTOR, Q.C.:
 18 Q. On page 7 of the exhibit, her first report,
 19 she writes as recommendation No. 9, "Three
 20 technologists to be dedicated to perform IHC
 21 staining, optimization and validation. The
 22 microtomy to be evaluated at the pathology
 23 manager's discretion." The idea of three
 24 technologists dedicated, had that not already
 25 been the situation or how is this something

Page 52

1 new, what's being proposed here?
 2 MR. DYER:
 3 A. No, that was going on at the time in '05. We
 4 had a dedicated pathologist, I mean, we had
 5 dedicated pathologists, I'm not sure if she
 6 was--even though the techs down in immuno were
 7 doing IHC, they were also doing the
 8 immunofluorescence and so even though they
 9 were dedicated to IHC, immunofluorescence
 10 became--was also one of their duties. So from
 11 time to time when--what happens is a
 12 technologist will actually go to the patient
 13 side when they're performing kidney biopsies,
 14 so a tech would leave the lab from time to
 15 time and go and assist with that.
 16 CHAYTOR, Q.C.:
 17 Q. Because there was, you will recall yesterday I
 18 showed you the May 24th letter from Dr. Cook
 19 in which he was also suggesting that the three
 20 techs be dedicated and then we see in
 21 September, Ms. Wegrynowski is making the same
 22 recommendation, so there seems to be, if it's
 23 not in fact that case, there seems to be some
 24 confusion on the issue.
 25 MR. DYER:

Page 53

1 A. At that time there were two other techs
 2 outside of the immuno group who were grossing,
 3 there were.
 4 CHAYTOR, Q.C.:
 5 Q. Okay. And in being involved in the
 6 implementation of the recommendations without
 7 having seen this first report and the context
 8 in which the recommendations arise, do you
 9 think it would have been beneficial to have
 10 actually had the report and to have been able
 11 to work from the report?
 12 MR. DYER:
 13 A. Sure, yes.
 14 CHAYTOR, Q.C.:
 15 Q. If we could have, please, P-0277? This is a
 16 series of the worksheets that I believe you're
 17 referring to, Mr. Dyer?
 18 MR. DYER:
 19 A. Yes.
 20 CHAYTOR, Q.C.:
 21 Q. And the first version you'll see there's 30.
 22 MR. DYER:
 23 A. Okay.
 24 CHAYTOR, Q.C.:
 25 Q. 30 recommendations, April 25th, '06 and then

Page 54

1 the last version is a year later, April--this
 2 one here, April 26th, '07. And this one has,
 3 in fact, 52 recommendations. So this is what
 4 you would have worked on, I take it?
 5 MR. DYER:
 6 A. Yes.
 7 CHAYTOR, Q.C.:
 8 Q. You will see that there are a number here
 9 which have asterisks, do you know why they
 10 have asterisks or if there's any significance
 11 to that?
 12 MR. DYER:
 13 A. I think you asked me that question before. I
 14 think -
 15 CHAYTOR, Q.C.:
 16 Q. Not today. You were going to think about it
 17 the last time I asked.
 18 MR. DYER:
 19 A. Yes. I believe it was that they were ones
 20 that we have actually started, they were
 21 either in progress or completed. These are
 22 the ones that we're actually moving on at the
 23 time.
 24 CHAYTOR, Q.C.:
 25 Q. Okay, and in terms of implementing these

Page 55

1 recommendations, did you run into any concerns
 2 or delays along the way?
 3 MR. DYER:
 4 A. Again, my schedule, I was already--I had a
 5 huge plate that I was trying to deal with at
 6 the time and also to take on some of this, so
 7 what I did was whenever I could get help, like
 8 if there's certain things that would involve a
 9 tech or things of that nature, I would try to
 10 get them to help. For example, one of the
 11 recommendations was proficiency testing and
 12 again, NEQAS is the group that was recommended
 13 and in NEQAS, I read all about NEQAS just to
 14 see what it was all about and it involved
 15 actual, an assessor where they would review
 16 the slides, but also in the program our own
 17 staff, technologists and pathologists would
 18 have to review the slides, so what I did is I
 19 took the proficiency testing and handed it off
 20 to Dr. Ejeckam and he actually determined
 21 exactly what would be done for proficiency.
 22 So things like this I started to do. If we
 23 could read some of them, then I probably could
 24 tell you exactly what we did.
 25 CHAYTOR, Q.C.:

Page 56

1 Q. Sure, for example, No. 33 seemed to be fairly
 2 straightforward, but it's refrigerators for
 3 ORs and this is again April 26, '07. It's
 4 received but St. Clare's wasn't done--and
 5 that's a year after Ms. Wegrynowski had been
 6 back in again. So St. Clare's, it appears had
 7 not been done.
 8 MR. DYER:
 9 A. Yes, there was no space to put a fridge at St.
 10 Clare's, so -
 11 CHAYTOR, Q.C.:
 12 Q. And we're talking, I understand, a little bar
 13 fridge.
 14 MR. DYER:
 15 A. Yes.
 16 CHAYTOR, Q.C.:
 17 Q. And there was no space in the OR for a bar
 18 fridge?
 19 MR. DYER:
 20 A. No, there was not. We had a frozen section
 21 room there and that room is not much bigger
 22 than a closet and it was completely full. So
 23 what we had to do was they actually, if you
 24 look at the benches and that that were there,
 25 the way the floor was designed, it was

Page 57

1 actually--it was, you know, it was built up
 2 into the benches, the flooring, so actually
 3 they had to do, hard work to have all this
 4 stuff broken down, have the floor re-done and
 5 we had to get a door with a window put in
 6 because the only place that we actually could
 7 put it was behind the door. So we had to wait
 8 for all these things to be done by Facilities
 9 Management before we could actually put the
 10 fridge in.
 11 CHAYTOR, Q.C.:
 12 Q. And was there anything that could be done on
 13 an interim basis to -
 14 MR. DYER:
 15 A. I think what happened was, I think Dr. Cook
 16 sent out a memo asking that for large breast
 17 specimens in particular, they would be brought
 18 directly to the lab or we would be notified
 19 and we would send someone down to get them, so
 20 they would be dry and after hour specimens, a
 21 pathologist on call would have to be phoned.
 22 So I felt comfortable that that would
 23 alleviate it for the time being.
 24 CHAYTOR, Q.C.:
 25 Q. And when Ms. Wegrynowski came back to do a

Page 58

1 second review in April of 2006, about six
 2 months after her first review, she's indicated
 3 to the Commissioner that while she was
 4 certainly pleased that certain things had
 5 taken place, and in particular the enrolment
 6 in the external proficiency programs, I think
 7 it's fair to say that she felt there was a
 8 long way to go, I think may have been her
 9 words. So in that regard, in terms of even
 10 that six month period, were there other things
 11 logistically that were causing delay?
 12 MR. DYER:
 13 A. I think it's just that, you know, we had a lot
 14 of things on our plate and things got written-
 15 -things were written down, like I believe we
 16 actually wrote down fixation, a process of
 17 what we should follow. We started writing
 18 things on paper but nothing was actually put
 19 in official documentation. For example, with
 20 the Ventana system, all the procedures were
 21 already, when Ms. Wegrynowski came in, in '05,
 22 all the procedures for all of the antibodies
 23 were already printed out in a binder, but--and
 24 we had an operating manual printed out, we had
 25 a training guide manual already there. This

Page 59

1 was all done with this system was set up in
 2 '04. We also had, I also created--I think I
 3 explained yesterday, I created easy steps to
 4 using the benchmark, things like this. All
 5 that stuff was there. I think, but when she
 6 was looking for SOPs, she was looking for
 7 procedures that were actually put in a
 8 specific, you know, a template, which was not
 9 what we had done at the time.
 10 CHAYTOR, Q.C.:
 11 Q. And you had no formal policies actually
 12 passed, adopted and implemented?
 13 MR. DYER:
 14 A. When she came back? No. What happened was we
 15 knew, I think we knew that we were struggling
 16 and I believe Dr. Williams gave us at the
 17 time, I think Dr. Williams gave us funds to
 18 create a total quality management group and so
 19 then we advertised and got that set up. And
 20 that was going to be, from my point of view,
 21 that was going to be one of our main groups to
 22 help get, especially the documentation that
 23 needed to be written, written.
 24 CHAYTOR, Q.C.:
 25 Q. Okay. What about the issue of--and this, I

Page 60

1 think originated as your idea of having all
 2 the equipment and processing taking place on
 3 one site, when did that actually happen?
 4 MR. DYER:
 5 A. That happened after her report.
 6 CHAYTOR, Q.C.:
 7 Q. After her first report.
 8 MR. DYER:
 9 A. Yes.
 10 CHAYTOR, Q.C.:
 11 Q. Did it happen after her second report? She
 12 came back in April of 2006.
 13 MR. DYER:
 14 A. I think all of the technology was done by the
 15 time she got back in '06 of April.
 16 CHAYTOR, Q.C.:
 17 Q. And how close to her second visit did that
 18 occur?
 19 MR. DYER:
 20 A. About a week before.
 21 CHAYTOR, Q.C.:
 22 Q. And the change in the reporting format on
 23 pathology reports?
 24 MR. DYER:
 25 A. About a week before.

Page 61

1 CHAYTOR, Q.C.:

2 Q. About a week before.

3 MR. DYER:

4 A. Yeah, like that stuff, I couldn't do that on

5 my own, I had to have agreement from other

6 areas to make that happen.

7 CHAYTOR, Q.C.:

8 Q. So there was a bit of a push knowing she's

9 coming to get some of these things done?

10 MR. DYER:

11 A. Yes.

12 CHAYTOR, Q.C.:

13 Q. And Dr. Banerjee, did you also meet with him

14 when he was in attendance?

15 MR. DYER:

16 A. I believe we sat down for about an hour, that

17 sounds familiar.

18 CHAYTOR, Q.C.:

19 Q. And when Ms. Wegrynowski came back in the

20 spring of 2006, did you meet with her again?

21 MR. DYER:

22 A. I'm sure I must have, yes.

23 CHAYTOR, Q.C.:

24 Q. Is there anything at that point in time in

25 terms of your discussions with her?

Page 62

1 MR. DYER:

2 A. I think she talked about, again the SOPs,

3 that's what stood out was policies and when I

4 say "SOPs", not so much SOPs but the policies

5 themselves, that's what she was looking for.

6 CHAYTOR, Q.C.:

7 Q. And did you attend her exit interview at that

8 time?

9 MR. DYER:

10 A. No, I don't think so.

11 CHAYTOR, Q.C.:

12 Q. And a meeting then with Dr. Banerjee, was that

13 the first visit in the fall of 2005?

14 MR. DYER:

15 A. Yes, I met him, yes.

16 CHAYTOR, Q.C.:

17 Q. Did you also meet with him the second time?

18 MR. DYER:

19 A. I don't think so.

20 CHAYTOR, Q.C.:

21 Q. And do you recall what you discussed with Dr.

22 Banerjee on his first visit?

23 MR. DYER:

24 A. Yeah, we had a--I think we had an interesting

25 discussion about how we did things in the lab

Page 63

1 more so, but I think our big plan was, I'm not

2 sure if I received a phone call, I don't think

3 it was a plan for me to see him, but I think I

4 might have got a phone call from Mr. Gulliver

5 that he wanted to sit down and review some of

6 our current slides, some of our current--our

7 ER/PRs from the Ventana system. So I remember

8 I just want and, I did a quick search and

9 pulled some random slides for him to look at?

10 CHAYTOR, Q.C.:

11 Q. Okay, and those were current cases?

12 MR. DYER:

13 A. Those were current cases that were run on the

14 Ventana.

15 CHAYTOR, Q.C.:

16 Q. And so that would have been in the fall of

17 2005, so the cases which were being -

18 MR. DYER:

19 A. Reviewed were probably from, I would imagine,

20 I would say like from probably January,

21 February, March of '05. It was probably that

22 year.

23 CHAYTOR, Q.C.:

24 Q. Okay. So not current in terms of people who

25 were actually being tested at that point in

Page 64

1 time.

2 MR. DYER:

3 A. No.

4 CHAYTOR, Q.C.:

5 Q. It was during the 2005 year.

6 MR. DYER:

7 A. It was cases that were already signed out.

8 CHAYTOR, Q.C.:

9 Q. Okay. If we could have, please, P-0046? And

10 this is the letter to Dr. Cook enclosing the

11 first report from Dr. Banerjee and the report

12 is here at page 2 of the exhibit, October

13 17th, 2005. Did you receive a copy of this?

14 MR. DYER:

15 A. No. I'm sorry, again, I got permission, I

16 believe in February of this year.

17 CHAYTOR, Q.C.:

18 Q. Same time then that you received Ms.

19 Wegrynowski -

20 MR. DYER:

21 A. Yes.

22 CHAYTOR, Q.C.:

23 Q. And at page 5 of the exhibit, No. 5, under the

24 heading "Other system flaws observed", Dr.

25 Banerjee writes about "disconnect between

Page 65

1 laboratory program director, division
 2 manager"--would you be the division manager?
 3 MR. DYER:
 4 A. I was at the time, yes.
 5 CHAYTOR, Q.C.:
 6 Q. "Clinical site chief and laboratory director
 7 in decision making. The organizational charts
 8 indicate a complete separation of reporting
 9 structures into technical and clinical streams
 10 with no matrix cross-reporting between
 11 technical and medical leadership. This leads
 12 to frustration and resentment on both sides,
 13 lack of communication, lack of accountability
 14 and lack of buy in. The division manager and
 15 program director appear enthusiastic and keen
 16 on modernizing the laboratory, but their
 17 efforts have not been appreciated by the
 18 pathologists and workflow changes have not
 19 been mapped out and implemented. Example,
 20 Sakura Express implementation has failed due
 21 to lack of planning of workflow changes.
 22 Superior outcomes could be achieved by
 23 ensuring better linkages between technical
 24 managerial and medical leadership." Do you
 25 recall having had a discussion with Dr.

Page 66

1 Banerjee on that issue?
 2 MR. DYER:
 3 A. On that actual issue? I think we did discuss
 4 the Express and we did discuss the benchmark.
 5 He was impressed by the technology that our
 6 lab had, very few labs in the country had the
 7 type of technology that we actually had and he
 8 was impressed by it.
 9 CHAYTOR, Q.C.:
 10 Q. So the lab was progressive in terms of the
 11 equipment that it had?
 12 MR. DYER:
 13 A. Very much so, yes.
 14 CHAYTOR, Q.C.:
 15 Q. But this whole issue that he's saying here in
 16 terms of the disconnect between the two arms,
 17 the technical and the clinical and the fact
 18 that it leads to frustration and resentment on
 19 both sides and lack of communication, lack of
 20 accountability and lack of buy in. Did you
 21 discuss those issues with Dr. Banerjee? Was
 22 that your perception?
 23 MR. DYER:
 24 A. I may have discussed frustration, but you
 25 know, about the Express, but I think with the

Page 67

1 Express, again from my point of view and from
 2 my style, all pathologists were involved with
 3 the Express, so I think he just--I don't know
 4 how he let--I wasn't sure why the Express, why
 5 we stopped using it, we just stopped using the
 6 Express and I guess that's how he expressed
 7 himself there.
 8 CHAYTOR, Q.C.:
 9 Q. What would you have been frustrated with? If
 10 you mentioned frustration to him, what was the
 11 source of your frustration at this point in
 12 time in 2005?
 13 MR. DYER:
 14 A. Well again, I think we just would have
 15 discussed that, you know, all this stuff was
 16 happening and, you know, there's things that I
 17 wanted to do over time, like consolidate and
 18 bring technology here and again, you know,
 19 it's only a couple of pathologists that I'm
 20 ever involved with when it comes to this, this
 21 frustration, but again, I'm always trying to--
 22 want to do different things and try different
 23 things, but I'm always challenged from higher
 24 up as to those types of issues.
 25 CHAYTOR, Q.C.:

Page 68

1 Q. So what was your view on the management
 2 structure at the time, the two arms. In your
 3 view, had it caused difficulty over time?
 4 MR. DYER:
 5 A. Again, from my point of view, I don't think
 6 there was difficulty because anything major
 7 that I wanted to do had to be approved by all
 8 involved, so I was truly--I know that I would
 9 report to Terry Gulliver, but I was always
 10 under the impression that, and as you can see
 11 because of the things that I wanted to do,
 12 that didn't happen. Still our clinical chief
 13 had a direct say also, so even though Terry--
 14 even though Mr. Gulliver and Dr. Cook
 15 reported, we had different reporting systems
 16 and they reported to Dr. Williams, things--for
 17 example, if I wanted to consolidate and Mr.
 18 Gulliver supported it, it still didn't happen
 19 unless Dr. Cook agreed. So my interpretation
 20 was anything that I wanted to do had to be
 21 agreed by Dr. Cook, just like Dr. (sic.)
 22 Gulliver.
 23 CHAYTOR, Q.C.:
 24 Q. So, whether or not a flow chart or an
 25 organizational chart actually showed any

Page 69

1 formal reporting to the clinical chief, in
 2 your view, that was the reality of what you
 3 were operating under.
 4 MR. DYER:
 5 A. That was definitely the reality, yes.
 6 CHAYTOR, Q.C.:
 7 Q. And did you have any difficulty or did you
 8 think that the management structure as it was
 9 at that point in time was fine, it was
 10 operating the way it should?
 11 MR. DYER:
 12 A. I thought it was operating fine.
 13 CHAYTOR, Q.C.:
 14 Q. Okay. And we understand there's been a change
 15 since in the management structure.
 16 MR. DYER:
 17 A. Well, I understand that, yes, Dr. Denic is
 18 totally accountable or totally in charge of
 19 laboratory medicine and Mr. Gulliver reports
 20 to both him and the VP, but again, that change
 21 didn't mean anything to me because that's how
 22 we were working at the time.
 23 CHAYTOR, Q.C.:
 24 Q. So, for you that's just a change on paper.
 25 MR. DYER:

Page 70

1 A. That was just a change on paper.
 2 CHAYTOR, Q.C.:
 3 Q. You were reporting to Mr. Gulliver and in any
 4 event, any change or idea for innovation
 5 within the laboratory had to go through the
 6 clinical chief in any event.
 7 MR. DYER:
 8 A. Yes.
 9 CHAYTOR, Q.C.:
 10 Q. And so I guess that's been formalized on paper
 11 now too is what you're saying.
 12 MR. DYER:
 13 A. I believe there is a new chart out, yes.
 14 CHAYTOR, Q.C.:
 15 Q. When you read Dr. Banerjee's report in
 16 February of this year, was the content of this
 17 surprising to you or was this basically -
 18 MR. DYER:
 19 A. When I read this in '07, I -
 20 CHAYTOR, Q.C.:
 21 Q. I'm sorry, you read it in '07?
 22 MR. DYER:
 23 A. I'm sorry, '08, this year.
 24 CHAYTOR, Q.C.:
 25 Q. February 2008.

Page 71

1 MR. DYER:
 2 A. Yes, when I read it in '08, what he had said
 3 was, I think by then it was pretty well
 4 identified or I think I knew, I had an idea of
 5 all this stuff by then, yes. It's just that
 6 this is the first time I've actually seen it
 7 in writing.
 8 CHAYTOR, Q.C.:
 9 Q. So, in terms of issues identified regarding
 10 poor fixation, negative internal controls,
 11 absent internal controls, you were aware of
 12 that before you ever read the report.
 13 MR. DYER:
 14 A. I think in '05 we were--these were the types
 15 of things I know I heard when we were actually
 16 going through the process of identifying
 17 patients.
 18 CHAYTOR, Q.C.:
 19 Q. And you had heard that from Dr. Cook?
 20 MR. DYER:
 21 A. Yes.
 22 CHAYTOR, Q.C.:
 23 Q. So, I take it there wasn't anything in here
 24 that was particularly revealing or surprising
 25 to you?

Page 72

1 MR. DYER:
 2 A. No.
 3 CHAYTOR, Q.C.:
 4 Q. And he drew a number of conclusions about the
 5 reasons for test failure. And the first being
 6 is the DAKO system faulty? And he states this
 7 is unlikely as there are many laboratories
 8 using the DAKO system successfully. The
 9 reason for test failure is most likely due to
 10 a lack of test optimization including antigen
 11 retrieval method and antibody detection system
 12 titration, as positive controls showed weak
 13 staining in general. And internal controls
 14 failed in all of the false negative cases.
 15 So, would all that have been known to you in
 16 2005?
 17 MR. DYER:
 18 A. No. Internal controls failed in all false
 19 negative cases, no, I wouldn't have known that
 20 in 2005.
 21 CHAYTOR, Q.C.:
 22 Q. And in fairness, when he's saying that, he's
 23 talking about the cases that he reviewed.
 24 MR. DYER:
 25 A. Okay. I didn't sit with him for review of the

Page 73

1 DAKO system cases. I think I just sat with
 2 him for the current Ventana system.
 3 CHAYTOR, Q.C.:
 4 Q. The idea of the reason for test failure, most
 5 likely due to lack of test optimization
 6 including antigen retrieval method and
 7 antibody detection system titration, that
 8 particular reason, was that--when did you
 9 become aware of that?
 10 MR. DYER:
 11 A. When did I become aware of -
 12 CHAYTOR, Q.C.:
 13 Q. The reason for test failure, in his opinion
 14 was -
 15 MR. DYER:
 16 A. Antigen retrieval?
 17 CHAYTOR, Q.C.:
 18 Q. - being due to, yes, well, test optimization
 19 which, he says, includes the antigen retrieval
 20 method.
 21 MR. DYER:
 22 A. That's part of optimization, yes, is antigen
 23 retrieval. I believe we--when did we--again,
 24 antigen retrieval, by February of this year, I
 25 had already had known that. When did I

Page 74

1 actually pick up on that? Maybe in '06.
 2 CHAYTOR, Q.C.:
 3 Q. And who was that discussed with?
 4 MR. DYER:
 5 A. I don't know if I discussed it with anybody.
 6 When we started discussing all of this and
 7 going through things like this and when I say
 8 discussing, I don't think I've ever discussed
 9 anything like this with the physician. So, I
 10 don't even know if I discussed it with Terry;
 11 it might have just been with the techs. But
 12 we were looking the Ventana system for antigen
 13 retrieval and the difference between the
 14 Ventana system antigen retrieval and the DAKO,
 15 as I explained earlier this week was the pH 6,
 16 using citrate versus EDTA at 8.4 and the
 17 higher pH, I believe, I believe is actually
 18 making the true differences in the--it's
 19 definitely, I believe, unmasking more epitope
 20 sites.
 21 CHAYTOR, Q.C.:
 22 Q. And long before Dr. Banerjee ever stepped foot
 23 in your laboratory, the issue of antigen
 24 retrieval had been of some concern to you.
 25 And in fact, that was one of the factors that

Page 75

1 caused you to go looking for the Ventana
 2 system which would have antigen retrieval on
 3 board.
 4 MR. DYER:
 5 A. Yes, and again, it wasn't about the actual
 6 antigen retrieval not working. The purpose
 7 was, it appeared as that's where the fatty
 8 tissue was washing off the slide.
 9 CHAYTOR, Q.C.:
 10 Q. Yes. And the second point is, is the Ventana
 11 system too sensitive? And he indicates
 12 there's no evidence of that. The system still
 13 requires optimization to avoid non-specific
 14 cytoplasmic staining. Was that brought to
 15 your attention in 2005?
 16 MR. DYER:
 17 A. I don't think it was said that way, but I
 18 believe back in August, I know there were
 19 statements made by Dr. Carter about, I'm not
 20 sure if she said over-staining. And so in '05
 21 we undertook a project to re-validate the ER
 22 and PR based on her concerns.
 23 CHAYTOR, Q.C.:
 24 Q. Now, he's in in October of 2005, so what
 25 further optimization took place with respect

Page 76

1 to the Ventana system after Dr. Banerjee's
 2 visit?
 3 MR. DYER:
 4 A. In October of '05?
 5 CHAYTOR, Q.C.:
 6 Q. Post his visit, yes.
 7 MR. DYER:
 8 A. I'm not sure if we actually, in October '05, I
 9 think what we did was in terms of -
 10 CHAYTOR, Q.C.:
 11 Q. The system still requires optimization to
 12 avoid non-specific cytoplasmic staining.
 13 MR. DYER:
 14 A. My interpretation there is the system needs to
 15 be monitored all the time to make sure that we
 16 don't get the non-specific cytoplasmic
 17 staining.
 18 CHAYTOR, Q.C.:
 19 Q. So, it's an ongoing thing that this needs to
 20 be kept--you need to keep an eye on this.
 21 MR. DYER:
 22 A. Right. That was my interpretation. And so
 23 what happened was again, we started the
 24 process in--now see, it's not considered as
 25 urgent anymore because by this time we're not

Page 77

1 doing ER/PRs clinically. So, I think what
 2 happened was again, in August we attempted re-
 3 validate. And I believe over the next year,
 4 we did another validation, I believe when Dr.
 5 Ford Elms came on site. We did another re-
 6 validation before he started.
 7 CHAYTOR, Q.C.:
 8 Q. Did you ever hear anyone suggest, I mean, Dr.
 9 Banerjee here seems to say he doesn't expect
 10 that it was the DAKO system and he doesn't
 11 think there's a problem with the Ventana being
 12 too sensitive. Did you ever hear it suggested
 13 in 2005 and perhaps beyond that the reason for
 14 the changes in the results may, in fact, have
 15 been an equipment issue?
 16 MR. DYER:
 17 A. I don't know if I actually heard that. It
 18 could have been construed that way that we had
 19 a new system that was totally automated and it
 20 may be more sensitive, but I wouldn't have
 21 made that statement, that that was more
 22 sensitive.
 23 CHAYTOR, Q.C.:
 24 Q. Did you hear anyone else make any statement
 25 along those lines?

Page 78

1 MR. DYER:
 2 A. I can't remember, but--I don't know.
 3 CHAYTOR, Q.C.:
 4 Q. That this could be due to technology or
 5 changes in technology.
 6 MR. DYER:
 7 A. I think that was being thrown around. I think
 8 that concept was being thrown around, but
 9 again, I don't think I would have made that
 10 kind of statement.
 11 CHAYTOR, Q.C.:
 12 Q. Would you have agreed with that statement?
 13 MR. DYER:
 14 A. I don't know if I would have agreed with--
 15 based on what I understand for protocols and
 16 how things work, interactions, I don't know if
 17 I would have agreed to it. I mean, you
 18 certainly can get the perception that it could
 19 be an equipment--technology could do it
 20 because we eliminate a lot of variabilities
 21 from the DAKO system to the Ventana. So, you
 22 certainly could get that impression, there's
 23 no doubt about it.
 24 CHAYTOR, Q.C.:
 25 Q. And who did you hear throwing around that -

Page 79

1 MR. DYER:
 2 A. I don't know who was actually saying it at the
 3 time, but I know, I do believe it was being
 4 said.
 5 CHAYTOR, Q.C.:
 6 Q. Were you ever told or did you ever hear anyone
 7 say, in fact, what did cause the problem?
 8 MR. DYER:
 9 A. What did cause the -
 10 CHAYTOR, Q.C.:
 11 Q. Yes, what caused the changed results.
 12 MR. DYER:
 13 A. Did anyone actually tell me what they thought,
 14 no, I don't think so.
 15 CHAYTOR, Q.C.:
 16 Q. As manager of the lab, were you ever told,
 17 well, here's what the problem was, we've
 18 identified it, now, Barry, go fix it.
 19 MR. DYER:
 20 A. Again, I think what I was told was back in
 21 August of '05, concerns from Dr. Carter about
 22 the validation of the ER/PR and so we should
 23 re-validate. That's what I was told, I think
 24 in '05.
 25 CHAYTOR, Q.C.:

Page 80

1 Q. Yes, but after Dr. Banerjee had been in and
 2 after Trish Wegrynowski had been in, were you
 3 told them anything in terms of the causes of
 4 the problem?
 5 MR. DYER:
 6 A. Again, just based on what was written on
 7 specification sheets.
 8 CHAYTOR, Q.C.:
 9 Q. On the recommendation -
 10 MR. DYER:
 11 A. Yes, I'm sorry, on the recommendation sheets,
 12 yes. I think that's where we started our
 13 discussion.
 14 CHAYTOR, Q.C.:
 15 Q. And any indication as to any problems with
 16 fixation and linking fixation to the change in
 17 results, was that ever told to you?
 18 MR. DYER:
 19 A. I don't think so. I mean, it might have been,
 20 but I can't remember at the time if it was. I
 21 know that Ms. Wegrynowski wanted us to write
 22 a fixation policy. So, that's what we said we
 23 would do.
 24 CHAYTOR, Q.C.:
 25 Q. But in terms of her wanting you to write a

Page 81

1 fixation policy -
 2 MR. DYER:
 3 A. So, we would standardize.
 4 CHAYTOR, Q.C.:
 5 Q. - so you would standardize, and you linking
 6 that and it being linked to or potentially
 7 linked to any changes in the results, that
 8 line was never drawn for you?
 9 MR. DYER:
 10 A. I think I might have drawn that line myself,
 11 yes.
 12 CHAYTOR, Q.C.:
 13 Q. So, wouldn't have increased the urgency to
 14 standardize the policy?
 15 MR. DYER:
 16 A. Again, we put things in writing and we
 17 standardize what we were doing. We just
 18 didn't have it in a formal policy, but I think
 19 the committee--what happened? Yes, I think
 20 Dr. Carter actually wrote one. I think she
 21 had something put down in writing, it's just
 22 that it wasn't formalized, just so we would
 23 start doing something immediately with the
 24 fixation.
 25 CHAYTOR, Q.C.:

Page 82

1 Q. If we could look at, please, P-2110, and this
 2 is minutes of the pathology quality management
 3 committee that you continued on with, December
 4 11th and this December 11th is 2006 we
 5 understand.
 6 MR. DYER:
 7 A. So, this is the new one that Dr. Williams
 8 approved funding for.
 9 CHAYTOR, Q.C.:
 10 Q. Okay. And so it's now into December 11th,
 11 2006. So, Trish Wegrynowski has been back
 12 April of 2006 or March of 2006 and business
 13 arising--now, you're not in attendance at this
 14 particular meeting, but you're on the
 15 committee?
 16 MR. DYER:
 17 A. Very busy.
 18 CHAYTOR, Q.C.:
 19 Q. "Fixation, word buffer to be added, B. Carter.
 20 T. Chafe to add changes, add B. Carter as
 21 originator. Include issue date, effective
 22 date add signature line for N. Denic. After
 23 sign off B. Carter and C. Parnell's composed
 24 letter for distribution with policy. Two,
 25 following Lynn Morris-Larkin and Don Cook", et

Page 83

1 cetera and yourself, your name there as well.
 2 So, in terms of policy implementation or
 3 development, the fixation policy is still
 4 being word smithed.
 5 MR. DYER:
 6 A. Yes, I think we were trying to actually put
 7 together an official one at that time,
 8 something that we would put into a format.
 9 CHAYTOR, Q.C.:
 10 Q. And the policy was finally signed off on when?
 11 MR. DYER:
 12 A. I wouldn't be able to tell you when it was
 13 signed off.
 14 CHAYTOR, Q.C.:
 15 Q. 2008?
 16 MR. DYER:
 17 A. Could be.
 18 CHAYTOR, Q.C.:
 19 Q. If we could look, please at P-2362. And this
 20 is an e-mail from Ms. Predham to yourself,
 21 November 18, 2005. "Hi Barry, we received the
 22 list of questions from the minister of health
 23 that have to be answered today in anticipation
 24 of the House opening on Monday. I can't
 25 answer these two question and Terry and Dr.

Page 84

1 Cook are on annual leave. Can you answer them
 2 for me? I need the answers ASAP. Number one,
 3 has a review occurred to determine how this
 4 could have happened? How could there be
 5 inaccurate tests for a period of five years
 6 without being detected? Will there be a
 7 disciplinary action taken? Number two, can
 8 the Minister ensure the public that this is
 9 not reflective of other unreliable methods of
 10 testing in the province? Is our health system
 11 safe? Thanks".
 12 Did you receive this e-mail?
 13 MR. DYER:
 14 A. Yes, I did.
 15 CHAYTOR, Q.C.:
 16 Q. And did you provide Ms. Predham with answers
 17 to those questions?
 18 MR. DYER:
 19 A. Those were big questions and I wasn't sure if
 20 I was qualified to answer something like that.
 21 So what I did was I put down what I felt was
 22 the answers, I wrote down and I tracked down
 23 Dr. Dan Fontaine and I believe we discussed
 24 for a few minutes and then I think he may have
 25 made some of his own notes and I believe he

Page 85

1 was the one who actually responded.
 2 CHAYTOR, Q.C.:
 3 Q. Okay, so you and Dr. Fontaine worked together
 4 on it. Did you see the ultimate answers that
 5 went forward?
 6 MR. DYER:
 7 A. No.
 8 CHAYTOR, Q.C.:
 9 Q. So basically they're asking if the review
 10 occurred, to figure out what caused this to
 11 happen in the first place for over five years;
 12 and secondly, whether or not the Minister can
 13 assure the people in the province that there
 14 aren't other unreliable methods in the lab.
 15 MR. DYER:
 16 A. In the system.
 17 CHAYTOR, Q.C.:
 18 Q. In the system. If we could look at, please,
 19 P-0154? We don't have a written response to
 20 that e-mail. Do you know whether or not you
 21 provided anything in writing back to Ms.
 22 Predham?
 23 MR. DYER:
 24 A. No, I think it was done by phone call.
 25 CHAYTOR, Q.C.:

Page 86

1 Q. By phone call.
 2 MR. DYER:
 3 A. Yes. I didn't talk to Ms. Predham myself
 4 about the answers. I talked with Dr. Fontaine
 5 and I believe he may have spoken to her
 6 through phone. I'm not sure if he actually
 7 sent anything in writing.
 8 CHAYTOR, Q.C.:
 9 Q. You didn't see any written answer.
 10 MR. DYER:
 11 A. No.
 12 CHAYTOR, Q.C.:
 13 Q. And this then is a--I'll just take you back to
 14 the beginning, sorry--this is then November
 15 21st and it's e-mail to Tansy Mundon who was,
 16 at the time, director of communications for
 17 the Department of Health and Community
 18 Services. It's coming from Deborah Thomas-
 19 Pennell who was working with Susan Bonnell at
 20 the time. And we'll see here in this bullet,
 21 on page three, "has a review occurred to
 22 determine how this could have happened? How
 23 could there be inaccurate tests for a period
 24 of five years without be detected? Will there
 25 be disciplinary action taken"? And the answer

Page 87

1 is, "there is still an ongoing investigation
 2 into this situation. However, there is"--and
 3 that should be ample, I take it--"ample
 4 literature to suggest that these tests have
 5 limitations and are not guided by national
 6 standards. In the meantime, until all the
 7 results from retesting are obtained, it is
 8 impossible to determine the exact details of
 9 the cause of the problem. Three reviews have
 10 taken place of our current testing procedure,
 11 our pathology services and our technical
 12 services. Recommendations have been made and
 13 are being acted upon which will immediate
 14 ensure the quality and reproducibility of
 15 results".
 16 Mr. Dyer, what, if any, portion of that
 17 answer would you have provided?
 18 MR. DYER:
 19 A. I think I may have provided that we went
 20 through two--we went through external reviews.
 21 Based on what's said there--I think from what
 22 I see there, probably I think the only thing I
 23 may have said is we went through two reviews.
 24 CHAYTOR, Q.C.:
 25 Q. Two reviews or three?

Page 88

1 MR. DYER:
 2 A. Well, I was cognizant of two at the time.
 3 CHAYTOR, Q.C.:
 4 Q. Okay. What would the third be?
 5 MR. DYER:
 6 A. Yes, right, there were three. I think I was
 7 only cognizant of two at the time, but I think
 8 there was a third review. I can't remember
 9 the physician's name who came in, but there
 10 was another review done.
 11 CHAYTOR, Q.C.:
 12 Q. Okay. And would that perhaps have been done
 13 for litigation purposes?
 14 MR. DYER:
 15 A. It may very well have been. I'm just trying
 16 to remember that one now.
 17 CHAYTOR, Q.C.:
 18 Q. So, you would have said that there were two
 19 reviews done.
 20 MR. DYER:
 21 A. Yes.
 22 CHAYTOR, Q.C.:
 23 Q. That part would have been yours.
 24 MR. DYER:
 25 A. Yes.

Page 89

1 CHAYTOR, Q.C.:

2 Q. The notion that in the meantime until all the

3 retesting results from the patients, until

4 those are back, it being impossible to

5 determine the exact details of the cause of

6 the problem, was that your idea or was that

7 something you heard Dr. Fontaine say? Was -

8 MR. DYER:

9 A. I don't know if he said it. I don't think I

10 would have said it.

11 CHAYTOR, Q.C.:

12 Q. Is that something you heard discussed at all?

13 MR. DYER:

14 A. No, I don't think so.

15 CHAYTOR, Q.C.:

16 Q. Do you agree with that statement?

17 MR. DYER:

18 A. When was this written?

19 CHAYTOR, Q.C.:

20 Q. This is November 2005.

21 MR. DYER:

22 A. No, I think we might have--I think by then, I

23 think Dr. Cook was probably getting results

24 back at the time.

25 CHAYTOR, Q.C.:

Page 90

1 Q. Getting results back and the reports in terms

2 of Dr. Banerjee's report being back and

3 certainly the two reviewers have been in and

4 gone. So, in terms of some of the things that

5 you knew yourself at this point in time, your

6 knowledge of the internal controls issue, for

7 example, how could this go on for a period of

8 five years without being detected?

9 MR. DYER:

10 A. Again, that would be a clinical issue. I

11 don't think I was really qualified to make

12 that statement, even though, I think I knew

13 myself at the time, based on what I was

14 learning, I still don't think I was qualified

15 to make that statement. So, I don't think I

16 would have said something like that.

17 CHAYTOR, Q.C.:

18 Q. And was that something that you and Dr.

19 Fontaine discussed in your discussions as to

20 how to respond?

21 MR. DYER:

22 A. Again, I think we might have discussed how to

23 respond and in terms, you know, again I think

24 all I actually spoke about was, from what I

25 know, we've gone through two reviews and we're

Page 91

1 starting the process of putting the

2 recommendations in place.

3 CHAYTOR, Q.C.:

4 Q. So, did the issue of internal controls come up

5 in your discussions with Dr. Fontaine as to

6 how to respond?

7 MR. DYER:

8 A. I doubt it. I don't think I would have even

9 said it to him at the time.

10 CHAYTOR, Q.C.:

11 Q. And here we see the question, "can the

12 minister ensure the public that this is not

13 reflective of other unreliable methods of

14 testing in the province? Is our health system

15 safe? Eastern Health responds successfully to

16 the needs of thousands of patients in any one

17 year. Furthermore, it has quality monitoring

18 programs in place and has highly qualified

19 professionals"--I guess that should be--"on

20 staff. While regrettable, the fact that this

21 situation was identified in the first place is

22 reflective of the importance of quality in the

23 organization. I am confident this is not

24 reflective of the services provided". Mr.

25 Dyer, did you give any portion of that answer?

Page 92

1 MR. DYER:

2 A. I don't think so. I don't think I did.

3 CHAYTOR, Q.C.:

4 Q. And at the time that this answer is being

5 given in November of 2005, what quality

6 monitoring programs were in place in the

7 pathology lab?

8 MR. DYER:

9 A. Again, the quality monitoring programs at that

10 time would be the Check Path for CAP for the

11 physicians and again, the quality monitoring

12 would be the ASCP PIP program, again for the

13 pathologists. And I think at that point too

14 the agreement was that we were going to start

15 proficiency testing, I believe. I think we

16 might have discussed that with--proficiency

17 testing was recommended and that we were going

18 to start.

19 CHAYTOR, Q.C.:

20 Q. And for the IHC portion of the lab, which is

21 the subject matter obviously of what's being

22 discussed here and what the minister will be

23 discussing, what was in place in terms of

24 quality monitoring programs in November 2005

25 for IHC?

Page 93

1 MR. DYER:
 2 A. The only quality monitoring programs would be
 3 that all of the slides that were produced from
 4 IHC were being interpreted by a physician.
 5 And I consider that a quality monitoring
 6 program also. Do you understand what I mean?
 7 Like, every slide that came out of our lab was
 8 read by a qualified physician.
 9 CHAYTOR, Q.C.:
 10 Q. I understand that, that you feel that and that
 11 you've said that before, but how is that
 12 quality monitoring?
 13 MR. DYER:
 14 A. Again, my interpretation would be as every
 15 single slide that comes out of the lab is read
 16 by a physician. So, they would tell us if
 17 there was an issue with quality.
 18 CHAYTOR, Q.C.:
 19 Q. At this point in time when this answer is
 20 given, there's no external quality proficiency
 21 testing -
 22 MR. DYER:
 23 A. In place, no.
 24 CHAYTOR, Q.C.:
 25 Q. - in place.

Page 94

1 MR. DYER:
 2 A. No.
 3 CHAYTOR, Q.C.:
 4 Q. The idea that the fact that this situation was
 5 identified in the first place is reflective of
 6 the importance of quality in the organization.
 7 Was that your idea?
 8 MR. DYER:
 9 A. I don't think so. I don't think I would have
 10 said that.
 11 CHAYTOR, Q.C.:
 12 Q. Did you hear Dr. Fontaine say that?
 13 MR. DYER:
 14 A. No, I don't think so.
 15 CHAYTOR, Q.C.:
 16 Q. Do you believe that to be accurate?
 17 MR. DYER:
 18 A. Importance of quality--definitely. We need
 19 quality in the organization.
 20 CHAYTOR, Q.C.:
 21 Q. The fact that the situation was identified in
 22 the first place is reflective of the
 23 importance of quality. The suggestion that
 24 somehow this was detected through quality
 25 assurances practices, that's what's being

Page 95

1 implied there, isn't it?
 2 MR. DYER:
 3 A. I guess it could be interpreted that way.
 4 CHAYTOR, Q.C.:
 5 Q. Do you agree with it?
 6 MR. DYER:
 7 A. Can you rephrase? I guess I agree.
 8 CHAYTOR, Q.C.:
 9 Q. You agree -
 10 MR. DYER:
 11 A. I guess I do.
 12 CHAYTOR, Q.C.:
 13 Q. - that this situation was identified through
 14 quality assurance practices.
 15 MR. SIMMONS:
 16 Q. Commissioner, I don't -
 17 MR. DYER:
 18 A. Pardon?
 19 MR. SIMMONS:
 20 Q. I don't read anything in this -
 21 MR. DYER:
 22 A. I'm not -
 23 MR. SIMMONS:
 24 Q. - which suggests it was identified as a result
 25 of quality assurance procedure. It says it's

Page 96

1 reflective of the importance -
 2 MR. DYER:
 3 A. Of quality. Yes, I think that's why I'm
 4 struggling to understand.
 5 THE COMMISSIONER:
 6 Q. All right. Now, just to make sure that
 7 everybody understands what your question is,
 8 would you make that question clear please, Ms.
 9 Chaytor?
 10 CHAYTOR, Q.C.:
 11 Q. It says, the exact wording is "while
 12 regrettable, the fact that this situation was
 13 identified in the first place is reflective of
 14 the importance of quality in the
 15 organization".
 16 MR. DYER:
 17 A. In the organization, yes.
 18 CHAYTOR, Q.C.:
 19 Q. Now, my interpretation of that and perhaps,
 20 it's not correct, but my interpretation of
 21 that led me, as a reader, to think that the
 22 situation was identified because of some
 23 quality assurance practice that was happening
 24 in the organization.
 25 MR. DYER:

Page 97

1 A. I don't believe that's how this was
 2 identified, in my opinion.
 3 CHAYTOR, Q.C.:
 4 Q. Okay. And so, perhaps--you don't believe, it
 5 wasn't picked up through any quality assurance
 6 process in the organization?
 7 MR. DYER:
 8 A. Not, not--well, again, I learned about it May
 9 17th, and my interpretation was from a
 10 patient's chart being sent away for a second
 11 opinion.
 12 CHAYTOR, Q.C.:
 13 Q. And the idea that "I am confident that this is
 14 not reflective of the services provided," is
 15 that an answer that you would have provided or
 16 Mr.--or sorry, Dr. Fontaine would have
 17 provided?
 18 MR. DYER:
 19 A. Again, that wouldn't--I don't think that would
 20 come from me, because again, I view that as
 21 clinical. I don't think that would have come
 22 from me.
 23 CHAYTOR, Q.C.:
 24 Q. And did you hear Dr. Fontaine say anything
 25 along those lines?

Page 98

1 MR. DYER:
 2 A. No, I don't think I was there when he actually
 3 spoke to Ms. Predham about it.
 4 CHAYTOR, Q.C.:
 5 Q. Okay.
 6 MR. DYER:
 7 A. I think we just had a general discussion about
 8 what we were doing at the time.
 9 CHAYTOR, Q.C.:
 10 Q. Okay, thank you, and if we could have, please--
 11 -I'm sorry, I should finish. The answer then
 12 also talked about "across the country,
 13 laboratories are looking at their testing
 14 procedures, in light of the findings in
 15 Newfoundland and Labrador." Were you aware of
 16 that at the time, that other labs, according
 17 to this, were looking at their testing
 18 procedures, given what's happening here?
 19 MR. DYER:
 20 A. I can't remember exactly, but yes, I think Mr.
 21 Gulliver received a couple of phone calls from
 22 directors across the country.
 23 CHAYTOR, Q.C.:
 24 Q. And were they looking at their ER/PR testing?
 25 MR. DYER:

Page 99

1 A. I don't know if it was exactly ER/PR testing
 2 itself.
 3 CHAYTOR, Q.C.:
 4 Q. And "Eastern Health has shared its learnings
 5 with other centres and has asked the
 6 Association of Canadian Pathologists to
 7 investigate the need to develop national
 8 standards for this testing process." Were you
 9 aware of that?
 10 MR. DYER:
 11 A. No, not me, no.
 12 CHAYTOR, Q.C.:
 13 Q. Okay. So Mr. Gulliver might have some
 14 information on that?
 15 MR. DYER:
 16 A. Well, in terms of sharing its learnings with
 17 other centres, it could have been Mr. Gulliver
 18 or it could have been -
 19 CHAYTOR, Q.C.:
 20 Q. Mr. Denic.
 21 MR. DYER:
 22 A. Or Doctor -
 23 CHAYTOR, Q.C.:
 24 Q. Or Dr. Denic.
 25 MR. DYER:

Page 100

1 A. - Dr. Cook at the time.
 2 CHAYTOR, Q.C.:
 3 Q. Okay, and the idea for the answer that "across
 4 the country, laboratories are looking at their
 5 testing procedures," did you provide that
 6 portion of the answer to Ms. Predham?
 7 MR. DYER:
 8 A. You mean to Dr. Fontaine, because I spoke to
 9 Dr. Fontaine about this, not Ms. Predham.
 10 CHAYTOR, Q.C.:
 11 Q. Okay.
 12 MR. DYER:
 13 A. And I don't know, I may have made that comment
 14 that Terry has received some phone calls from
 15 other parts of the country.
 16 CHAYTOR, Q.C.:
 17 Q. Thank you. If we could have P-0101, please?
 18 And this is a letter of Dr. Carter, December
 19 7th, 2005 to Dr. Williams, and it's almost a
 20 three-page letter. It's copied to Dr. Cook,
 21 to Mr. Gulliver and to Dr. Ejeckam, and she
 22 writes "I was most recently asked by Dr. Don
 23 Cook to comment on the suggestion of Mr. Barry
 24 Dyer that stated that he felt the Ventana
 25 testing for estrogen receptor progesterone

Page 101

1 receptor and HER2/neu could be started at any
 2 time. I find this comment quite startling in
 3 the face of the two fairly damning reports
 4 sent by Dr. Banerjee and Trish Wegrynowski on
 5 their review of our immunohistochemistry
 6 laboratory, with special emphasis on the
 7 predictive factors for breast cancer
 8 patients," and she goes on from there.
 9 Were you aware that Dr. Carter had
 10 written this letter in December of 2005?
 11 MR. DYER:
 12 A. No, I don't think I was.
 13 CHAYTOR, Q.C.:
 14 Q. Okay, and in December 2005, had you suggested
 15 that you felt the Ventana testing could come
 16 back online for ER/PR?
 17 MR. DYER:
 18 A. Honestly speaking, you know, I don't recall
 19 ever making such a statement that the Ventana
 20 system--that he felt that we could actually
 21 start running the Ventana system.
 22 CHAYTOR, Q.C.:
 23 Q. That you felt that you could -
 24 MR. DYER:
 25 A. That I felt that we could start running the

Page 102

1 Ventana system.
 2 CHAYTOR, Q.C.:
 3 Q. At that point in time?
 4 MR. DYER:
 5 A. At that point. I believe at that time, I know
 6 that one of the recommendations from Dr.
 7 Banerjee was that we could actually implement
 8 the Ventana system, but I don't think I've
 9 ever made that statement.
 10 CHAYTOR, Q.C.:
 11 Q. Dr. Banerjee doesn't recommend that until he's
 12 back in the spring of '06.
 13 MR. DYER:
 14 A. Oh, is that when it was recommended?
 15 CHAYTOR, Q.C.:
 16 Q. Yes.
 17 MR. DYER:
 18 A. Can we go--are you sure? I thought that was
 19 recommended back in '05.
 20 CHAYTOR, Q.C.:
 21 Q. Okay, could be wrong, but we can look at 40 -
 22 MR. DYER:
 23 A. But again, I don't recall ever saying that we
 24 could start testing.
 25 CHAYTOR, Q.C.:

Page 103

1 Q. If we could go back to, it was 0046, I believe
 2 was his original report?
 3 MR. DYER:
 4 A. Oh, I'm sorry, not the report, the actual
 5 recommendation sheet that was made.
 6 CHAYTOR, Q.C.:
 7 Q. Okay. Well then, we can go back to that too.
 8 MR. DYER:
 9 A. I'm sorry.
 10 CHAYTOR, Q.C.:
 11 Q. We have that at--I think that's 2--what was
 12 it, 0277, Registrar? Here we go, and that,
 13 the earliest recommendation sheet that we have
 14 is '06. So it would appear on the
 15 recommendation sheet, but I'm fairly confident
 16 Dr. Banerjee, that shows up in his second
 17 report in the spring of '06, and the earliest
 18 recommendation sheet that we have anyhow is
 19 the spring of '06. So certainly by December
 20 2005, now we're not--I'm not aware of anything
 21 to suggest that.
 22 MR. DYER:
 23 A. This was updated April '06. Oh, so we don't
 24 have the one prior to that?

Page 104

1 CHAYTOR, Q.C.:
 2 Q. That's the first we have. Do you have others?
 3 MR. DYER:
 4 A. No, I don't. I searched, I don't have them.
 5 I thought that was written in one of the
 6 actual recommendations, but -
 7 CHAYTOR, Q.C.:
 8 Q. Okay.
 9 MR. SIMMONS:
 10 Q. Which refers to the recommendation eight from
 11 Dr. Banerjee's first report.
 12 CHAYTOR, Q.C.:
 13 Q. Okay.
 14 MR. SIMMONS:
 15 Q. Page six.
 16 CHAYTOR, Q.C.:
 17 Q. We'll go back to page -
 18 MR. SIMMONS:
 19 Q. That would be the reference.
 20 CHAYTOR, Q.C.:
 21 Q. Okay, page eight, "the Ventana platform is
 22 performing adequately and with improvements in
 23 standardizations, there's no reason service
 24 could not be resumed without further delay."
 25 MR. DYER:

Page 105

1 A. Okay.
 2 CHAYTOR, Q.C.:
 3 Q. Okay, thank you, Mr. Simmons.
 4 MR. DYER:
 5 A. I think that might have been in one of the
 6 original--in the--I'm sure that's where I read
 7 it.
 8 CHAYTOR, Q.C.:
 9 Q. Okay.
 10 MR. DYER:
 11 A. Was in the original spreadsheet that was made
 12 by Mr. Gulliver.
 13 CHAYTOR, Q.C.:
 14 Q. And so what he's suggesting is the Ventana
 15 platform itself is performing adequately and
 16 with improvement in and standardization of
 17 fixation protocol.
 18 MR. DYER:
 19 A. There would be no reason -
 20 CHAYTOR, Q.C.:
 21 Q. Right, so he's not saying that you're ready to
 22 go as of writing this report in the fall of
 23 '05.
 24 MR. DYER:
 25 A. No, what he was saying, I believe, that the

Page 106

1 Ventana system was performing adequately.
 2 CHAYTOR, Q.C.:
 3 Q. Yes.
 4 MR. DYER:
 5 A. But again, I don't recall ever making an
 6 actual statement like that to Dr. Cook that we
 7 can be up and running.
 8 CHAYTOR, Q.C.:
 9 Q. And by December 2005, I take it you hadn't
 10 had--your fixation protocol hadn't been
 11 standardized at that point in time?
 12 MR. DYER:
 13 A. No, we did not.
 14 CHAYTOR, Q.C.:
 15 Q. Okay. So if we could go back then, please, to
 16 0101? So what you're saying is that you, in
 17 any event, don't recall having said this?
 18 MR. DYER:
 19 A. I don't recall ever saying that to Dr. Cook.
 20 CHAYTOR, Q.C.:
 21 Q. That things were ready to go in 2005?
 22 MR. DYER:
 23 A. That things--no, I honestly can't, I honestly
 24 cannot remember saying that.
 25 CHAYTOR, Q.C.:

Page 107

1 Q. And were you of the view, in December 2005,
 2 that that was the state of affairs, that
 3 things--the Ventana testing could be brought
 4 back on?
 5 MR. DYER:
 6 A. Well, it's not that it could be brought back
 7 on, but I felt that the Ventana system was
 8 performing adequately at the time and Dr.
 9 Banerjee actually said that to me himself when
 10 he was reading the--when we were reading the
 11 slides. I remember his exact statement during
 12 that time and he said, the slides that he
 13 reviewed, I just did a random review, and he
 14 said they were just as good or better than
 15 anything he's seen in Canada.
 16 CHAYTOR, Q.C.:
 17 Q. The slides from the Ventana system?
 18 MR. DYER:
 19 A. Yes, the random picks from the Ventana system.
 20 CHAYTOR, Q.C.:
 21 Q. And Dr. Carter then goes on and writes, in
 22 some detail, and we've been through this
 23 before here at the Commission, which seems to
 24 summarize a lot of the recommendations that
 25 came out of the two reviews, and then she -

Page 108

1 MR. DYER:
 2 A. Very, very much so, yes.
 3 CHAYTOR, Q.C.:
 4 Q. Yes. You've read the letter. I take it
 5 you've had an opportunity to read it since?
 6 MR. DYER:
 7 A. Just in the past week or so, two weeks, yes.
 8 CHAYTOR, Q.C.:
 9 Q. And then she concludes with, "I will be happy
 10 after a presentation by Mr. Dyer proving that
 11 all of the above have occurred and a tour of
 12 the immunohistochemistry laboratory to review
 13 the changes made, to advise my clinical
 14 colleagues that our laboratory and the results
 15 it generates are reliable, accurate and not
 16 dangerous to those Newfoundlanders and
 17 Labradorians having breast cancer." Did that
 18 ever happen, Mr. Dyer, prior to then it coming
 19 back on? Did you have to do a presentation to
 20 assure that all of the recommendations in fact
 21 had been implemented?
 22 MR. DYER:
 23 A. No, and reading that, I mean, Dr. Ejeckam was
 24 in charge of the immunohistochemistry lab, so
 25 I don't know why she--I guess she wanted it

Page 109

1 too. I mean, if she wanted a tour of the lab,
 2 she certainly could have gotten one. If she
 3 had an issue with the stain itself, she should
 4 have spoke to Dr. Ejeckam. So I don't--now
 5 that I've read it, but no, I did not give--I
 6 was never asked to give her a tour of the
 7 immunohistochemistry lab.
 8 CHAYTOR, Q.C.:
 9 Q. How far along were you by December 2005 in
 10 implementing the recommendations? Had you
 11 already been assigned to that task?
 12 MR. DYER:
 13 A. Assigned to some of them, yes, but we weren't
 14 very far along.
 15 CHAYTOR, Q.C.:
 16 Q. And was it your intention to have all the
 17 recommendations implemented prior to the
 18 testing resuming?
 19 MR. DYER:
 20 A. I think it came down to--again, you have to
 21 take each recommendation at face value and see
 22 how it impacts, how it would impact the
 23 testing, and I think that's what we were
 24 trying to do. So that we could get the
 25 testing up and running.

Page 110

1 CHAYTOR, Q.C.:
 2 Q. So there may be some that you'd feel
 3 comfortable that you could go ahead and
 4 implement the testing without those
 5 recommendations necessarily being finalized?
 6 MR. DYER:
 7 A. Well again, like putting the protocols into a
 8 CLSI standard format. Well, all the protocols
 9 were already in the system and they were
 10 already printed off and in a binder. So to
 11 actually transfer them over to that format was
 12 going to have no impact on what the techs were
 13 doing. So again, see, each thing had to be
 14 taken at its value to how it would impact.
 15 CHAYTOR, Q.C.:
 16 Q. And in terms of having signed off policies and
 17 procedures that had been approved and agreed
 18 to, how important was that in terms of having
 19 that done before the service was -
 20 MR. DYER:
 21 A. I believe that was considered to be policies
 22 and procedures that were going to have a
 23 direct impact, I believe was considered to get
 24 done.
 25 CHAYTOR, Q.C.:

Page 111

1 Q. So, but now the service came back on in
 2 February 2007.
 3 MR. DYER:
 4 A. Yes.
 5 CHAYTOR, Q.C.:
 6 Q. Was there any fixation policy approved and
 7 signed off on by that point in time?
 8 MR. DYER:
 9 A. An official one written off, I don't think so.
 10 CHAYTOR, Q.C.:
 11 Q. Okay. In December 2005, are you even in your
 12 position as manager of Eastern Health,
 13 regional manager, at this point in time?
 14 MR. DYER:
 15 A. I don't think so, no.
 16 CHAYTOR, Q.C.:
 17 Q. That doesn't happen until 2006, I believe you
 18 told us?
 19 MR. DYER:
 20 A. Yeah, I think at that time, we--again, a lot
 21 of pressure on the management team. Our jobs
 22 were going to be made redundant and we would
 23 have to reapply for our positions, if--I think
 24 at that time, they were making a decision as
 25 to how the program was going to be dealt with,

Page 112

1 was it going to be regional, and so I think
 2 Mr. Gulliver was, by then, I think in '05?
 3 Yes, in '05, I think that's when it happened.
 4 I think Mr. Gulliver was director and I think
 5 by then a decision might have been made it was
 6 going to be regional and our jobs were going
 7 to be posted again.
 8 CHAYTOR, Q.C.:
 9 Q. Okay. So then in 2006, so you had to apply--
 10 in the midst of this, you had to apply for
 11 your job again?
 12 MR. DYER:
 13 A. Oh yes.
 14 CHAYTOR, Q.C.:
 15 Q. Okay.
 16 MR. DYER:
 17 A. I remember our management group, it was
 18 stressful times. There's no doubt.
 19 CHAYTOR, Q.C.:
 20 Q. And you still though were in your position as
 21 manager of the pathology lab for the St.
 22 John's sites?
 23 MR. DYER:
 24 A. Yes.
 25 CHAYTOR, Q.C.:

Page 113

1 Q. So that--and then in reapplying, when it
 2 became a regional position and obviously you
 3 were successful in getting that position, you
 4 then became also responsible for which sites?
 5 MR. DYER:
 6 A. Anatomic pathology for Carbonear and anatomic
 7 pathology for Clarenville.
 8 CHAYTOR, Q.C.:
 9 Q. And what does that mean? How did your job
 10 duties change?
 11 MR. DYER:
 12 A. More work, more responsibility.
 13 CHAYTOR, Q.C.:
 14 Q. Okay, and how do you manage Carbonear and
 15 Clarenville?
 16 MR. DYER:
 17 A. What happens is I would take the lead role for
 18 administrative, in terms of major policies and
 19 procedures, myself and I believe Dr. Denic,
 20 and we have managers on site out there for
 21 day-to-day operations.
 22 CHAYTOR, Q.C.:
 23 Q. And so how frequent would you be in contact
 24 with Carbonear or Clarenville?
 25 MR. DYER:

Page 114

1 A. Not very frequent, maybe a month or every
 2 other month I may see how things are going. I
 3 relied on the manager out there for the day-
 4 to-day operations. When we started this
 5 process, we had to--in '06, once the positions
 6 were finally finalized, we had to--we wrote
 7 new goals and objectives and our primary goal,
 8 our first step was to try and standardize how
 9 things are being done throughout the
 10 organization for laboratory medicine.
 11 CHAYTOR, Q.C.:
 12 Q. And how far along are you in that process?
 13 MR. DYER:
 14 A. What I did was I made a visit to Carbonear and
 15 got whatever policies and procedures they had
 16 and I made a visit to Clarenville and picked
 17 up theirs also, and then I introduced them to
 18 our quality management team.
 19 CHAYTOR, Q.C.:
 20 Q. And so you said that it's probably once a
 21 month that you're in touch. Do you actually
 22 visit their labs once a month?
 23 MR. DYER:
 24 A. I think I've made--I've only visited--again,
 25 life was very difficult. I only made probably

Page 115

1 two or three visits since I got the position.
 2 CHAYTOR, Q.C.:
 3 Q. Since 2006?
 4 MR. DYER:
 5 A. Yes.
 6 CHAYTOR, Q.C.:
 7 Q. And likewise Carbonear and Clarenville, I
 8 guess?
 9 MR. DYER:
 10 A. Yes.
 11 CHAYTOR, Q.C.:
 12 Q. And are you in--then in terms of being in
 13 touch once a month, I take it, are there
 14 regular telephone or conference calls?
 15 MR. DYER:
 16 A. Again, if they had issues, they would phone
 17 me. If I would have--you know, if we had
 18 issues with technology, they want a new piece
 19 of equipment, things like that, that may have
 20 required my approval or Mr. Gulliver's
 21 approval, they would contact me for stuff like
 22 that. But they're both small groups. I think
 23 each lab only has one technologist and
 24 pathologists and they run hand in hand or they
 25 run together, and any real--any issues in

Page 116

1 terms of relief and things like this or
 2 payroll or union issues and that, the manager
 3 on site was dealing with it and we would have
 4 monthly meetings with the managers to see how
 5 things were going. So we kept in constant
 6 contact.
 7 CHAYTOR, Q.C.:
 8 Q. The policies, and we have them now as P-2157,
 9 that were brought into effect, do they--
 10 insofar as they are applicable to Clarenville
 11 and Carbonear, are they throughout? Are they
 12 regional policies throughout Eastern Health?
 13 MR. DYER:
 14 A. The larger policies such as suboptimal
 15 specimen and fixation and that, yes, they
 16 would be sent out.
 17 CHAYTOR, Q.C.:
 18 Q. Okay.
 19 MR. DYER:
 20 A. But the more--the smaller policies, like the
 21 more technical procedures that are done right
 22 now, they will stay on site for how they do
 23 things. You know, like -
 24 CHAYTOR, Q.C.:
 25 Q. So there might have to be variations in your

Page 117

1 procedure, depending on what equipment, I
 2 would take it, you have on site?
 3 MR. DYER:
 4 A. Exactly, yes.
 5 CHAYTOR, Q.C.:
 6 Q. Wouldn't be practical to have all the same.
 7 MR. DYER:
 8 A. Right.
 9 CHAYTOR, Q.C.:
 10 Q. But the larger policies, in terms of fixation,
 11 that's standard now throughout Eastern Health?
 12 MR. DYER:
 13 A. Yes.
 14 CHAYTOR, Q.C.:
 15 Q. Okay, and also for--what about like corrective
 16 actions and how to deal with that, is that a
 17 regional policy?
 18 MR. DYER:
 19 A. That's a good question. I wouldn't be able to
 20 tell you if correct--I think if corrective
 21 action, I'm not sure if it was a written as a
 22 major policy. Our policies are classified
 23 type one, type two, type three, type four, and
 24 I'm not--where I haven't been involved in the
 25 last eight or nine months, I can't really tell

Page 118

1 you.
 2 CHAYTOR, Q.C.:
 3 Q. Okay. So we would look for a type one would
 4 be across the region, is that right?
 5 MR. DYER:
 6 A. Again, I can't--I know, but I just can't--I
 7 don't know right now.
 8 CHAYTOR, Q.C.:
 9 Q. That's fine. There are other people, I'm
 10 sure, will be able to speak to that.
 11 MR. DYER:
 12 A. Yes.
 13 CHAYTOR, Q.C.:
 14 Q. Okay. If we could have, please, 1810? This
 15 is an e-mail January 17th, 2006 or an e-mail
 16 exchange. Start down here. You write to
 17 Vince D'Mello at Mount Sinai. "Hi, Vince.
 18 How are things? Would it be possible for your
 19 lab to review some ER/PR slides for us? They
 20 come from a grid of procedures and require a
 21 grade for our in-house purpose only, not
 22 diagnostic purposes. We will be glad to pay.
 23 Mary brought them with her." So this is
 24 around the time Mary Butler is going to Mount
 25 Sinai for her training?

Page 119

1 MR. DYER:
 2 A. Yes.
 3 CHAYTOR, Q.C.:
 4 Q. What was this about? Why were you sending up
 5 some ER/PR slides for Mount Sinai to review at
 6 that point in time?
 7 MR. DYER:
 8 A. Right, back in August, we did an actual grid,
 9 because--I'm not sure how it came about, but I
 10 believe i was asked by Dr. Cook that Dr.
 11 Carter was going to do revalidation of ER/PR
 12 on the Ventana system. So what we did was we
 13 did a grid, identified patients and did a grid
 14 and I think Ken ran multiple, multiple
 15 protocols and procedures for Dr. Carter to
 16 review. So I believe Dr. Carter read all of
 17 the slides and then sent everything back to
 18 Ken. He gave it to me. I had an index--I had
 19 the answers to each slide. So I sent--I put
 20 that on and sent it back to Dr. Carter to pick
 21 out what she felt would be the best protocols,
 22 and it never happened. She never did identify
 23 the protocols. So what I decided was--I think
 24 I might have spoke to Mr. Gulliver and asked
 25 if, you know, where Mary was going up, could

Page 120

1 she take the slides up and ask someone up
 2 there to give us an idea at the time.
 3 CHAYTOR, Q.C.:
 4 Q. And did that happen?
 5 MR. DYER:
 6 A. No, it didn't happen.
 7 CHAYTOR, Q.C.:
 8 Q. So who ultimately read the slides for you?
 9 MR. DYER:
 10 A. No, the slides were read, but there was no
 11 decision made on what protocol to pick.
 12 CHAYTOR, Q.C.:
 13 Q. And so who ultimately decided that?
 14 MR. DYER:
 15 A. I believe--ultimately decided the protocol?
 16 CHAYTOR, Q.C.:
 17 Q. Yes, who did what you wanted Dr. Carter to do
 18 and then Mount Sinai to do?
 19 MR. DYER:
 20 A. Well, no one did it on those slides. I think
 21 when Dr. Ford Elms got hired, he revalidated
 22 himself. So I would just--he asked me to
 23 identify patients and we started the whole
 24 process over again.
 25 CHAYTOR, Q.C.:

Page 121

1 Q. And why hadn't Dr. Carter done it?
 2 MR. DYER:
 3 A. I don't know if she just -- I mean, she read
 4 them. I don't know if she just didn't do it
 5 or the fact that we had the -- at the time we
 6 had the people coming in to start the peer
 7 reviews. I'm not sure why it didn't happen.
 8 CHAYTOR, Q.C.:
 9 Q. If we could have, please, 2050. This is a
 10 meeting of laboratory managers, February 14th,
 11 2006, and yourself and Mr. Gulliver are in
 12 attendance along with Ms. Wade and the rest of
 13 these people, I take it, are laboratory
 14 managers throughout Eastern Health?
 15 MR. DYER:
 16 A. Yes, in town and out of town.
 17 CHAYTOR, Q.C.:
 18 Q. So would they -- the ones who are out of town,
 19 do they get together, is this face to face, or
 20 are they joining you by conference call?
 21 MR. DYER:
 22 A. No, they would come in for face to face.
 23 CHAYTOR, Q.C.:
 24 Q. Okay, and how often do those laboratory
 25 manager's meetings take place?

Page 122

1 MR. DYER:
 2 A. Every month.
 3 CHAYTOR, Q.C.:
 4 Q. Once a month?
 5 MR. DYER:
 6 A. Yes.
 7 CHAYTOR, Q.C.:
 8 Q. Okay, and on page two of this document,
 9 pathology update, and then it flows over into
 10 page three, "Interviews of the external
 11 candidates for the PA positions will be held
 12 on Thursday", so that's your pathologist
 13 assistant positions?
 14 MR. DYER:
 15 A. Yes.
 16 CHAYTOR, Q.C.:
 17 Q. And then it says, "Barry informed that all the
 18 retesting of ER/PRs has been completed by
 19 Mount Sinai and 97 percent of the original
 20 results were accurate with no converts of
 21 those tested on the Ventana system". Do you
 22 recall making that statement in that meeting?
 23 MR. DYER:
 24 A. I don't recall making the statement, but
 25 obviously I made that statement, yes.

Page 123

1 CHAYTOR, Q.C.:
 2 Q. What would have been the source of your
 3 knowledge? Now this again, this is --
 4 MR. DYER:
 5 A. Pathology update back in --
 6 CHAYTOR, Q.C.:
 7 Q. This is February 14th, 2006.
 8 CHAYTOR, Q.C.:
 9 Q. Well, the only -- as far as I know, the only
 10 person who actually had access to the results
 11 was Dr. Cook and Dr. Carter, so I must have
 12 got that from Dr. Cook.
 13 CHAYTOR, Q.C.:
 14 Q. So in February, mid February, 2006, you were
 15 of the understanding that 97 percent of the
 16 original results were accurate?
 17 MR. DYER:
 18 A. From the Ventana system.
 19 CHAYTOR, Q.C.:
 20 Q. It says, "No converts from the Ventana", so I
 21 guess they were 100 percent accurate.
 22 MR. DYER:
 23 A. No conversions. Yes, that's what it says.
 24 Obviously, I must have said it.
 25 CHAYTOR, Q.C.:

Page 124

1 Q. And where did you get that information?
 2 MR. DYER:
 3 A. Again the only person who had access to the
 4 results -- I didn't have access to the results
 5 at the time, so it must have come from Dr.
 6 Cook. I don't know where else I would have
 7 got those results because at the time I wasn't
 8 -- at that time, I still wasn't reading the
 9 reports that were coming back from Mount
 10 Sinai.
 11 CHAYTOR, Q.C.:
 12 Q. Okay. Do you still believe that to be the
 13 case?
 14 MR. DYER:
 15 A. I believe I was told since that there's been a
 16 couple of -- what do they call it, is that
 17 retro conversions, they said? I'm not sure.
 18 CHAYTOR, Q.C.:
 19 Q. Those we understand are the positives that
 20 went negative, the retro conversions.
 21 MR. DYER:
 22 A. Yes, yes, and I believe -- I believe there was
 23 a couple that didn't match up from the -- I
 24 only learned this from the Jewish General. I
 25 think I only learned that recently.

Page 125

1 CHAYTOR, Q.C.:

2 Q. So a couple of the retro conversions what?

3 MR. DYER:

4 A. No, I think -- I think I learned that -- we

5 sent some slides -- what, from Mount Sinai?

6 CHAYTOR, Q.C.:

7 Q. Okay, this is Mount Sinai.

8 MR. DYER:

9 A. Right, I'm sorry, I'm confused.

10 CHAYTOR, Q.C.:

11 Q. You're saying 97 percent of the original

12 results were accurate or this is what's

13 attributed to you, with no converts of those

14 tested on the Ventana system.

15 MR. DYER:

16 A. Yeah, I don't --

17 CHAYTOR, Q.C.:

18 Q. You're saying the only person who would have

19 the results -- you weren't getting the

20 results?

21 MR. DYER:

22 A. No, the results weren't coming to me. I don't

23 know where I got those numbers, and I don't

24 even know what we were talking about. I don't

25 know if we were talking about all the actual

Page 126

1 retesting we sent out or cases that we sent

2 out for them. This might have been from cases

3 that we sent to them -- this might have just

4 been cases that were sent from the Ventana

5 system, I don't know. Now I can't answer to

6 it.

7 CHAYTOR, Q.C.:

8 Q. And do you believe -- my question was whether

9 or not you believe that this to be an accurate

10 statement today?

11 MR. DYER:

12 A. No, I think I was told that there was a couple

13 of converts from the Ventana system.

14 CHAYTOR, Q.C.:

15 Q. And what about the idea that 97 percent of the

16 original results were accurate, do you believe

17 that to be accurate?

18 MR. DYER:

19 A. Again I think if I'm saying the 97 percent,

20 again I would believe I'm saying that about

21 the Ventana system.

22 CHAYTOR, Q.C.:

23 Q. Okay.

24 MR. DYER:

25 A. Patients that were actually tested on the

Page 127

1 Ventana system and then retested at Mount

2 Sinai.

3 CHAYTOR, Q.C.:

4 Q. So you're --

5 MR. DYER:

6 A. I don't think this has anything to do with

7 DAKO. I think this has to do with the results

8 from the Ventana system because, I guess, at

9 the time it was still -- we were doing Ventana

10 system. I guess at the time the issues were

11 around the Ventana system.

12 CHAYTOR, Q.C.:

13 Q. So you're saying that if you said this, you

14 must have meant the Ventana system?

15 MR. DYER:

16 A. Yes, this would have been cases that were sent

17 out that were negative on the Ventana system

18 and then retested from Mount Sinai.

19 CHAYTOR, Q.C.:

20 Q. And 97 percent would still be about an

21 accurate statement in terms of Ventana tests?

22 MR. DYER:

23 A. Well, I think I heard it was only one or two

24 conversions from what I understand.

25 CHAYTOR, Q.C.:

Page 128

1 Q. And that's still your understanding?

2 MR. DYER:

3 A. That's still my understanding, I believe,

4 right now.

5 CHAYTOR, Q.C.:

6 Q. So you wouldn't be making that statement in

7 terms of the overall retest results?

8 MR. DYER:

9 A. No, because I don't think we probably would

10 have even had the results back by then for

11 everything.

12 CHAYTOR, Q.C.:

13 Q. And you wouldn't today be making -- having the

14 results back, you wouldn't be making that

15 statement today about the overall results?

16 MR. DYER:

17 A. No, not from what I -- no, not at all.

18 CHAYTOR, Q.C.:

19 Q. If we could have, please, 2366.

20 COMMISSIONER:

21 Q. Ms. Chaytor, when you find a spot, we'll take

22 the morning break.

23 CHAYTOR, Q.C.:

24 Q. Thank you. This is a meeting of April 20th,

25 2006, laboratory medicine program, and again

Page 129

1 it's -- you're not in attendance. It's Drs.
 2 Denic, Williams, and Gulliver, and page three
 3 of this document, Item 10 is, "Dr. Carter,
 4 discussion in regards to the recent approval
 5 of Dr. Carter as QA coordinator for pathology.
 6 Terry will work with Barry Dyer to facilitate
 7 implementation of this new function", and then
 8 it says, "off the agenda". Again this is
 9 April 20th, 2006. What does it mean that
 10 Terry will work with you to facilitate the
 11 implementation of Dr. Carter's new function?
 12 MR. DYER:
 13 A. So Dr. Carter was starting a new QA program
 14 for the pathology lab itself, and were given
 15 funds to hire a coordinator or hire a
 16 technical staff to be involved, and that would
 17 be a permanent position just for that QA.
 18 CHAYTOR, Q.C.:
 19 Q. So this is when -- who was it came on, the
 20 position for --
 21 MR. DYER:
 22 A. This would have been the technical -- we had
 23 money approved to hire a permanent full time
 24 technical staff to be part of the total
 25 quality management group for pathology.

Page 130

1 CHAYTOR, Q.C.:
 2 Q. Okay, and who was that, who was that position?
 3 MR. DYER:
 4 A. Ms. Catherine Parnell.
 5 CHAYTOR, Q.C.:
 6 Q. That's Catherine Parnell.
 7 MR. DYER:
 8 A. Yes.
 9 CHAYTOR, Q.C.:
 10 Q. And if we could have, please, 1754. This is a
 11 meeting June 30th, 2006, and these are Dr.
 12 Cook's notes.
 13 MR. DYER:
 14 A. Okay.
 15 CHAYTOR, Q.C.:
 16 Q. Present Dr. Cook, Dr. Morris-Larkin, Denic,
 17 Elms, Makarla, is it?
 18 MR. DYER:
 19 A. Yes, Makarla.
 20 CHAYTOR, Q.C.:
 21 Q. Carter, Williams, yourself, Pam Decker, is it?
 22 MR. DYER:
 23 A. I think so.
 24 CHAYTOR, Q.C.:
 25 Q. And Heather Predham, and it's re;

Page 131

1 implementation of ER/PR testing. So June
 2 30th, 2006, do you recall attending that
 3 meeting and what was discussed about the
 4 implementation?
 5 MR. DYER:
 6 A. I don't remember it, but I was there.
 7 CHAYTOR, Q.C.:
 8 Q. And Dr. Denic, Dr. Elms, there's comments
 9 attributed to them, along with Dr. Carter and
 10 Dr. Williams, and Dr. Makarla, but there's
 11 nothing contributed -- attributed, anyhow, to
 12 you in Dr. Cook's notes. So this was, I take
 13 it, getting ready to discuss where you are to
 14 bring the ER/PR testing back on?
 15 MR. DYER:
 16 A. Yes.
 17 CHAYTOR, Q.C.:
 18 Q. But you don't remember much about that or what
 19 was discussed. So there's nothing further
 20 you'd be able to add to that. Okay, perhaps
 21 this is a good place then, Commissioner, and
 22 we'll discuss the implementation then of the
 23 testing when we come back.
 24 COMMISSIONER:
 25 Q. All right then, morning break.

Page 132

1 (BREAK)
 2 COMMISSIONER:
 3 Q. Ms. Chaytor.
 4 CHAYTOR, Q.C.:
 5 Q. Thank you, Commissioner. We have two new
 6 exhibits which I would ask, please, to have
 7 entered, P-2409 and P-2429.
 8 EXHIBIT P-2409 AND P-2429 ENTERED
 9 CHAYTOR, Q.C.:
 10 Q. If we could bring up, please, 2429. You'll
 11 recall I had asked you about the questions and
 12 answers for the Minister of Health, and I had
 13 referred you to a document, November 21st, I
 14 believe it was, 2005.
 15 MR. DYER:
 16 A. Yes.
 17 CHAYTOR, Q.C.:
 18 Q. And this appears to be an earlier exchange,
 19 November 18th, 2005, between Ms. Predham and
 20 Ms. Deborah Thomas-Pennell, and on page three
 21 of the document under the question, "Has a
 22 review occurred", you'll see that there is in
 23 italics here, "These are details supplied by
 24 the lab", and it states, "It was found there
 25 were problems with interpretation and quality

Page 133

1 of specimens used for interpretation. There
 2 was no QA program in place, being monitored by
 3 one individual. Too many individuals were
 4 involved without delegated responsibility and
 5 required individuals may be unfamiliar with
 6 standards required for interpretation.
 7 Actions, implementation of a sub-specialty
 8 sign out, so only a few individuals will be
 9 responsible for overseeing the performance and
 10 interpretation and will also allow for
 11 individuals to maintain expertise in sub-
 12 specialty area. CME will be provided for
 13 interpretation, labs will undergo
 14 accreditation". In terms of that type of an
 15 answer, Mr. Dyer, do you recall is any of that
 16 your thinking or what you discussed with Dr.
 17 Fontaine?
 18 MR. DYER:
 19 A. Again when it came to -- I think the statement
 20 was interpretation and quality. I think
 21 interpretation -- I don't think -- again I
 22 wouldn't have said something like that because
 23 again that's a clinical issue and I wasn't one
 24 at the time to make statements about the
 25 clinical issues. Quality of specimens, I may

Page 134

1 certainly have said something like that. No
 2 QA program, I certainly -- I certainly would
 3 have said something like that in terms of an
 4 official QA program.
 5 CHAYTOR, Q.C.:
 6 Q. Then if we could turn to the issue of
 7 reinstating ER/PR and I understand that
 8 happened in February, 2007?
 9 MR. DYER:
 10 A. Yes.
 11 CHAYTOR, Q.C.:
 12 Q. Were you involved in reinstating the
 13 testing?
 14 MR. DYER:
 15 A. I think the main focus for me at that time was
 16 before we reinstated testing, we wanted to
 17 come up with a validation, we wanted to come
 18 up with an actual written validation protocol.
 19 So what happened was I think Dr. Elms provided
 20 me with some documentation from a conference
 21 he attended in, I believe it was Texas, and it
 22 was -- it was just all in paragraphs. It was
 23 complicated to read, so what I did is I took
 24 it, I deciphered it, and from it I created a
 25 chart based on my interpretation of that

Page 135

1 document, and then what I did is I sat down
 2 with Dr. Elms and he reviewed it, and my
 3 question was, you know, is this how you
 4 interpret it. We went over it together and we
 5 accepted it and said, yes, this is what we're
 6 going to do, this will now be our new
 7 protocol. So what I did then was I took the
 8 document, I went and met with the techs in
 9 immuno, explained to them exactly step by step
 10 what this document meant and how we will go
 11 about the process. From there, Dr. Ford Elms
 12 took over.
 13 CHAYTOR, Q.C.:
 14 Q. Okay, and when they came on, were you aware
 15 that the testing had resumed?
 16 MR. DYER:
 17 A. What do you mean?
 18 CHAYTOR, Q.C.:
 19 Q. When the ER/PR testing resumed, were you aware
 20 that had happened?
 21 MR. DYER:
 22 A. No.
 23 CHAYTOR, Q.C.:
 24 Q. And how did you learn that it had happened?
 25 MR. DYER:

Page 136

1 A. I think I was in the lab one day and one of
 2 the techs told me that we're now testing ER/PR
 3 again.
 4 CHAYTOR, Q.C.:
 5 Q. Were you consulted in terms of how far along
 6 you were on implementing the recommendations
 7 from the reviews?
 8 MR. DYER:
 9 A. I can't --
 10 CHAYTOR, Q.C.:
 11 Q. Prior to the testing coming back on, did
 12 anyone come to you and ask you how far along
 13 you were in terms of implementing the
 14 recommendations and whether you thought it
 15 would now be okay from a technical point of
 16 view to resume the testing?
 17 MR. DYER:
 18 A. That's a good question. I think -- I know we
 19 -- I know we were in discussion about what was
 20 being done technically, but I -- I'm not sure
 21 if I was. I think -- you know, when I met
 22 with the staff over this time period, we had
 23 all the forms created, the technical forms we
 24 were going to use for documentation and things
 25 like that. All that stuff was already done

Page 137

1 and in place. When Mary and Ken came back, we
 2 took their information and started doing
 3 things like that immediately. So I know all
 4 that was in place at the time. I was
 5 involved, in one sense, I guess, yes.
 6 CHAYTOR, Q.C.:
 7 Q. But it actually then came on and was resumed
 8 prior to -- and you learned that it actually
 9 was up and running from one of the
 10 technologists?
 11 MR. DYER:
 12 A. Yes.
 13 CHAYTOR, Q.C.:
 14 Q. And do you know in February of 2007 whether
 15 all the recommendations, in fact, had been
 16 implemented at that point in time?
 17 MR. DYER:
 18 A. In terms of -- in what sense? Again it's all
 19 at face value. You know, again when it came
 20 to -- I keep going back to the protocols.
 21 They weren't transferred over to the CSLI
 22 standard, but they were there all printed off
 23 and in binders, things like this, but in terms
 24 of all the SOPs actually officially being
 25 signed off, I don't think they were. We were

Page 138

1 using -- I think at the time we had
 2 handwritten things, and that's what we were
 3 using at the time.
 4 CHAYTOR, Q.C.:
 5 Q. And in terms of any surgeries that were taking
 6 place at that point in time, any surgeries
 7 taking place at the Health Sciences, what
 8 would happen to the specimen, breast specimen
 9 at Health Sciences, where were they being
 10 processed, what was happening?
 11 MR. DYER:
 12 A. In 2007?
 13 CHAYTOR, Q.C.:
 14 Q. Yes, when it first came back on?
 15 MR. DYER:
 16 A. The breast specimens from Health Science were
 17 -- again I'm sorry, I don't understand your
 18 question.
 19 CHAYTOR, Q.C.:
 20 Q. Where was the grossing of the breast specimen,
 21 for example, taking place?
 22 MR. DYER:
 23 A. Okay, thank you. I'm not sure when it has
 24 changed since, but I think in early '07 we had
 25 a sub-speciality group put together and I

Page 139

1 believe the breast cancers were actually being
 2 sent to St. Clare's for grossing.
 3 CHAYTOR, Q.C.:
 4 Q. So the surgery was taking place at the Health
 5 Sciences?
 6 MR. DYER:
 7 A. Yes.
 8 CHAYTOR, Q.C.:
 9 Q. And then being -- and the specimen being
 10 transported to?
 11 MR. DYER:
 12 A. To the lab.
 13 CHAYTOR, Q.C.:
 14 Q. And how as it being transported?
 15 MR. DYER:
 16 A. Well, it all depended on the situation. If
 17 the specimen came down and it was early in the
 18 day, we would phone -- we had a courier system
 19 in place, a stat courier system. So a
 20 specimen would come down in formalin and what
 21 would happen is it would be -- we would phone
 22 the courier system. When they showed up, we
 23 would drain excess formalin off the specimen
 24 so it could be actually transferred. It would
 25 be -- it was bagged in a special bag and

Page 140

1 sealed and sent directly over to St. Clare's.
 2 A document was -- it was documented and St.
 3 Clare's was phoned immediately to let them
 4 know it was on its way.
 5 CHAYTOR, Q.C.:
 6 Q. So you would -- when it came down from the OR,
 7 it was in formalin?
 8 MR. DYER:
 9 A. Yes.
 10 CHAYTOR, Q.C.:
 11 Q. And no bread loafing or anything done at the
 12 Health Sciences?
 13 MR. DYER:
 14 A. Not if it was going to be sent immediately.
 15 Only if breast cases came down after 4
 16 o'clock, then they would get bread loafed and
 17 would be left at the Health Science until the
 18 next day.
 19 CHAYTOR, Q.C.:
 20 Q. And then transported over?
 21 MR. DYER:
 22 A. And then transported over. That was the
 23 protocol.
 24 CHAYTOR, Q.C.:
 25 Q. So the ones that were going to be transported

Page 141

1 the same day as surgery would come down still
 2 in formalin?
 3 MR. DYER:
 4 A. Yes.
 5 CHAYTOR, Q.C.:
 6 Q. And a courier called. When the courier showed
 7 up?
 8 MR. DYER:
 9 A. Yes, then we would actually have prepared a
 10 specimen to be sent.
 11 CHAYTOR, Q.C.:
 12 Q. Okay, and the formalin would be drained?
 13 MR. DYER:
 14 A. Well, most of it would be drained. Some would
 15 be left on, it would be sealed in a bag.
 16 CHAYTOR, Q.C.:
 17 Q. Okay, and where did that procedure come from?
 18 MR. DYER:
 19 A. I'm not sure if I came up with that procedure
 20 myself or if myself and Dr. Fontaine came up
 21 with it. He actually signed off the
 22 procedure, but -
 23 CHAYTOR, Q.C.:
 24 Q. Was there a written procedure to that effect?
 25 MR. DYER:

Page 142

1 A. Yes, there was.
 2 CHAYTOR, Q.C.:
 3 Q. And in terms of how long would the specimen be
 4 left without adequate formalin?
 5 MR. DYER:
 6 A. Usually it was about, the actual stat service
 7 was 15 minutes.
 8 CHAYTOR, Q.C.:
 9 Q. So 15 minutes to go from one site to the
 10 other?
 11 MR. DYER:
 12 A. Yes.
 13 CHAYTOR, Q.C.:
 14 Q. And on the other end, what was the procedure
 15 in terms of ensuring that immediately upon
 16 receipt that it's put back in formalin?
 17 MR. DYER:
 18 A. It would be put back in formalin immediately,
 19 like we were through constant contact all the
 20 time for specimens that got sent over.
 21 CHAYTOR, Q.C.:
 22 Q. And in terms of, are you aware whether or not
 23 there was ever any delays in getting the
 24 specimen to St. Clare's?
 25 MR. DYER:

Page 143

1 A. I don't know if I was aware of delays, I mean,
 2 it could happen, but I don't think I was aware
 3 of any delays where cases actually got, you
 4 know, traffic jams or accidents or anything
 5 like that.
 6 CHAYTOR, Q.C.:
 7 Q. And I take it that wasn't a procedure that Ms.
 8 Wegrynowski recommended when she was in?
 9 MR. DYER:
 10 A. No, I don't think so. I'm not sure when we
 11 started--no, we weren't doing that when Ms.
 12 Wegrynowski was here, no. I think that was
 13 started when they put together the breast
 14 group. They wanted everything to be grossed
 15 by the same, I guess by the same group. Also
 16 in '07 when we were doing this, I would
 17 constantly talk to Dr. Ford Elms and talk--and
 18 I would constantly talk to pathologists to see
 19 if there were any fixation issues, I would
 20 talk to the staff down there and I would even
 21 talk to our technical staff to see if they
 22 were getting tissue with, you know, the
 23 softness and things like that, to identify
 24 issues. And there was none and there was no
 25 occurrences at the time either, to that point,

Page 144

1 so it was being monitored carefully.
 2 CHAYTOR, Q.C.:
 3 Q. And the times being recorded as to when the
 4 specimen was received from the OR, when the
 5 formalin was drained, when the formalin was
 6 put on the specimen, all those times were
 7 being recorded?
 8 MR. DYER:
 9 A. I think in '07, I still don't think we were
 10 recording early in '07 when the specimen was
 11 actually put on formalin from the OR and that,
 12 but from our point of view, from delivery and
 13 things like that, it was all recorded, yes.
 14 CHAYTOR, Q.C.:
 15 Q. And is that now happening? Is there now a
 16 recording of when the specimen is originally
 17 put on formalin?
 18 MR. DYER:
 19 A. Every specimen, yes.
 20 CHAYTOR, Q.C.:
 21 Q. So what was happening when the testing resumed
 22 in February of 2007, for any surgeries from
 23 the Health Science, the breast specimen would
 24 be sent to the lab in formalin -
 25 MR. DYER:

Page 145

1 A. The cancer cases, yes.
 2 CHAYTOR, Q.C.:
 3 Q. Yes, and sent in formalin, the formalin, when
 4 the courier arrived, would be drained to the
 5 point of putting it then in a sealed bag, sent
 6 over and at St. Clare's it would then be
 7 grossed?
 8 MR. DYER:
 9 A. Yes.
 10 CHAYTOR, Q.C.:
 11 Q. Would it also be put into blocks at St.
 12 Clare's?
 13 MR. DYER:
 14 A. Yes, St. Clare's still does the grossing, that
 15 was the purpose that--the one group would
 16 actually gross all these tissues.
 17 CHAYTOR, Q.C.:
 18 Q. Okay, so they would do the grossing, produce
 19 the blocks?
 20 MR. DYER:
 21 A. Yes.
 22 CHAYTOR, Q.C.:
 23 Q. And then send it back to the Health Science,
 24 the blocks would come back to the Health
 25 Science, to the IHC lab for staining -

Page 146

1 MR. DYER:
 2 A. The blocks would come back for processing, so
 3 then we would start the whole processing -
 4 CHAYTOR, Q.C.:
 5 Q. Yes, because the processor is now at the
 6 Health Science too.
 7 MR. DYER:
 8 A. Yes.
 9 CHAYTOR, Q.C.:
 10 Q. So the processing happens then at the Health
 11 Sciences.
 12 MR. DYER:
 13 A. Yes, the processing, then we would embed, we
 14 would cut, stain, send the H&Es back to their
 15 pathologists and then they would make their
 16 orders and they if they would order IHC, then
 17 they would order IHC.
 18 CHAYTOR, Q.C.:
 19 Q. And then that would be done, the slides would
 20 be done and stained at the IHC lab?
 21 MR. DYER:
 22 A. Yes.
 23 THE COMMISSIONER:
 24 Q. And the breast group was at St. Clare's, then
 25 you'd send the slides back to St. Clare's?

Page 147

1 MR. DYER:
 2 A. Yes, they're still six pathologists at St.
 3 Clare's, so not just the breast group, any
 4 specimen that's assigned to a pathologist over
 5 there, the slides would be sent back to them,
 6 today.
 7 CHAYTOR, Q.C.:
 8 Q. So that's what was happening first when it
 9 started up and we know that the ER/PR is not
 10 now happening again at the Health Sciences, is
 11 that right?
 12 MR. DYER:
 13 A. Yes.
 14 CHAYTOR, Q.C.:
 15 Q. And so up to it, I believe it continued,
 16 though, until certainly May or June of 2008?
 17 MR. DYER:
 18 A. Yes.
 19 CHAYTOR, Q.C.:
 20 Q. And up to the point of discontinuing the
 21 service again, which we understand is intended
 22 to be temporarily suspended, was that still
 23 the process? Is that still what was
 24 happening?
 25 MR. DYER:

Page 148

1 A. Yes.
 2 CHAYTOR, Q.C.:
 3 Q. And when it resumes again, will that still be
 4 the process?
 5 MR. DYER:
 6 A. I think that will still be the process until
 7 we actually consolidate. The only real change
 8 that's occurred in that process right now is
 9 that the PAS are actually grossing the
 10 breasts, our pathology assistants, they have
 11 been trained and they are now grossing
 12 breasts.
 13 CHAYTOR, Q.C.:
 14 Q. And are there not PAS at both sites?
 15 MR. DYER:
 16 A. Yes.
 17 CHAYTOR, Q.C.:
 18 Q. So the grossing of the breast specimen could
 19 be done, the ones from the Health Science
 20 could be done at the Health Science by the PAS
 21 there?
 22 MR. DYER:
 23 A. I think so, but I believe still the breast may
 24 be still under the direction of the
 25 pathologist, so I believe we're still sending

Page 149

1 the breast cancer cases over there and again,
 2 when it comes to these cases, there's
 3 different things that need to be done. I
 4 think the -
 5 THE COMMISSIONER:
 6 Q. Sorry, Ms. Chaytor in one of her questions
 7 said to you when the courier arrived,
 8 effectively the formalin was drained and then
 9 it went off.
 10 MR. DYER:
 11 A. Yes, we would leave so many centimetres deep.
 12 THE COMMISSIONER:
 13 Q. Ah, but my question is when the courier
 14 arrives, do you wait until the courier arrives
 15 before you drain?
 16 MR. DYER:
 17 A. Yes, so there would be no delay, we always
 18 wait for the courier to get here. When the
 19 courier gets here, then we do the process
 20 because it takes, like, two minutes.
 21 THE COMMISSIONER:
 22 Q. Okay, thank you.
 23 CHAYTOR, Q.C.:
 24 Q. And whether or not that time period or the
 25 keeping of some of the formalin on the

Page 150

1 specimen, when did you become aware of that,
 2 that in fact it's not all the formalin that's
 3 drained?
 4 MR. DYER:
 5 A. No, that's just--because the specimen is
 6 soaked in formalin, so it will retain a lot of
 7 the formalin.
 8 CHAYTOR, Q.C.:
 9 Q. So all the formalin is drained off, except of
 10 what may have already been absorbed by the
 11 tissue?
 12 MR. DYER:
 13 A. Yes, like every time you look in the bag, it's
 14 always, you know, the bag is placed back into
 15 the original containers, usually a couple of
 16 centimetres deep.
 17 CHAYTOR, Q.C.:
 18 Q. Okay, so it's drained off.
 19 MR. DYER:
 20 A. Yes.
 21 CHAYTOR, Q.C.:
 22 Q. And whatever is left then in the bag is what
 23 has been absorbed by the tissue?
 24 MR. DYER:
 25 A. Yes.

Page 151

1 CHAYTOR, Q.C.:
 2 Q. And whether or not the delay, in terms of the
 3 courier service could be as much as 30 or 40
 4 minutes.
 5 MR. DYER:
 6 A. I guess, how long they take to get over the--
 7 in our contract, the courier service is stated
 8 as a stat, which is 15 minutes from one side
 9 to the other.
 10 CHAYTOR, Q.C.:
 11 Q. And the time that it actually has the formalin
 12 drained is recorded -
 13 MR. DYER:
 14 A. Yes, as far as I know it is, yes.
 15 CHAYTOR, Q.C.:
 16 Q. And is that part of the written procedure?
 17 MR. DYER:
 18 A. Not the original one, no, but I believe that's
 19 what they're doing today, yes. The original
 20 was written back in '06, late '06 when I think
 21 they started putting together the breast
 22 pathology group.
 23 CHAYTOR, Q.C.:
 24 Q. And so at the time you weren't recording the
 25 time that the formalin came off and the tissue

Page 152

1 sent back or the specimen went back in the
 2 formalin, but that's now being done?
 3 MR. DYER:
 4 A. Yes, that only started, I believe in the past,
 5 like this year or late last year when we got
 6 agreement.
 7 CHAYTOR, Q.C.:
 8 Q. And is there a policy or procedure in the
 9 recent procedures and policies that have been
 10 passed which outline this -
 11 MR. DYER:
 12 A. How to do that?
 13 CHAYTOR, Q.C.:
 14 Q. Which outline this procedure that the breast
 15 comes down, the specimen has the formalin
 16 drained and shipped and what timeframes are
 17 acceptable?
 18 MR. DYER:
 19 A. It's not in an actual format, but there is a
 20 written protocol, yes.
 21 CHAYTOR, Q.C.:
 22 Q. And do you know if that's in the policy and
 23 procedure manual?
 24 MR. DYER:
 25 A. I don't know if it's actually in their policy

Page 153

1 procedure manual yet, but there is a written
 2 protocol and it's posted in the gross rooms
 3 and signed off.
 4 CHAYTOR, Q.C.:
 5 Q. And why wouldn't that be in a written policy
 6 or procedure?
 7 MR. DYER:
 8 A. Again, our physicians are working on it
 9 because they're working on the SOPs for the
 10 grossing, that's clinical, so they're working
 11 on it.
 12 CHAYTOR, Q.C.:
 13 Q. So you're saying today, even though regardless
 14 of ER/PR, but obviously breast surgeries are
 15 still happening and why are the breasts still
 16 being sent to St. Clare's, the ones from
 17 Health Science if there's no breast
 18 pathologist right now at St. Clare's?
 19 MR. DYER:
 20 A. I think you should ask clinical that, I'm
 21 going to get too far into it and I'm not sure
 22 of all the reasons, so I think that's more of
 23 a physician answer, a physician question
 24 because that decision would be made by them.
 25 That wasn't a decision that I would make.

Page 154

1 CHAYTOR, Q.C.:
 2 Q. And you're not aware of the reason for it?
 3 MR. DYER:
 4 A. As to why we're doing it right now?
 5 CHAYTOR, Q.C.:
 6 Q. Yes.
 7 MR. DYER:
 8 A. No, I don't think I'm aware of why we're
 9 actually doing it right now.
 10 CHAYTOR, Q.C.:
 11 Q. And has it dawned on you to ask that question,
 12 well why are we doing this when there is no
 13 breast pathologist there?
 14 MR. DYER:
 15 A. No, I haven't asked the question, if that's
 16 what the plan is, then that's what the plan
 17 is. That's a decision made by our clinical
 18 staff.
 19 CHAYTOR, Q.C.:
 20 Q. And in terms of the procedure in sending the
 21 breast tissue over to the Health Science with
 22 the formalin drained or, sorry, over to St.
 23 Clare's with the formalin drained, has that
 24 been, has that been approved by any external
 25 group?

Page 155

1 MR. DYER:
 2 A. No, I don't think so, an external group?
 3 CHAYTOR, Q.C.:
 4 Q. Yes, like in terms of well, QMPLS was in, were
 5 they ware of that happening in December of
 6 2007?
 7 MR. DYER:
 8 A. I wasn't here, I wasn't here when QMPLS came
 9 in, so I don't know. I assume that they
 10 talked to him about all these things, I don't
 11 know.
 12 CHAYTOR, Q.C.:
 13 Q. So you don't know whether or not they were
 14 aware of it and whether or not they thought it
 15 was an acceptable procedure?
 16 MR. DYER:
 17 A. I don't know.
 18 CHAYTOR, Q.C.:
 19 Q. If we could have, please, P-0114? And this is
 20 a document feedback from immunohistochemistry
 21 technology, technologists, May 29th, 2007. Do
 22 you know the source of this document, Mr.
 23 Dyer?
 24 MR. DYER:
 25 A. Yes, there was a meeting held down in the

Page 156

1 resident's room with my staff.
 2 CHAYTOR, Q.C.:
 3 Q. And who attended that meeting?
 4 MR. DYER:
 5 A. This exact meeting right here? I believe it
 6 was the immuno staff and myself and I believe
 7 Ms. Predham.
 8 CHAYTOR, Q.C.:
 9 Q. And did you draft this document or who drafted
 10 -
 11 MR. DYER:
 12 A. Did I draft this document? No, I didn't draft
 13 this document.
 14 CHAYTOR, Q.C.:
 15 Q. So this might be Ms. Predham's document?
 16 MR. DYER:
 17 A. It must be, I only just sent it recently, like
 18 in the last week or so.
 19 CHAYTOR, Q.C.:
 20 Q. Okay, and so you've had a chance to read
 21 through it?
 22 MR. DYER:
 23 A. I have.
 24 CHAYTOR, Q.C.:
 25 Q. And does it accurately capture the concerns

Page 157

1 which were expressed by the technologists in
 2 the meeting?
 3 MR. DYER:
 4 A. It's hard to remember, what had happened that
 5 day, May 29th, was an interesting day. A
 6 very, very stressful day. I think this was
 7 around the time I think the litigation was
 8 actually announced--was starting and everybody
 9 was -
 10 CHAYTOR, Q.C.:
 11 Q. Litigation -
 12 MR. DYER:
 13 A. Oh, I'm sorry, this is when -
 14 CHAYTOR, Q.C.:
 15 Q. The inquiry had been announced.
 16 MR. DYER:
 17 A. Yes, I think the inquiry and I think the
 18 lawsuit might have been at the time, or
 19 something.
 20 CHAYTOR, Q.C.:
 21 Q. And the class action certification had just
 22 recently occurred as well.
 23 MR. DYER:
 24 A. Had just been announced and there was a lot of
 25 stress in the lab, the staff didn't know how

Page 158

1 they were going to be impacted, what was going
 2 to happen to anyone, and it was a very--it was
 3 a horrible atmosphere at the time, everybody
 4 was worried and concerned. And so I asked, I
 5 think I asked Ms. Predham to have a meeting
 6 with all staff, the entire laboratory,
 7 technical staff, for question and answer. And
 8 so I think what happened was I think we got
 9 together that day and all of us had a meeting
 10 and I think it went on for, you know, a couple
 11 of hours of just concerns and that. I think
 12 by now what was happening also was like the
 13 staff were in the news and a lot of the
 14 pictures that were shown in the paper were on
 15 the Evening News of staff who had nothing to
 16 do--who were not involved with IHC at all and
 17 they were very upset. So that's what was
 18 going on and then from that, I think came--the
 19 staff stayed, the immuno staff in particular,
 20 to discuss what was going on in the lab at the
 21 time. So at that time all the SOPs were not
 22 signed off, so I think what was happening, all
 23 SOPs were not signed off for IHC. The big
 24 ones, like ER and PR were and I think other
 25 quantitative ones were, but the routine ones,

Page 159

1 what we call non-quantitative were not. So
 2 there were just, in telling her that this
 3 wasn't happening or they felt it wasn't
 4 happening fast enough. No knowledge of
 5 feedback from the external proficiency
 6 testing, they weren't being informed, I guess
 7 as a laboratory group, there was no outcomes
 8 happening from the external proficiency group.
 9 It's just results would come back, they would
 10 be told what the results are and that's it.
 11 There were no outcomes being set up. No
 12 knowledge of overall action or status of the
 13 same, I guess, you know, what's happening with
 14 immuno. Where are we going? Recommended
 15 training for technologists to read controls
 16 has not occurred. They know by now we were
 17 discussing about techs being trained to read
 18 the actual controls to interpretation and that
 19 had not started. Overall feeling that QA
 20 activities for ER/PR were in place, but not
 21 for the remaining, again, I guess what they
 22 meant was for ER/PR was actually the protocol
 23 was signed off; whereas others were not.
 24 CHAYTOR, Q.C.:
 25 Q. And in terms of the knowledge of the overall

Page 160

1 action plan or status of same, who would be
 2 responsible for keeping the technologists up
 3 to date?
 4 MR. DYER:
 5 A. I guess at that time it would be myself and
 6 Dr. Elms. I think he was in charge of the
 7 immuno at the time. But he was an extremely
 8 busy pathologist and he wasn't around a lot.
 9 Also he never had an office at this site, his
 10 office -
 11 CHAYTOR, Q.C.:
 12 Q. So Dr. Elms works out of St. Clare's?
 13 MR. DYER:
 14 A. Yes, he works out of St. Clare's.
 15 CHAYTOR, Q.C.:
 16 Q. And he's responsible for the IHC service at
 17 the Health Sciences?
 18 MR. DYER:
 19 A. Yes, for Eastern Health, yes, but it was being
 20 performed at Health Science.
 21 CHAYTOR, Q.C.:
 22 Q. So were the technologists finding that he
 23 wasn't available enough for them?
 24 MR. DYER:
 25 A. I think that was the issue, he was always

Page 161

1 extremely busy and so it was hard to nail him
 2 down to get help on things.
 3 CHAYTOR, Q.C.:
 4 Q. And is Dr. Elms still situate at St. Clare's?
 5 MR. DYER:
 6 A. Yes, he is.
 7 CHAYTOR, Q.C.:
 8 Q. And is there any thought to bringing Dr. Elms
 9 to the Health Sciences?
 10 MR. DYER:
 11 A. Again, I think you'd have to talk to Dr. Denic
 12 about that. Again, I don't know if they're
 13 trying to get him on site, I don't think there
 14 are any--there are no offices right now at
 15 Health Science, but once they start the
 16 consolidation process, he will then be on site
 17 and it will probably make it a much easier--he
 18 is over a lot, it's just that he's always gone
 19 in and out because he has so many things to
 20 do.
 21 CHAYTOR, Q.C.:
 22 Q. So there's physically no space for new
 23 pathologists at the Health Sciences?
 24 MR. DYER:
 25 A. Right now there's no office space for

Page 162

1 physicians right now, all the offices are
 2 full. The consolidation that's planned
 3 involves building all new offices.
 4 CHAYTOR, Q.C.:
 5 Q. Okay, and expressed concerns regarding
 6 communication?
 7 MR. DYER:
 8 A. Again, requests for project work are coming
 9 from numerous sources, that's a standard
 10 thing, that was a complaint probably back in
 11 '02.
 12 CHAYTOR, Q.C.:
 13 Q. And it's still a complaint in '07?
 14 MR. DYER:
 15 A. Yes, again, Ford is not there as much, so
 16 people would come in and want things done and
 17 again, I guess the question was, you know, you
 18 know, when should they do what? See, when I,
 19 as manager, the thing that I would set up as
 20 manager is that everybody has specific duties
 21 and those duties need to be maintained to get
 22 the work done, but I guess, you know, staff,
 23 physicians would come in and say, you know,
 24 stop doing that, I need this done. And I
 25 guess it would put them in a quandary or a

Page 163

1 conundrum because now their work is not
 2 getting done, so that would happen on a
 3 regular basis.
 4 CHAYTOR, Q.C.:
 5 Q. And this says "without explanation or
 6 knowledge of manager".
 7 MR. DYER:
 8 A. They would just go in and make demands. They
 9 didn't go through me.
 10 CHAYTOR, Q.C.:
 11 Q. But if the IHC chief, if Dr. Elms requires
 12 anything of the immunohistochemical
 13 technologists, can't he directly ask that of
 14 them without having to go through you?
 15 MR. DYER:
 16 A. Yes, definitely and he does.
 17 CHAYTOR, Q.C.:
 18 Q. So that wouldn't be an issue.
 19 MR. DYER:
 20 A. No, that wasn't an issue, right. "Requests
 21 for documentation are coming without knowledge
 22 of the manager", I guess what that was, I
 23 think that was around the lawsuit. And "ER/PR
 24 retests restarted without knowledge of the
 25 manager", again, they brought that up, I don't

Page 164

1 know why, but they did. I guess they're just
 2 trying to reinforce that things are being done
 3 without me being kept in the loop.
 4 CHAYTOR, Q.C.:
 5 Q. And if we could have, please, P-2304? And
 6 this is a meeting that actually predates the
 7 meeting with the technologists, but it's April
 8 10th, 2007 and Dr. Howell is replacing--has
 9 replaced Dr. Williams at this point, Dr.
 10 Gulliver, Dr. Denic and if we look at page 2,
 11 it indicates "ER/PR, HER2 receptors, Dr. Denic
 12 gave an update and informed the lab has
 13 reinstated testing and it is going well. Dr.
 14 Denic also informed that we are doing
 15 comparison testing with respect to HER2
 16 testing. Terry will arrange meeting with Dr.
 17 Denic, Dr. Elms and Barry Dyer to review roles
 18 and responsibility for the
 19 immunohistochemistry lab." And again, this is
 20 April, 2007. Do you recall what that was
 21 about and did such a meeting take place?
 22 MR. DYER:
 23 A. I don't think a meeting took place.
 24 CHAYTOR, Q.C.:
 25 Q. Was there any discussion with you about that,

Page 165

1 about the roles and responsibilities for the
 2 IHC lab?
 3 MR. DYER:
 4 A. I don't know if there was a discussion, I
 5 think I was just under the understanding that
 6 Dr. Denic would take over from where Dr.
 7 Ejeckam left and he would just continue doing
 8 the same things he was doing.
 9 REGISTRAR:
 10 Q. Excuse me, Ms. Chaytor, 2304 is an exhibit
 11 that is not yet entered into the system. It's
 12 (inaudible). So we have to request it be
 13 transferred over -
 14 THE COMMISSIONER:
 15 Q. You want it as an exhibit?
 16 CHAYTOR, Q.C.:
 17 Q. Yes, please, if we could please enter 2304?
 18 REGISTRAR:
 19 Q. And I'll get it switched.
 20 THE COMMISSIONER:
 21 Q. 2304 is entered then.
 22 EXHIBIT ENTERED AND MARKED P-2304
 23 CHAYTOR, Q.C.:
 24 Q. Thank you. What did you say about who did Dr.
 25 Denic replace? I just missed it.

Page 166

1 MR. DYER:
 2 A. Dr. Denic?
 3 CHAYTOR, Q.C.:
 4 Q. I just missed the last part you said there
 5 with the confusion regarding the exhibit, what
 6 was it that you said about somebody being
 7 replaced?
 8 MR. DYER:
 9 A. Oh, Dr. Elms?
 10 CHAYTOR, Q.C.:
 11 Q. Yes.
 12 MR. DYER:
 13 A. He was the director, I just -
 14 CHAYTOR, Q.C.:
 15 Q. Who did he replace?
 16 MR. DYER:
 17 A. I believe he replaced, well, Dr. Ejeckam in
 18 the end.
 19 CHAYTOR, Q.C.:
 20 Q. Dr. Ejeckam.
 21 MR. DYER:
 22 A. Yes.
 23 CHAYTOR, Q.C.:
 24 Q. And do you know when that happened?
 25 MR. DYER:

Page 167

1 A. I think a letter came out, I can't remember
 2 exactly when, I know there was an in between
 3 time when Ejeckam was leaving when the looked
 4 at Dr. Makarla and looked at Dr. Fontaine, but
 5 I think in the end, Dr. Elms was the person.
 6 CHAYTOR, Q.C.:
 7 Q. And if we could have, please, P-1831? And
 8 this is April 30th exchange, if we go to the--
 9 or an e-mail from Maria Mendes to yourself and
 10 "Hi Barry, Vince let me know that you require
 11 the SOPs that were used for the ER/PR cases.
 12 Attached is the information. Please let me
 13 know if you will be requiring any further
 14 information." So this is Maria Mendes from
 15 Mount Sinai and why were you in April of 2007
 16 looking for the SOPs that were used in the
 17 ER/PR cases?
 18 MR. DYER:
 19 A. I believe that was directly related to the
 20 class action.
 21 CHAYTOR, Q.C.:
 22 Q. Okay, so that was a request -
 23 MR. DYER:
 24 A. That was a request that came that they wanted
 25 me to contact them for this information.

Page 168

1 CHAYTOR, Q.C.:
 2 Q. Okay. And if we could have, please, P-0455?
 3 So I take it you just forwarded that on then
 4 to Ms. Predham?
 5 MR. DYER:
 6 A. Yes, yes.
 7 CHAYTOR, Q.C.:
 8 Q. And this one, I believe, starts on page 2 with
 9 your involvement and this is an e-mail from
 10 yourself to Mr. Gulliver, May 23rd, 2007,
 11 importance high. "Hi, Terry, Trish was
 12 notified on Wednesday, May 23rd at 1240 hours.
 13 She does not want the report to go public.
 14 Barry." What was that about? What do you
 15 recall about that?
 16 MR. DYER:
 17 A. Well, I believe, again what happened that day
 18 was I believe, I'm not sure if I got a phone
 19 call or if Mr. Gulliver actually came over to
 20 my office and he said that there's a
 21 possibility that the report may go public, let
 22 Trish know.
 23 CHAYTOR, Q.C.:
 24 Q. And what did you understand from Mr. Gulliver,
 25 why was there a possibility on May 23rd that

Page 169

1 her report might go public?
 2 MR. DYER:
 3 A. I can't--there was a lot of things going on
 4 and I think there was going to be, I think Mr.
 5 Tilley was going to be involved with--he was
 6 going to give an interview or something to
 7 that effect, and therefore the report may
 8 actually be made to go public.
 9 CHAYTOR, Q.C.:
 10 Q. And I believe Mr. Tilley's interview, in fact,
 11 may have been before this, May 18th.
 12 MR. DYER:
 13 A. Oh again, it could be around that time. I
 14 don't know why, it's just Mr. Gulliver
 15 informed me that the reports may go public, so
 16 let Trish know and I think he wanted me to let
 17 Trish know because I believe, I can't really
 18 remember, I believe the agreement was that
 19 this was not a public report.
 20 CHAYTOR, Q.C.:
 21 Q. Now, had you had any contact with Trish? She
 22 hadn't been in Newfoundland since April of
 23 2006. Had you been still in contact back and
 24 forth with her?
 25 MR. DYER:

Page 170

1 A. I might have been in contact with her over one
 2 or two of our recommendations, I'm not quite
 3 sure.
 4 CHAYTOR, Q.C.:
 5 Q. Did you consult her on those, on the
 6 recommendations?
 7 MR. DYER:
 8 A. I might have consulted her on one or two of
 9 them.
 10 CHAYTOR, Q.C.:
 11 Q. And so I take it you phoned her?
 12 MR. DYER:
 13 A. Yes, I phoned her.
 14 CHAYTOR, Q.C.:
 15 Q. And what did you tell her?
 16 MR. DYER:
 17 A. All I explained to her was, I said, Trish, I
 18 was just speaking to Mr. Gulliver, Terry, and
 19 he told me that there's a lot of pressure, I
 20 don't know where from, but the reports may
 21 actually go public.
 22 CHAYTOR, Q.C.:
 23 Q. Okay. Now Ms. Wegrynowski, I'm not sure if
 24 you heard her evidence on this point or not.
 25 MR. DYER:

Page 171

1 A. I wasn't listening.
 2 CHAYTOR, Q.C.:
 3 Q. But she indicated that you told her that the
 4 Premier might read her report or was going to
 5 read her report.
 6 MR. DYER:
 7 A. I don't think I said that, I think I'm pretty
 8 sure I told her that it looks like her report
 9 is going to go public and I remember her
 10 answer right back to me, it was "Do I need a
 11 lawyer?" That was her response. And I
 12 remember saying, no, I don't know if you need
 13 a lawyer, you know, but that's pretty well all
 14 we spoke--that's all we talked about.
 15 CHAYTOR, Q.C.:
 16 Q. And in saying you don't think you told her
 17 that.
 18 MR. DYER:
 19 A. It doesn't sound familiar if I actually said
 20 the Premier was going to read the report, I
 21 don't know.
 22 CHAYTOR, Q.C.:
 23 Q. That's something that you would remember,
 24 wouldn't you?
 25 MR. DYER:

Page 172

1 A. I think that's something that would stand out.
 2 It doesn't sound familiar that I actually
 3 would say the Premier is going to read her
 4 report, I don't even know if I knew at that
 5 time if the Premier was actually going to read
 6 her report.
 7 CHAYTOR, Q.C.:
 8 Q. Had you heard anyone else say that, that the
 9 Premier was looking for her report or anyone
 10 in government was looking for the report?
 11 MR. DYER:
 12 A. That's a good question. The Minister for some
 13 reason stands out, but -
 14 CHAYTOR, Q.C.:
 15 Q. And what do you recall about that?
 16 MR. DYER:
 17 A. I don't know if it was the Minister of Health,
 18 again, there were so many things going on at
 19 the time, but I really don't think I would
 20 have said the Premier and I don't know why I
 21 would have even thought--why would I have even
 22 thought that the Premier would be reading this
 23 report, I don't know.
 24 CHAYTOR, Q.C.:
 25 Q. So you do have some recollection about the

Page 173

1 Minister.
 2 MR. DYER:
 3 A. Maybe, again, I might be confused, maybe the
 4 Minister was mentioned or the word "minister",
 5 I don't know, but I don't think it was the
 6 Premier.
 7 CHAYTOR, Q.C.:
 8 Q. Who would have mentioned the Minister?
 9 MR. DYER:
 10 A. Again, I don't know, I'm only trying to
 11 speculate, I don't even know if that really
 12 happened.
 13 CHAYTOR, Q.C.:
 14 Q. What had you heard about the distribution of
 15 this report? How would it become public at
 16 this point in time?
 17 MR. DYER:
 18 A. I don't know, there was pressure on the go,
 19 that's all I know at the time over these
 20 reports and I think it was around, again,
 21 what's the--see, I'm just speculating and I
 22 shouldn't.
 23 CHAYTOR, Q.C.:
 24 Q. So what do you mean, pressure? Who is the
 25 pressure coming from?

Page 174

1 MR. DYER:
 2 A. No, I think at the time it was a lawsuit, was
 3 the class action announced then? The class
 4 action was on the go, so maybe there was
 5 pressure coming from that end, I don't know or
 6 maybe from the public, from the media, I don't
 7 know where it was coming from, but I was under
 8 the impression that her report may go public
 9 and I was instructed to let her know. And
 10 that's what I did.
 11 CHAYTOR, Q.C.:
 12 Q. So, Mr. Gulliver said the report may go
 13 public.
 14 MR. DYER:
 15 A. Yes.
 16 CHAYTOR, Q.C.:
 17 Q. And you don't ask Mr. Gulliver why, what's
 18 this all about?
 19 MR. DYER:
 20 A. I don't think so, I think it might have been
 21 just the atmosphere at the time, I don't know,
 22 but I don't think that Terry and I actually
 23 discussed why it would go public.
 24 CHAYTOR, Q.C.:
 25 Q. What about with anyone else?

Page 175

1 MR. DYER:
 2 A. Not at the time, I don't think so, I think I
 3 just phoned her.
 4 CHAYTOR, Q.C.:
 5 Q. What about since, what do you know about it
 6 since?
 7 MR. DYER:
 8 A. What do I know about it since?
 9 CHAYTOR, Q.C.:
 10 Q. Uh-hm. Who was looking for the reports and
 11 who was putting pressure -
 12 MR. DYER:
 13 A. I honestly can't tell you right now, I don't
 14 know. I probably know, I just can't think of
 15 it.
 16 CHAYTOR, Q.C.:
 17 Q. You probably know but you can't think of it?
 18 MR. DYER:
 19 A. Yeah, just right this minute I don't know,
 20 because I know they did go public after the
 21 fact.
 22 CHAYTOR, Q.C.:
 23 Q. Well they didn't go public until February
 24 2008.
 25 MR. DYER:

Page 176

1 A. Yes.
 2 CHAYTOR, Q.C.:
 3 Q. After Court applications.
 4 MR. DYER:
 5 A. Yes.
 6 CHAYTOR, Q.C.:
 7 Q. So this is almost a year before that.
 8 MR. DYER:
 9 A. Yes, but for some reason there was some kind
 10 of pressure or something was happening for
 11 this statement to come up that I had to phone
 12 her.
 13 CHAYTOR, Q.C.:
 14 Q. And this, I take it would be a bit of an
 15 unusual phone call for you to have to make.
 16 MR. DYER:
 17 A. Very much so, yes.
 18 CHAYTOR, Q.C.:
 19 Q. But any more details of it, escape you right
 20 now.
 21 MR. DYER:
 22 A. Yeah, I don't think--we didn't speak very much
 23 at all, I just let her know because I remember
 24 her asking me does she need a lawyer and I
 25 said I don't think--I said, I didn't know if

Page 177

1 you need a lawyer, you know, but that's all I
 2 remember talking to her about was that.
 3 CHAYTOR, Q.C.:
 4 Q. And anything that led up it before your phone
 5 call to Ms. Wegrynowski -
 6 MR. DYER:
 7 A. I just remember Terry either calling me in his
 8 office or coming over, but right out of the
 9 blue he just said, you know, the reports may
 10 go public, you need to let Trish know because
 11 I think she was informed that it was a
 12 confidential report, or something, it wouldn't
 13 go public.
 14 CHAYTOR, Q.C.:
 15 Q. Mr. Dyer, why would it be high importance and
 16 why would you bother noting the date and the
 17 time that you told her that in your -
 18 MR. DYER:
 19 A. I guess by then I was into documentation big
 20 time. I will be honest.
 21 CHAYTOR, Q.C.:
 22 Q. I can take you to other e-mails you sent
 23 around that time and they don't have the time
 24 -
 25 MR. DYER:

Page 178

1 A. Well that one was, again, that was a very
 2 strange request, so that was very important to
 3 me, for some reason, that was very important.
 4 But again, I can't tell you specifically. I
 5 just know I was asked to phone her and tell
 6 her that this report may go public.
 7 CHAYTOR, Q.C.:
 8 Q. And in terms of it being a very strange
 9 request, your curiosity didn't go beyond that
 10 in terms of saying why?
 11 MR. DYER:
 12 A. If it did, right this minute, I just can't
 13 recall if it did.
 14 CHAYTOR, Q.C.:
 15 Q. Well you can let us know when and if you do
 16 recall.
 17 MR. DYER:
 18 A. I certainly will.
 19 CHAYTOR, Q.C.:
 20 Q. And then that gets passed on, as you can see
 21 up the chain.
 22 MR. DYER:
 23 A. Yes, I sent it to Mr. Gulliver.
 24 CHAYTOR, Q.C.:
 25 Q. You sent it to Mr. Gulliver and Mr. Gulliver

Page 179

1 sent it 2:26 p.m. to Dr. Denic, 3:45 p.m. it
 2 goes from Dr. Denic to Dr. Howell and next day
 3 it goes all the way up to George Tilley. So
 4 you weren't aware of that, that it had gone
 5 all the way up to the CEO of Eastern Health,
 6 your e-mail?
 7 MR. DYER:
 8 A. No, actually I think this is the first time
 9 I've seen this.
 10 CHAYTOR, Q.C.:
 11 Q. So in terms of the importance of this matter
 12 and the background to it and how the report
 13 was going to be public or who was asking for
 14 the report.
 15 MR. DYER:
 16 A. I can't say. It was important to me, I
 17 believe, because I know we told Trish that
 18 this wouldn't go public or not go public, but
 19 that this was a confidential report, that's
 20 what was said to me and so I knew it was a
 21 confidential report.
 22 CHAYTOR, Q.C.:
 23 Q. And why it was--why the concern had come up
 24 that it could go public at this point in time,
 25 you don't know?

Page 180

1 MR. DYER:
 2 A. I don't know. There had to be a reason. Talk
 3 to Mr. Gulliver. He might be able to help.
 4 CHAYTOR, Q.C.:
 5 Q. Yes, he might be able to jog your memory too.
 6 MR. DYER:
 7 A. Yes.
 8 CHAYTOR, Q.C.:
 9 Q. Okay. If we could have, please, then 2379?
 10 And this is an e-mail from Mr. Gulliver, Pat
 11 Pilgrim, Heather Predham, Dr. Denic, Oscar
 12 Howell, and yourself, and Mr. Gulliver writes
 13 to Ms. Pilgrim "Barry Dyer and I have now
 14 finalized the list that was given on Friday.
 15 We have cross-referenced each of the 80 plus
 16 patients with our original master sheet. We
 17 have reviewed all reports for each patient and
 18 documented or found why they were not sent for
 19 retest yet. We have created a new template
 20 like our originals with all the patients info.
 21 We are now ready to start pulling original
 22 block slides for review and retest so we need.
 23 Six patients on our original list that are
 24 deceased were not on the list given Friday.
 25 Should we retest them anyway? Some patients

Page 181

1 have already been retested with no result
 2 change. Do we need to retest again? One
 3 patient has no evidence of breast cancer but
 4 is being asked to be retested. Several
 5 patients on the list are from out of town, so
 6 who should call and request the blocks?"
 7 Now this is July of 2007. Do you recall
 8 what was this about? What were you now
 9 involved in, in terms of finalizing the list?
 10 MR. DYER:
 11 A. I think this was all about the deceased
 12 patients.
 13 CHAYTOR, Q.C.:
 14 Q. This is all deceased patients?
 15 MR. DYER:
 16 A. I think so, for the most part, yes. I think
 17 that's what--I believe this is what it was all
 18 about.
 19 CHAYTOR, Q.C.:
 20 Q. In July of 2007?
 21 MR. DYER:
 22 A. Yes.
 23 CHAYTOR, Q.C.:
 24 Q. Okay.
 25 THE COMMISSIONER:

Page 182

1 Q. There's a slash after deceased. What does
 2 that say?
 3 CHAYTOR, Q.C.:
 4 Q. Yes.
 5 MR. DYER:
 6 A. All pathology--I guess, patient -
 7 CHAYTOR, Q.C.:
 8 Q. "ER/PR deceased/" is that "other retests"?
 9 MR. DYER:
 10 A. Maybe that's what it is, "other retests".
 11 CHAYTOR, Q.C.:
 12 Q. Should be an O instead of a P. So were there
 13 other patients, other than deceased, at this
 14 point in time, who were requiring retests?
 15 MR. DYER:
 16 A. There may have been, or there may have been
 17 patients phoning in and asking to be retested.
 18 CHAYTOR, Q.C.:
 19 Q. Okay. For example, number two says "we have
 20 reviewed all reports for each patient and
 21 documented or found why they were not sent for
 22 retest yet." You weren't sending--at the
 23 time, you weren't sending deceased. So that
 24 can't be about deceased patients.
 25 MR. DYER:

Page 183

1 A. No, those were the two, I believe the Labrador
 2 patients that we identified.
 3 CHAYTOR, Q.C.:
 4 Q. So to your knowledge, the only extra patients
 5 then in July of 2007 that you were involved
 6 with were the deceased and those two patients
 7 from Labrador?
 8 MR. DYER:
 9 A. Yes. And again, I think some patients may
 10 have been calling in at the time asking for
 11 retests.
 12 CHAYTOR, Q.C.:
 13 Q. And if we could have then--and were those
 14 patients who were looking for retests,
 15 patients who had been missed the first time
 16 round?
 17 MR. DYER:
 18 A. For patients phoning in, no, I don't think so.
 19 I think it was just patients who, I guess, was
 20 following what was going on and may have had
 21 breast cancer and may have wanted to be
 22 retested.
 23 CHAYTOR, Q.C.:
 24 Q. So if we could have then, please, 2381? And
 25 this is another e-mail from yourself to Maria

Page 184

1 Mendes, August 7th, 2007. "As per our
 2 conversation, this is the requested material.
 3 To send this as soon as possible would be
 4 deeply appreciated. Full details of antigen
 5 retrieval to include instrument used, type of
 6 buffer," and it goes on from there. "Full
 7 details of antibody dilution, full details of
 8 DAB used, to include supplier and supplier
 9 code number. Lastly, I need to know if they
 10 used an automated platform, such as Ventana or
 11 DAKO auto stainer or whether they tested
 12 everything manually without an automated
 13 system."
 14 So what's this? This is now August 2007.
 15 Why are you requesting this information now?
 16 MR. DYER:
 17 A. Again, I believe that's linked directly to the
 18 class action.
 19 CHAYTOR, Q.C.:
 20 Q. So Ms. Predham was asking you to obtain this
 21 information?
 22 MR. DYER:
 23 A. I would imagine, yes.
 24 CHAYTOR, Q.C.:
 25 Q. And if we could have then, please, 2383? And

Page 185

1 it's October 15th '07, and you're included in
 2 this e-mail from Mr. Gulliver, and it says
 3 "the list attached, upon review by me and
 4 Barry, has produced three more patients that
 5 have not been sent to Mount Sinai for
 6 retesting. They're on list number three,
 7 patient 6, 9, 17. Two are from Lab City and
 8 one from St. Clare's."
 9 MR. DYER:
 10 A. Okay, that's Lab -
 11 CHAYTOR, Q.C.:
 12 Q. "Info is all there on the sheet. Should you
 13 contact these patients to let them know?" So
 14 now this is October, mid October '07.
 15 MR. DYER:
 16 A. Okay.
 17 CHAYTOR, Q.C.:
 18 Q. That the Lab City issue appears to have come
 19 up.
 20 MR. DYER:
 21 A. Good point. Okay, well, again, it must have--
 22 it may have been patients that were phoning
 23 then. It's all--you know, it's all come
 24 together as one.
 25 CHAYTOR, Q.C.:

Page 186

1 Q. So July obviously had to be other patients.
 2 MR. DYER:
 3 A. And maybe it was, yes.
 4 CHAYTOR, Q.C.:
 5 Q. And what about the one from St. Clare's, do
 6 you know how was that patient missed?
 7 MR. DYER:
 8 A. I can't remember now. If I had the report,
 9 I'd be able to--I might be able to tell you.
 10 CHAYTOR, Q.C.:
 11 Q. I don't know if this is helpful to you then.
 12 This is--so nothing else stands out as to some
 13 issue in the system which caused the person to
 14 be overlooked?
 15 MR. DYER:
 16 A. I don't think so. I think we honestly just
 17 missed those--I think we just honestly missed
 18 those patients, those couple of patients.
 19 CHAYTOR, Q.C.:
 20 Q. And if we could have, please, 1836? And this
 21 is an exchange again with Maria Mendes,
 22 November 6th, 2007, re: retrospective study
 23 versus consultation. "Hi, Barry and Dr.
 24 Denic. Dr. Denic, I mentioned in my phone
 25 conversation that I would give you a time line

Page 187

1 for the retrospective samples we have" and she
 2 goes on from there. "In regards to Barry's
 3 question, the reason why you are not getting
 4 slides from the consults is that it is not our
 5 general process to send the stained consult
 6 slides back to the client. We only send the
 7 blocks. In the case of the retrospective
 8 study, we sent the slides and blocks back as
 9 this was a special case. I am therefore
 10 copying Dr. Pritzker on this e-mail in order
 11 for him to okay this deviation from our
 12 consult protocol."
 13 So I take it you were looking for the
 14 slides from the consults?
 15 MR. DYER:
 16 A. Well, what happened was this is in the summer
 17 of -
 18 CHAYTOR, Q.C.:
 19 Q. This is November.
 20 MR. DYER:
 21 A. Oh, this is fall. Yes, what we started doing
 22 was we started to document every single slide
 23 that came back from Mount Sinai for the
 24 retesting, and as we were going through the
 25 documentation, as we were going through each

Page 188

1 one, this is one of the things that Mary was
 2 doing in the evenings, and this is one of her
 3 big documentation things she was doing for me.
 4 We had, you know, thousands of slides came
 5 back and so did the blocks. So I wanted to
 6 record every single thing that came back.
 7 Everything that came back, I believe it came
 8 back that summer, but it was all in Dr. Cook's
 9 office locked away. So I got permission to
 10 access it and start documenting everything
 11 that came back, and as I was going through the
 12 documentation, I was noticing that we had
 13 patient results with no slides. So then I
 14 sent her an e-mail and asked her, you know,
 15 why weren't we getting the--why weren't we
 16 getting everything back, and she explained
 17 their protocol was is if they did a
 18 consultation, they interpreted that and they
 19 kept it. So for those cases, I don't have
 20 those slides.
 21 CHAYTOR, Q.C.:
 22 Q. So you never did receive the slides?
 23 MR. DYER:
 24 A. No, I did not.
 25 CHAYTOR, Q.C.:

Page 189

1 Q. Okay. If we could have, please, P-0488? And
 2 page 100, please? And this is an executive
 3 management committee meeting, November 14th,
 4 2007. Sorry, I'm having trouble with my mouse
 5 again. If you could scroll down, please, for
 6 me, Registrar? Okay, this is good. Thank
 7 you. 3.13, ER/PR. It says "with respect to
 8 the retesting of ER/PR, Eastern Health St.
 9 John's unilaterally decided, i.e. director and
 10 manager, to go back to January 1997 when the
 11 first testing was carried out. However, in
 12 correspondence from the clinical chief, Dr.
 13 Don Cook, to the other boards, it referenced
 14 May 1997. Pat Pilgrim and Oscar Howell are
 15 following up on the reasons why Eastern Health
 16 managers retested back to January 1997."
 17 First of all, Mr. Dyer, is that correct?
 18 Did you go back to January 1997 to start
 19 identifying patients for retesting?
 20 MR. DYER:
 21 A. Mr. Gulliver ran the searches and I believe he
 22 did start January 1.
 23 CHAYTOR, Q.C.:
 24 Q. Okay, and was any discrepancy as to what was
 25 asked of other boards, in terms of time

Page 190

1 frames, brought to your attention?
 2 MR. DYER:
 3 A. Yes, I believe that the actual--when I saw the
 4 actual form, it was--I believe they're right,
 5 it was May of '97, yes.
 6 CHAYTOR, Q.C.:
 7 Q. Okay, and so were inquiries made of you or Mr.
 8 Gulliver by Ms. Pilgrim or Dr. Howell about
 9 this issue?
 10 MR. DYER:
 11 A. Not to me, I don't think.
 12 CHAYTOR, Q.C.:
 13 Q. Do you know anything further about that issue?
 14 MR. DYER:
 15 A. I think--no, I think Terry and I might have
 16 talked about it after the fact, but I believe
 17 we or Terry went back to 1997 to start the
 18 actual search was because Dr. Khalifa was
 19 reading all ER/PRS in the province for 1997.
 20 So I believe he went back--I think that's why
 21 he went back to January 1, but I don't think
 22 that either of those people actually spoke to
 23 me about it.
 24 CHAYTOR, Q.C.:
 25 Q. Whereas in the other--it may have been May

Page 191

1 of 1997 for the other regions?
 2 MR. DYER:
 3 A. Yes, I think it came up after the fact. It
 4 might have been months later, I believe. I
 5 think Dr. Cook might have actually spoke to me
 6 or something about it, but it was months and
 7 months later.
 8 CHAYTOR, Q.C.:
 9 Q. Your test parameters included January 1997?
 10 MR. DYER:
 11 A. Yes, for all patients.
 12 CHAYTOR, Q.C.:
 13 Q. And that would have been all patients for the
 14 province?
 15 MR. DYER:
 16 A. Well, I believe at the time--again, I was told
 17 at the time that Dr. Khalifa was reading all
 18 ER/PRS for the province in 1997.
 19 CHAYTOR, Q.C.:
 20 Q. And so there shouldn't be--I just want to make
 21 sure that there's no gap, that the patients in
 22 the other regions of the province, if the
 23 start date was May 1997 for them, that
 24 shouldn't be of any concern because they
 25 should have been tested at St. John's between

Page 192

1 January and May. Is that your understanding?
 2 MR. DYER:
 3 A. That's my understanding.
 4 CHAYTOR, Q.C.:
 5 Q. Okay. Mr. Dyer, I take it that Eastern Health
 6 continues to do other IHC work for the other
 7 regions?
 8 MR. DYER:
 9 A. Yes, they do.
 10 CHAYTOR, Q.C.:
 11 Q. Okay, and I realize not ER/PR right now.
 12 MR. DYER:
 13 A. Yes, correct.
 14 CHAYTOR, Q.C.:
 15 Q. Do they send--in doing ER/PR work, do they
 16 send blocks or do they now create their own
 17 slides?
 18 MR. DYER:
 19 A. I believe--again, I'm not in there right now.
 20 I believe that Corner Brook actually sends
 21 slides. I think everyone else sends blocks.
 22 I'm not quite sure though.
 23 CHAYTOR, Q.C.:
 24 Q. Is there anything--so Corner Brook does their
 25 own slides?

Page 193

1 MR. DYER:
 2 A. I think Corner Brook has been sending some of
 3 their slides.
 4 CHAYTOR, Q.C.:
 5 Q. Okay, and do you know whether or not any
 6 thought has been given--is it to be the
 7 intention, if ER/PR is resumed at Eastern
 8 Health for other regions, would it be the
 9 intention to have them send blocks or send
 10 slides?
 11 MR. DYER:
 12 A. I don't know if we've actually made that type
 13 of decision.
 14 CHAYTOR, Q.C.:
 15 Q. And in terms of Western sending slides -
 16 MR. DYER:
 17 A. Yes.
 18 CHAYTOR, Q.C.:
 19 Q. - is there any concern that depending on the
 20 processing used by Western, that their tissue
 21 may not have been exposed to the same
 22 processing as your control slides in St.
 23 John's?
 24 MR. DYER:
 25 A. Again, where we're a reference centre, it

Page 194

1 wouldn't make a difference if they sent the
 2 block or the slide. If they sent us a block,
 3 it's already gone through their whole
 4 processing system, their whole process.
 5 CHAYTOR, Q.C.:
 6 Q. Their process?
 7 MR. DYER:
 8 A. Right, so if they sent us a block, all we
 9 would do is cut the slide at three microns--
 10 cut the block at three microns and put it on a
 11 positively charged slide and when Corner Brook
 12 wanted to start sending slides, I spoke to
 13 their manager to ensure that they were using
 14 the same slides that we were using, and that's
 15 what they're doing.
 16 CHAYTOR, Q.C.:
 17 Q. So there's no concern if that--if in
 18 processing the block, their procedures weren't
 19 the same as what your control tissue may have
 20 gone through at Eastern Health?
 21 MR. DYER:
 22 A. Again, we have no control over how they
 23 processed the tissue.
 24 CHAYTOR, Q.C.:
 25 Q. No, I realize that. I'm just asking you, you

Page 195

1 know, as someone who knows about technology,
 2 whether that would be a concern to you?
 3 MR. DYER:
 4 A. For--again, that's more of a clinical
 5 question, I think. Technically -
 6 CHAYTOR, Q.C.:
 7 Q. In terms of how the tissue is processed?
 8 MR. DYER:
 9 A. Well, technically, when it comes to--our
 10 system is critiqued around, just like any
 11 system, I would imagine, in the country, our
 12 system is critiqued around the control tissue
 13 that we use. We don't critique our tissue--we
 14 don't critique our protocol based on how all
 15 of the eight laboratories would process their
 16 tissue. That would be--I don't think that
 17 would be possible.
 18 CHAYTOR, Q.C.:
 19 Q. Okay. If we could have, please, P-2380? This
 20 is an e-mail from yourself to Reza, copied to
 21 Mr. Gulliver, August 3rd, 2007.
 22 MR. DYER:
 23 A. Okay.
 24 CHAYTOR, Q.C.:
 25 Q. And unfortunately, my mouse is not working.

Page 196

1 Okay, that's fine. And it says "as a follow
 2 up to our meeting from this morning and as per
 3 your request, please see below challenges
 4 around requested information. Date specimen
 5 sent out, not all patients have this
 6 information. To get a complete list, you may
 7 have to reference the missing data with the
 8 original retested result from Mount Sinai.
 9 There may be 500 to 700 reports to review."
 10 Then you have a second bullet, "specimen ID,
 11 all the specimen numbers currently documented
 12 in your system are the original numbers from
 13 the corresponding hospitals. All of the
 14 actual results are reported in multiple
 15 manners. There are four internal sites, three
 16 application databases in St. John's alone.
 17 Not all original specimen numbers may be
 18 attached to the Mount Sinai report. Also, all
 19 out-of-town patients were given a specimen
 20 number which is linked to the original Health
 21 Sciences testing specimen number, which is not
 22 directly linked to the original list of our
 23 out-of-town patients. We will hard copy all
 24 of out-of-town results for cross-referencing,"
 25 I think you mean there.

Page 197

1 "Pathologists original report, the Health
 2 Science referred specimen number identifies
 3 the ordering pathologist for each specimen.
 4 However, it will ID who actually read the
 5 report. You will have to read each individual
 6 original report to determine." What's this
 7 all about?
 8 MR. DYER:
 9 A. This is information that--is it NLCHI, I
 10 believe?
 11 CHAYTOR, Q.C.:
 12 Q. Yes.
 13 MR. DYER:
 14 A. Was recommending--was looking for. So which
 15 one do you want me to try and explain?
 16 CHAYTOR, Q.C.:
 17 Q. Well, let's start at the bottom and work our
 18 way up.
 19 MR. DYER:
 20 A. So the HSC referred specimen number identifies
 21 the ordering pathologist for each specimen.
 22 However will ID--however, it will not ID -
 23 CHAYTOR, Q.C.:
 24 Q. Should that be it will not ID?
 25 MR. DYER:

Page 198

1 A. Yes, it will not ID who actually read the
 2 report. You would have to read each
 3 individual original report to determine this.
 4 Yes.
 5 CHAYTOR, Q.C.:
 6 Q. Okay. So the referred specimen number will
 7 tell you who ordered the test?
 8 MR. DYER:
 9 A. Yes.
 10 CHAYTOR, Q.C.:
 11 Q. Which pathologist ordered the test?
 12 MR. DYER:
 13 A. Correct.
 14 CHAYTOR, Q.C.:
 15 Q. But the word "not" is left out of there.
 16 MR. DYER:
 17 A. It is.
 18 CHAYTOR, Q.C.:
 19 Q. It will not ID who actually read the report.
 20 MR. DYER:
 21 A. Correct.
 22 CHAYTOR, Q.C.:
 23 Q. So in order to get that pathologist's
 24 identity, you'd have to actually look at who
 25 signed off on the pathology report?

Page 199

1 MR. DYER:
 2 A. You would have to read the actual original
 3 report.
 4 CHAYTOR, Q.C.:
 5 Q. Yes, okay.
 6 MR. DYER:
 7 A. Yes.
 8 CHAYTOR, Q.C.:
 9 Q. Okay, and how does the specimen, referred
 10 specimen number, how does that identify the
 11 ordering pathologist?
 12 MR. DYER:
 13 A. So this -- this statement is mainly about out
 14 of town patients. So what would happen is
 15 every specimen that came in would come in with
 16 a requisition and we would give it a referral
 17 number. We would give it a referral number
 18 and the pathologist who was ordering it would
 19 be identified as the ordering pathologist, but
 20 I could not confirm just because pathologist
 21 "A" actually ordered this test, that they
 22 actually read the result.
 23 CHAYTOR, Q.C.:
 24 Q. And I would take it normally, though, the
 25 pathologist who orders the test in the normal

Page 200

1 situation would be also the pathologist who
 2 interprets the test?
 3 MR. DYER:
 4 A. That's the usual practice, I believe.
 5 CHAYTOR, Q.C.:
 6 Q. That's the usual practice?
 7 MR. DYER:
 8 A. Yes.
 9 CHAYTOR, Q.C.:
 10 Q. So is there a way in your Meditec system to
 11 identify which pathologist ordered the test or
 12 the out of town -- for those specimens that
 13 are referred in from outside Eastern Health,
 14 can you in Meditec identify who ordered the
 15 test?
 16 MR. DYER:
 17 A. Yes.
 18 CHAYTOR, Q.C.:
 19 Q. Okay.
 20 MR. DYER:
 21 A. It was all done through data -- through order
 22 entry.
 23 CHAYTOR, Q.C.:
 24 Q. Okay.
 25 MR. DYER:

Page 201

1 A. So, yes.
 2 CHAYTOR, Q.C.:
 3 Q. Thank you.
 4 COMMISSIONER:
 5 Q. So when you get a request from out of town,
 6 you give it your number?
 7 MR. DYER:
 8 A. We give it a reference number so we can track
 9 it.
 10 COMMISSIONER:
 11 Q. And enter that into your Meditec system?
 12 MR. DYER:
 13 A. Yes.
 14 COMMISSIONER:
 15 Q. The fact that you got the request and who
 16 requested it and from where it came, etc, etc?
 17 MR. DYER:
 18 A. Yes.
 19 COMMISSIONER:
 20 Q. So that from there on in within your internal
 21 system, you can track it by your own number?
 22 MR. DYER:
 23 A. We would track it by our number, yes.
 24 COMMISSIONER:
 25 Q. Okay.

Page 202

1 CHAYTOR, Q.C.:
 2 Q. Now, Mr. Dyer, thank you so much for your
 3 patience. It's been a bit longer than we
 4 anticipated. Is there anything else that I
 5 haven't covered with you that you think would
 6 be useful to the Commissioner and her mandate?
 7 MR. DYER:
 8 A. No, I think we were pretty good detail.
 9 CHAYTOR, Q.C.:
 10 Q. Okay, thank you. I'm sure some of my
 11 colleagues will have questions.
 12 COMMISSIONER:
 13 Q. Mr. Pritchard.
 14 MR. PRITCHARD:
 15 Q. Commissioner, Ms. Brazil is going to
 16 (inaudible).
 17 COMMISSIONER:
 18 Q. All right. Ms. Brazil.
 19 MR. BARRY DYER - EXAMINATION BY MS. JACKIE BRAZIL
 20 MS. BRAZIL:
 21 Q. Good afternoon, Mr. Dyer. My name is
 22 Jacqueline Brazil and I appear on behalf of
 23 Her Majesty, on behalf of the province, and I
 24 just have a couple of very quick questions for
 25 you. Mr. Dyer, Ms. Chaytor just questioned

Page 203

1 you about the telephone conversation that you
 2 had with Trish Wegrynowski in May of 2007, and
 3 as she told you, when Ms. Wegrynowski
 4 testified here, she said that you told her
 5 that the Premier may read her report, and I
 6 just wanted to clarify a couple of points with
 7 you with respect to that.
 8 MR. DYER:
 9 A. Sure.
 10 MS. BRAZIL:
 11 Q. With respect to her testimony and then your
 12 subsequent testimony. Mr. Dyer, you've
 13 already testified that you don't have a whole
 14 lot of recall around what you were told when
 15 you were asked to make that call.
 16 MR. DYER:
 17 A. Yes.
 18 MS. BRAZIL:
 19 Q. But could it have been that you -- you said
 20 you heard that maybe the Minister, who you
 21 thought to be the Minister of Health, may read
 22 the report.
 23 MR. DYER:
 24 A. Yes.
 25 MS. BRAZIL:

Page 204

1 Q. Could that have been the Deputy Minister of
 2 Health?
 3 MR. DYER:
 4 A. Again I can't -- I really don't remember.
 5 Again I can't really remember who it was. It
 6 could have been the Deputy Minister, it could
 7 have been the Minister, I don't know.
 8 MS. BRAZIL:
 9 Q. Right, and -- because there's been testimony
 10 here at the inquiry already that John Abbott,
 11 who was the Deputy Minister at the time,
 12 requested the reports and that Mr. Tilley,
 13 George Tilley, was prepared to provide the
 14 reports, placed them in an envelope on his
 15 desk, subsequently left the position, and when
 16 Louise Jones found the reports, she decided
 17 that she wouldn't send them. Now do you
 18 recall hearing any information about that?
 19 MR. DYER:
 20 A. Of that actually happening?
 21 MS. BRAZIL:
 22 Q. Yes.
 23 MR. DYER:
 24 A. No.
 25 MS. BRAZIL:

Page 205

1 Q. So you weren't involved?
 2 MR. DYER:
 3 A. No.
 4 MS. BRAZIL:
 5 Q. You weren't party to that whole situation at
 6 all, you have no knowledge of that?
 7 MR. DYER:
 8 A. That doesn't -- no.
 9 MS. BRAZIL:
 10 Q. And irrespective of whether you heard that
 11 maybe the Minister or the Deputy Minister
 12 might read the reports, do you have any
 13 knowledge of whether they actually did or
 14 didn't read the reports?
 15 MR. DYER:
 16 A. No.
 17 MS. BRAZIL:
 18 Q. You don't. So that's where the issue ended for
 19 you, you heard no more about it?
 20 MR. DYER:
 21 A. No, I didn't follow anything after that, so I
 22 don't recall anything after that.
 23 MS. BRAZIL:
 24 Q. All right, those are my questions, Mr. Dyer.
 25 COMMISSIONER:

Page 206

1 Q. Thank you, Ms. Brazil. Mr. Browne.
 2 MR. BROWNE:
 3 Q. Yes, Commissioner, thank you.
 4 MR. BARRY DYER - EXAMINATION BY MR. PETER BROWNE
 5 MR. BROWNE:
 6 Q. Good morning, Mr. Dyer. My name is Peter
 7 Browne, I represent a number of physicians who
 8 have been asked to testify here at the
 9 inquiry. I want to go back to your evidence
 10 on Monday and just sort of talk about a couple
 11 of subjects and that is first of all your
 12 training and your experience as you moved up
 13 through the system. So you started at the
 14 Janeway in 1989, is that right?
 15 MR. DYER:
 16 A. 1986.
 17 MR. BROWNE:
 18 Q. 1986, okay, and the Janeway -- well, before we
 19 deal with that. So you were practising at the
 20 Janeway when the Health Care Corporation of
 21 St. John's, all hospitals were merged and
 22 became Health Care Corporation of St. John's?
 23 MR. DYER:
 24 A. That was in '96, yes.
 25 MR. BROWNE:

Page 207

1 Q. 1995/1996, I think that happened we've heard.
 2 Was there -- do you recall back then was there
 3 any apprehension, concerns among, I guess the
 4 technical side, what may happen, what this
 5 consolidation or merger may do to technical
 6 services and so on?
 7 MR. DYER:
 8 A. Yes, I'm sure there was discussion about it.
 9 MR. BROWNE:
 10 Q. No, but do you recall?
 11 MR. DYER:
 12 A. Do I recall; yes, I do recall.
 13 MR. BROWNE:
 14 Q. And was there apprehension, was there fear,
 15 what do you recall?
 16 MR. DYER:
 17 A. There was -- definitely there was
 18 apprehension, yes. I went through it myself.
 19 MR. BROWNE:
 20 Q. And what sort of apprehension did you have?
 21 MR. DYER:
 22 A. The major apprehension?
 23 MR. BROWNE:
 24 Q. Uh-hm.
 25 MR. DYER:

Page 208

1 A. Will I have a job at the end of the day.
 2 MR. BROWNE:
 3 Q. So there were concerns about job losses at
 4 that time?
 5 MR. DYER:
 6 A. Yes.
 7 MR. BROWNE:
 8 Q. And then in -- was it 1998/1999 the Janeway
 9 closed and moved?
 10 MR. DYER:
 11 A. I believe it was 2001.
 12 MR. BROWNE:
 13 Q. 2001, okay. So prior to that then, the Grace
 14 closed in 2000.
 15 MR. DYER:
 16 A. Okay.
 17 MR. BROWNE:
 18 Q. Do you recall any transfer of services to
 19 Health Sciences of technical staff and
 20 pathologists around that time?
 21 MR. DYER:
 22 A. I wasn't involved if there was. I didn't work
 23 at the Grace.
 24 MR. BROWNE:
 25 Q. No, no, you worked at the Health Sciences.

Page 209

1 MR. DYER:
 2 A. No, I didn't move to the Health Sciences until
 3 2001.
 4 MR. BROWNE:
 5 Q. 2001. Sorry, my apologies. So you moved in
 6 2001, okay. So prior to that we understand
 7 the Grace closed. When you moved, was there
 8 any discussion about -- at that time about, I
 9 guess, what had happened previously with the
 10 Grace personnel coming over and technicians?
 11 Did you know any technicians --
 12 MR. DYER:
 13 A. Prior to the 2001 move, Mr. Gulliver had
 14 already and I -- he became -- I think in 1996
 15 he became manager of pathology, and he took
 16 over the Janeway, and we actually consolidated
 17 services from the Janeway to the Health
 18 Science prior to the actual move. So in
 19 '98/'99, we were actually already in that
 20 process.
 21 MR. BROWNE:
 22 Q. Okay.
 23 MR. DYER:
 24 A. For pediatrics.
 25 MR. BROWNE:

Page 210

1 Q. Okay, and you mentioned as well, I think,
 2 around that time that there were different
 3 ideas at different sites. The Janeway had its
 4 own ideas --
 5 MR. DYER:
 6 A. I think everyone had their own different
 7 protocols for how they did things, yes.
 8 MR. BROWNE:
 9 Q. And did you experience that sort of, I guess,
 10 differences when you moved to the Health
 11 Sciences?
 12 MR. DYER:
 13 A. Yes.
 14 MR. BROWNE:
 15 Q. We've heard about around this time period --
 16 you moved in 2001. Was there emphasis, at
 17 least from your perception, about efficiency
 18 and concerns about cut backs that existed
 19 around that time?
 20 MR. DYER:
 21 A. All the time.
 22 MR. BROWNE:
 23 Q. And while you were at the Health Sciences,
 24 were you involved in any way to provide input
 25 into the HAY report? Did you know about that?

Page 211

1 MR. DYER:
 2 A. Provide information, no; did I know about it
 3 at the time, not initially, no, I didn't.
 4 MR. BROWNE:
 5 Q. Did you subsequently when you -- you became in
 6 March, you said, 2002, you became manager?
 7 MR. DYER:
 8 A. Yes.
 9 MR. BROWNE:
 10 Q. Did you become aware of the HAY report at that
 11 time?
 12 MR. DYER:
 13 A. Yes, I did.
 14 MR. BROWNE:
 15 Q. Do you recall whether or not there was
 16 anything in the HAY report addressing the
 17 consolidation of technical services between
 18 the two sites, St. Clare's and --
 19 MR. DYER:
 20 A. I wouldn't -- I wouldn't remember. I don't
 21 remember if there was.
 22 MR. BROWNE:
 23 Q. Would you look to that in terms -- you later
 24 wanted to look to consolidation of services.
 25 Did you look in there to see if that was

Page 212

1 addressed at the time?
 2 MR. DYER:
 3 A. I think as the new manager at the time, no, I
 4 don't think I -- I don't recall reading it for
 5 that purpose at all. I don't think -- I don't
 6 even recall reading it.
 7 MR. BROWNE:
 8 Q. So you never - you knew it existed, but you
 9 never read it?
 10 MR. DYER:
 11 A. Yes.
 12 MR. BROWNE:
 13 Q. Have you subsequently read it at any point?
 14 MR. DYER:
 15 A. I can't remember if I actually sat down and
 16 read the entire document.
 17 MR. BROWNE:
 18 Q. Okay, did you talk to anybody about the issue
 19 -- I mean, Mr. Gulliver was your immediate
 20 superior. Was it -- was there any discussion
 21 around the HAY report that that may have been
 22 addressed in the HAY report about
 23 consolidation or not to consolidate both
 24 sites?
 25 MR. DYER:

Page 213

1 A. I think -- the things that stand out most for
 2 me in the HAY report was -- I believe the HAY
 3 report was already being discussed by managers
 4 when I actually got hired, so I came in after
 5 the fact. What I remember was -- the big
 6 thing that stood out for me was reduction of
 7 staff.
 8 MR. BROWNE:
 9 Q. And more efficiency?
 10 MR. DYER:
 11 A. Yes.
 12 MR. BROWNE:
 13 Q. There was emphasis on efficiency in the HAY
 14 report as well?
 15 MR. DYER:
 16 A. I think there was -- when I actually got
 17 involved, I think there was a debate over our
 18 units, our workload.
 19 MR. BROWNE:
 20 Q. And I'll come to that in a bit because that is
 21 something that you do address later on in your
 22 divisional meetings and your planning?
 23 MR. DYER:
 24 A. I actually wrote the program for part of it,
 25 yes.

Page 214

1 MR. BROWNE:
 2 Q. Right, but those issues were in -- you
 3 understood were in the HAY report and then
 4 subsequently issues that you addressed in, I
 5 think, lab planning day and so on?
 6 MR. DYER:
 7 A. Yes.
 8 MR. BROWNE:
 9 Q. Now in 2002, you become -- is it March, 2002,
 10 you become the manager?
 11 MR. DYER:
 12 A. Yes, I believe so.
 13 MR. BROWNE:
 14 Q. Prior to that, what training did you have in -
 15 - did you undergo any special training to
 16 become a manager?
 17 MR. DYER:
 18 A. From -- special training from 19 -- I mean,
 19 when I got hired at the Janeway, every year I
 20 would do courses, either university or
 21 college. I did leadership training, things
 22 like this. I went to all the conferences, I
 23 would lecture, things of that nature. So it
 24 was good progress. I think I had a very good
 25 background. I was also involved with the

Page 215

1 union, so I had a good background in how to
 2 negotiate, how to deal with -- you know, as a
 3 shop steward, you would be involved with
 4 arbitrations and occurrences and things like
 5 that, so I had a wide range of training.
 6 MR. BROWNE:
 7 Q. But actual hands-on management, did you have
 8 any experience to that degree?
 9 MR. DYER:
 10 A. No, not -- there was a couple of techs who
 11 worked with me at the Janeway.
 12 MR. BROWNE:
 13 Q. And you mentioned you did some courses. Where
 14 did you do those courses?
 15 MR. DYER:
 16 A. Memorial University.
 17 MR. BROWNE:
 18 Q. Was it Faculty of Business?
 19 MR. DYER:
 20 A. Yes.
 21 MR. BROWNE:
 22 Q. And did you actually complete -- did you --
 23 MR. DYER:
 24 A. No, for personal reasons, I stopped.
 25 MR. BROWNE:

Page 216

1 Q. Okay, and you had those courses completed
 2 before you became a manager, did you?
 3 MR. DYER:
 4 A. Oh, yes.
 5 MR. BROWNE:
 6 Q. And were you enthusiastic when you came to --
 7 you strike me as an enthusiastic individual.
 8 MR. DYER:
 9 A. Very much so.
 10 MR. BROWNE:
 11 Q. And you had ideas that you wanted to
 12 implement?
 13 MR. DYER:
 14 A. Yes.
 15 MR. BROWNE:
 16 Q. Okay. One of those was to have consistency
 17 and standardization, is that what I wrote
 18 down?
 19 MR. DYER:
 20 A. Yes. We actually tried -- we actually started
 21 with that process back in '98 with all four
 22 sites under the direction of Mr. Gulliver.
 23 MR. BROWNE:
 24 Q. So Mr. Gulliver attempted to do that in --
 25 MR. DYER:

Page 217

1 A. Back in 1998.
 2 MR. BROWNE:
 3 Q. So this is something that both you and Mr.
 4 Gulliver had talked about when you came to the
 5 job?
 6 MR. DYER:
 7 A. This wasn't something new.
 8 MR. BROWNE:
 9 Q. Right, but was it something that he talked to
 10 you about when you came to the manager's
 11 position?
 12 MR. DYER:
 13 A. In terms of?
 14 MR. BROWNE:
 15 Q. Well, in terms of vision and your ideas and so
 16 on?
 17 MR. DYER:
 18 A. Yes, I had my own vision, I believe, or ideas
 19 of what I thought would help benefit.
 20 MR. BROWNE:
 21 Q. And you discussed this with Mr. Gulliver?
 22 MR. DYER:
 23 A. With all our team leaders.
 24 MR. BROWNE:
 25 Q. What discussions did you have with Dr. Cook

Page 218

1 about sort of creating standards and protocols
 2 for both sites around that time?
 3 MR. DYER:
 4 A. I believe I had discussions with Dr. Cook and
 5 Dr. Parai at our site chief meetings.
 6 MR. BROWNE:
 7 Q. And did you suggest at that time having
 8 protocols? I mean, this is something that
 9 wouldn't happen overnight --
 10 MR. DYER:
 11 A. No, this was going to be a process.
 12 MR. BROWNE:
 13 Q. Right.
 14 MR. DYER:
 15 A. There was no doubt about it.
 16 MR. BROWNE:
 17 Q. But in the interim did you think about if you
 18 want to have standardization, the notion of
 19 having protocols or standards?
 20 MR. DYER:
 21 A. Again just to give you an example, and again
 22 I'm not trying to pick on St. Clare's, but in
 23 the frozen section at St. Clare's, they had
 24 two different protocols for H & E staining and
 25 I asked Dr. Cook can we standardize that down

Page 219

1 to one and the answer was no. I think there
 2 was one physician there who insisted on having
 3 that protocol and the other five insisted on
 4 another. Therefore, we had to carry two.
 5 MR. BROWNE:
 6 Q. Now you also mentioned that the previous
 7 manager at St. Clare's -- who was that?
 8 MR. DYER:
 9 A. I believe his name was Mr. John Murphy.
 10 MR. BROWNE:
 11 Q. Okay, and you took over his position? There
 12 were two -- at the time that you came into
 13 your position, you became manager for both
 14 sites, is that right?
 15 MR. DYER:
 16 A. Yes, I became manager for, I think, of Health
 17 Care Corporation.
 18 MR. BROWNE:
 19 Q. Right. Prior to that, there was two managers
 20 on both -- one for Health Sciences and one for
 21 --
 22 MR. DYER:
 23 A. St. Clare's, I believe, yes.
 24 MR. BROWNE:
 25 Q. And you mentioned that -- I made a note that

Page 220

1 the manager at St. Clare's didn't manage, he
 2 just answered to the pathologists. What
 3 experience had you had at that point to make
 4 that judgment?
 5 MR. DYER:
 6 A. Mr. Murphy and I had a discussion one day. I
 7 think we had a discussion when we took him out
 8 for his retirement dinner.
 9 MR. BROWNE:
 10 Q. Was there good environment at the lab at St.
 11 Clare's when you started between techs and
 12 pathologists?
 13 MR. DYER:
 14 A. Well, again pathologists would come in and
 15 talk to them all the time, and I believe they
 16 were on a first name basis.
 17 MR. BROWNE:
 18 Q. And you mentioned you only spent a couple of
 19 hours each day. You'd start your day with a
 20 couple of hours at St. Clare's?
 21 MR. DYER:
 22 A. Yes, I had -- Catherine Parnell was a Tech
 23 III, and she came from the Grace, a lot of
 24 experience. So she was pretty well there.
 25 MR. BROWNE:

Page 221

1 Q. And did you have meetings -- I think you said
 2 you'd have informal meetings with
 3 technologists from time to time. At any point
 4 prior to, I guess, February, 2003, did you
 5 have any meetings with the St. Clare's
 6 technicians?
 7 MR. DYER:
 8 A. Technologists?
 9 MR. BROWNE:
 10 Q. Technologists, sorry.
 11 MR. DYER:
 12 A. Regularly.
 13 MR. BROWNE:
 14 Q. And did you discuss at any of those meetings
 15 about timelines for consolidation?
 16 MR. DYER:
 17 A. Timelines themselves?
 18 MR. BROWNE:
 19 Q. Yes.
 20 MR. DYER:
 21 A. I may have. I don't know if we did
 22 specifically.
 23 MR. BROWNE:
 24 Q. Did you mention to them your views about
 25 timelines as to when this consolidation would

Page 222

1 occur?
 2 MR. DYER:
 3 A. I may have. You know, I may certainly have
 4 done that.
 5 MR. BROWNE:
 6 Q. Okay, and did you -- did they express any
 7 apprehension as to what may happen with the
 8 consolidation and these timelines?
 9 MR. DYER:
 10 A. I think they reacted pretty well the same way
 11 I reacted when I was at the Janeway.
 12 MR. BROWNE:
 13 Q. Right, so they had apprehension?
 14 MR. DYER:
 15 A. Most definitely. Again, you know, working
 16 somewhere for 30 years, it's a huge thing, I
 17 imagine, to get up and move. I mean, I was at
 18 the Janeway 15/16 years.
 19 MR. BROWNE:
 20 Q. And was there any expression about what effect
 21 a move such as that may have on morale and so
 22 on by the technologists?
 23 MR. DYER:
 24 A. Did we discuss that?
 25 MR. BROWNE:

Page 223

1 Q. Yes.
 2 MR. DYER:
 3 A. I don't know if we actually discussed the
 4 morale specifically.
 5 MR. BROWNE:
 6 Q. And did you share the concerns of the
 7 technologists with Dr. Cook?
 8 MR. DYER:
 9 A. Did we ever discuss -- I don't know if we ever
 10 discussed it. I'm sure -- I believe Dr. Cook
 11 was already aware of it.
 12 MR. BROWNE:
 13 Q. Right, and did he come to you and ask you --
 14 tell you or suggest to you that some of the
 15 technologists came to him and they were
 16 concerned, and he asked you to tone down the
 17 rhetoric about consolidation?
 18 MR. DYER:
 19 A. No, the only time he asked me to tone it down
 20 was when the pathologists actually threatened
 21 to quit over it. That's when we had our -- we
 22 had that discussion.
 23 MR. BROWNE:
 24 Q. Is it possible he spoke to you about concerns
 25 of the technologists as well?

Page 224

1 MR. DYER:
 2 A. If he did, I'm sure I would have spoke back to
 3 him about it, yes. I can't -- anything is
 4 possible, I guess.
 5 MR. BROWNE:
 6 Q. Did you ever suggest to him at any point that
 7 you weren't answerable to the clinical chief
 8 but you were answerable to the program
 9 director?
 10 MR. DYER:
 11 A. In that one meeting where he was -- in that
 12 one meeting where I wrote my letter, I
 13 explained to him that I reported to Terry
 14 Gulliver, yes.
 15 MR. BROWNE:
 16 Q. is it in that meeting as well that he raised
 17 with you the concerns that were being relayed
 18 to him by the staff at St. Clare's about the
 19 consolidation?
 20 MR. DYER:
 21 A. No, he did not at that time.
 22 MR. BROWNE:
 23 Q. Did Dr. Cook ever suggest to you in terms of
 24 discussing around consolidation the fact that
 25 there should be a quality initiatives review?

Page 225

1 MR. DYER:
 2 A. I think later on that came up. I think -- I'm
 3 not sure if that came out of our planning day,
 4 but I think that came up at some point.
 5 MR. BROWNE:
 6 Q. And did you have a strategic plan for, I
 7 guess, a long term plan for both pathology and
 8 surgery and what effect the consolidation of
 9 technical services may have on surgery and
 10 pathology at St. Clare's? Was that part of
 11 your game plan?
 12 MR. DYER:
 13 A. I received a lot of advice from around the
 14 country as to how hospitals were actually --
 15 when it came to consolidation of pathology,
 16 actually in Newfoundland we were behind. Many
 17 hospitals throughout the country had already
 18 been doing that, and residents and
 19 pathologists who were currently working with
 20 us even talked to me about how when they were
 21 away, how it was done, so it just wasn't
 22 something we were just going to do -- we had a
 23 plan in place. We would slowly work towards
 24 how we thought this would work, and it was
 25 never the intention to remove the frozen

Page 226

1 section or anything like that from St.
 2 Clare's.
 3 MR. BROWNE:
 4 Q. We'll come to that, but were you aware that
 5 Dr. Cook also did surveys across the country?
 6 MR. DYER:
 7 A. No, I was not.
 8 MR. BROWNE:
 9 Q. Were you aware that, in fact, he went and
 10 visited Kingston about the merger that
 11 occurred between two hospitals in Kingston?
 12 MR. DYER:
 13 A. If he did, he didn't tell me about it.
 14 MR. BROWNE:
 15 Q. Now did he express to you any -- did he
 16 express to you the fact that he was against
 17 consolidation, St. Clare's was against
 18 consolidation, or that they were concerned
 19 about the timing?
 20 MR. DYER:
 21 A. My impression was he was against
 22 consolidation. He never -- he never ever said
 23 to me that it was a timing issue. From what I
 24 understand, this issue was actually brought up
 25 back in 1997 and 1998 when Health Care

Page 227

1 Corporation became involved.
 2 MR. BROWNE:
 3 Q. But you weren't -- you weren't involved in any
 4 discussion with Dr. Cook in 1997 around that?
 5 MR. DYER:
 6 A. No.
 7 MR. BROWNE:
 8 Q. So you can't really speak to that?
 9 MR. DYER:
 10 A. No, I can just tell you what I've been told.
 11 MR. BROWNE:
 12 Q. Now were you aware that Dr. Cook asked for and
 13 there was done a quality initiatives review?
 14 MR. DYER:
 15 A. I believe I was informed by Mr. Gulliver.
 16 MR. BROWNE:
 17 Q. Right, and were you also told that there was
 18 discussion with Dr. Cook around the Tek
 19 Xpress?
 20 MR. DYER:
 21 A. Pardon?
 22 MR. BROWNE:
 23 Q. Were you told about discussions -- or maybe
 24 you did have them with Dr. Cook around the
 25 introduction of the Tek Xpress around this

Page 228

1 time?
 2 MR. DYER:
 3 A. What kind of discussion?
 4 MR. BROWNE:
 5 Q. Well, in terms of what efficiency that may
 6 have for workloads for technologists?
 7 MR. DYER:
 8 A. We may have discussed that.
 9 MR. BROWNE:
 10 Q. Were you aware that eventually Dr. Cook, in
 11 fact, supported consolidation?
 12 MR. DYER:
 13 A. I think I've read it, but he never ever
 14 verbally told me.
 15 MR. BROWNE:
 16 Q. Registrar, can we have Exhibit P-1927. Now
 17 you see this item #5 there?
 18 MR. DYER:
 19 A. Yes.
 20 MR. BROWNE:
 21 Q. And this is May/June, 2005, and it says here,
 22 "We have centralized our pathology technical
 23 services, General Hospital. I thought, though
 24 I was initially opposed to this, the advent of
 25 new technology, particularly automated tissue

Page 229

1 processor and future requisition of tissue
 2 embedder, have alleviated many of my concerns.
 3 There are currently some problems with
 4 turnaround times and delivery of slides to
 5 pathologists at St. Clare's. However, I
 6 anticipate this problem to be overcome in the
 7 next few weeks". So this is one indication
 8 that Dr. Cook supported the consolidation?
 9 MR. DYER:
 10 A. Was this actually sent to me?
 11 MR. BROWNE:
 12 Q. This is MAC minutes.
 13 MR. DYER:
 14 A. Oh, okay. Again I don't get MAC minutes.
 15 MR. BROWNE:
 16 Q. So it was never brought to your attention that
 17 he, in fact, supported the consolidation?
 18 MR. DYER:
 19 A. He must have -- again verbally he never told
 20 me, but he must have supported it because
 21 eventually it happened.
 22 MR. BROWNE:
 23 Q. Were you made aware of the results of the
 24 quality initiatives review?
 25 MR. DYER:

Page 230

1 A. I don't -- I didn't read it, but I think I was
 2 made aware of it.
 3 MR. BROWNE:
 4 Q. Around that time in terms of the notion around
 5 consolidation, was there a workload study,
 6 work structure study prepared?
 7 MR. DYER:
 8 A. Not officially, but like I said, we struck a
 9 committee, and went through everything that we
 10 were doing.
 11 MR. BROWNE:
 12 Q. Okay, and I noticed a couple of exhibits we
 13 had, you're invited to the site chief's
 14 meetings and are you invited to the sort of
 15 clinical chief's meetings as well, as manager?
 16 MR. DYER:
 17 A. What's clinical chief's meetings?
 18 MR. BROWNE:
 19 Q. Sorry, not -- let me rephrase that. The
 20 departmental meetings, you were invited to
 21 departmental meetings at some point. We've
 22 seen --
 23 MR. DYER:
 24 A. At some point I was, yes.
 25 MR. BROWNE:

Page 231

1 Q. Right, is there a corresponding protocol for,
 2 say, pathologists or site chiefs or clinical
 3 chiefs to be invited to lab manager meetings?
 4 MR. DYER:
 5 A. You would have to ask Mr. Gulliver that. I
 6 wouldn't be able to tell you.
 7 MR. BROWNE:
 8 Q. I mean, I just -- I was struck by some of the
 9 meetings you have here and there doesn't seem
 10 to be any pathologists at any of your division
 11 meetings, the various division meetings.
 12 MR. DYER:
 13 A. No, not -- not that I can remember. I don't
 14 think there was. There is today, but I don't
 15 think there was.
 16 MR. BROWNE:
 17 Q. There is today?
 18 MR. DYER:
 19 A. Yes.
 20 COMMISSIONER:
 21 Q. Mr. Browne, when you find a convenient spot.
 22 MR. BROWNE:
 23 Q. Sure. Maybe this would be a good point.
 24 Thank you, Commissioner.
 25 COMMISSIONER:

Page 232

1 Q. Okay, we'll break until ten after two.
 2 (LUNCH BREAK)
 3 COMMISSIONER:
 4 Q. Mr. Browne.
 5 MR. BROWNE:
 6 Q. Thank you, Commissioner. Good afternoon, Mr.
 7 Dyer.
 8 MR. DYER:
 9 A. Good afternoon, Mr. Browne.
 10 MR. BROWNE:
 11 Q. Now I just want to go back to again to talk --
 12 COMMISSIONER:
 13 Q. Mr. Browne, I don't know if you've been
 14 notified, but the mouse is now working for
 15 you, in any event, so you can scroll at your
 16 heart's content.
 17 MR. BROWNE:
 18 Q. Thank you very much.
 19 COMMISSIONER:
 20 Q. And I believe that yours is working as well,
 21 Mr. Dyer.
 22 MR. DYER:
 23 A. Thank you.
 24 MR. BROWNE:
 25 Q. Now I just want to go back to a couple of

Page 233

1 things you mentioned to me this morning. You
 2 mentioned one of the sort of leadership
 3 experiences you had prior to becoming manager
 4 was your were shop steward, is that right?
 5 MR. DYER:
 6 A. I was the shop steward at the Janeway, yes.
 7 MR. BROWNE:
 8 Q. Yes, and how long were you shop steward for?
 9 MR. DYER:
 10 A. I'm not sure, six or seven years.
 11 MR. BROWNE:
 12 Q. And I guess in that time period as shop
 13 steward, there were various duties you would
 14 do on behalf of your members in the union,
 15 including grievances and so on?
 16 MR. DYER:
 17 A. Yes.
 18 MR. BROWNE:
 19 Q. So you're used to documenting matters and
 20 incidents as part of being a shop steward, is
 21 that right?
 22 MR. DYER:
 23 A. What I would do is if someone came to me and I
 24 had to speak to a manager, they would already
 25 have that written for me.

Page 234

1 MR. BROWNE:
 2 Q. But the notion of having documentation
 3 regarding incidents and so on, you were quite
 4 familiar with?
 5 MR. DYER:
 6 A. For an incident like that, yes.
 7 MR. BROWNE:
 8 Q. Now if we could look at -- now if we could
 9 look at Exhibit, Registrar, 2316, please. Mr.
 10 Dyer, you were shown this earlier by Ms.
 11 Chaytor, and I just have a couple of
 12 questions. I'm trying to look -- oh, yes,
 13 workload measurement, see that there.
 14 MR. DYER:
 15 A. Yes.
 16 MR. BROWNE:
 17 Q. Okay, now I know this is not attributed to
 18 you, but you were at this meeting if you see
 19 up above there. This is Mr. Gulliver who was
 20 speaking, but I'm curious to know this
 21 statement. It says, "Terry informed the group
 22 that by the next fiscal year, 2002/2003, he
 23 would like to see all divisions reporting
 24 their workload based upon patient care versus
 25 non-patient care".

Page 235

1 MR. DYER:
 2 A. Yes.
 3 MR. BROWNE:
 4 Q. Now I'm struck by that, because I thought this
 5 was all about patient care, and I'm -- what
 6 does this mean?
 7 MR. DYER:
 8 A. I believe non-patient care refers to having --
 9 like, this would be considered non-patient
 10 care, I guess, is when you have meetings.
 11 MR. BROWNE:
 12 Q. Okay, so it's referring to --
 13 MR. DYER:
 14 A. So referring to duties that actually does not
 15 -- is not actual technical work, but is
 16 required to be able to perform technical work,
 17 I guess.
 18 MR. BROWNE:
 19 Q. Okay, so we've heard the notion of protected
 20 time here. Is that something what's being
 21 generated here about having this ability --
 22 MR. DYER:
 23 A. Yes, I think -- yes, I guess -- I don't know
 24 if it's protected time, but, I guess, it's
 25 more like if you have a staff meeting or if

Page 236

1 you go to education seminars, that it should
 2 be documented. I think what happens, I think
 3 that came out of the actual HAY report.
 4 MR. BROWNE:
 5 Q. Okay, so that's what that's referring to?
 6 MR. DYER:
 7 A. Yes, there was an issue, I think, based on how
 8 we -- how the units were collected.
 9 MR. BROWNE:
 10 Q. And then he also talks about in the next
 11 paragraph, "We'll supply multi-productivity
 12 statistics for the program". What was the
 13 importance of having that information?
 14 MR. DYER:
 15 A. I guess to see -- that was one of our
 16 benchmarks at the time.
 17 MR. BROWNE:
 18 Q. And when you say benchmarks, is that again
 19 coming out of this HAY report?
 20 MR. DYER:
 21 A. Yes, yes.
 22 MR. BROWNE:
 23 Q. But again you hadn't read the report, this was
 24 your understanding?
 25 MR. DYER:

Page 237

1 A. No, I think I was new. I was --
 2 MR. BROWNE:
 3 Q. Sure.
 4 MR. DYER:
 5 A. At this time.
 6 MR. BROWNE:
 7 Q. And this is the document we saw yesterday, or
 8 maybe even on Monday, was that this meeting
 9 that you informed, I guess, your colleagues
 10 about your plans for the pathology lab in
 11 terms of the consolidation?
 12 MR. DYER:
 13 A. What we actually were talking about at the
 14 time.
 15 MR. BROWNE:
 16 Q. Okay. Now in the -- was there any feedback in
 17 terms of your colleagues about your plans?
 18 MR. DYER:
 19 A. I don't know. I can't remember, to be honest
 20 with you. It was a long time ago.
 21 MR. BROWNE:
 22 Q. Now looking at that time period, because I
 23 think we talked about today -- earlier this
 24 morning about your planning day in March 2003,
 25 and you said you spent most of your time at

Page 238

1 the Health Sciences in that time period?
 2 MR. DYER:
 3 A. Yes.
 4 MR. BROWNE:
 5 Q. Correct, and you would spend a couple of hours
 6 probably each morning, you say, at St.
 7 Clare's?
 8 MR. DYER:
 9 A. Yes.
 10 MR. BROWNE:
 11 Q. And during that time period as well, we've
 12 heard from two technologists, Mr. Green and
 13 Mr. Simms, that they were transferred, were
 14 they not?
 15 MR. DYER:
 16 A. At some point they were, yes.
 17 MR. BROWNE:
 18 Q. Right, so --
 19 MR. DYER:
 20 A. But I don't think -- Mr. Green wasn't
 21 transferred, he actually applied for a
 22 position at Health Science.
 23 MR. BROWNE:
 24 Q. Okay.
 25 MR. DYER:

Page 239

1 A. But I believe Mr. Simms was transferred.
 2 MR. BROWNE:
 3 Q. But at -- so at least two -- and both of these
 4 gentlemen were senior technologists, were they
 5 not?
 6 MR. DYER:
 7 A. Yes.
 8 MR. BROWNE:
 9 Q. So this is happening around the same time as
 10 well, two senior technologists at St. Clare's
 11 moved to the Health Sciences?
 12 MR. DYER:
 13 A. One moved in '02 and I believe one moved in
 14 '03.
 15 MR. BROWNE:
 16 Q. Okay, and then you have your planning day in
 17 March?
 18 MR. DYER:
 19 A. I believe if the --
 20 MR. BROWNE:
 21 Q. Okay, well, maybe --
 22 MR. DYER:
 23 A. I'm not sure exactly what day it was.
 24 MR. BROWNE:
 25 Q. Why don't we bring it up. I think it's

Page 240

1 exhibit, if you want to have a look at it,
 2 2317.
 3 MR. DYER:
 4 A. If it says March, that's when we had it,
 5 correct.
 6 MR. BROWNE:
 7 Q. Okay, and the date there, you'll see now, Mr.
 8 Dyer, is March 24th. If we turn to page four,
 9 again were you involved with the compilation
 10 of the information in this or was this sort of
 11 -- how did this come about?
 12 MR. DYER:
 13 A. No, I was involved -- I was involved with it.
 14 MR. BROWNE:
 15 Q. And in terms of the goals, were they your
 16 goals again relating back to what was
 17 suggested in the HAY report?
 18 MR. DYER:
 19 A. Those objectives?
 20 MR. BROWNE:
 21 Q. Yes.
 22 MR. DYER:
 23 A. I can't really tell you for sure. I think Mr.
 24 Gulliver would be the best person to answer
 25 that.

Page 241

1 MR. BROWNE:
 2 Q. Because there's some themes in here that
 3 strike well with some of the information that
 4 was in the HAY report, and if we look -- we
 5 have page four on the screen there, the last
 6 two bullets, "Workload increase, reduce worked
 7 hours".
 8 MR. DYER:
 9 A. Yes.
 10 MR. BROWNE:
 11 Q. And that's for, I'm assuming, your
 12 technologists, is that right?
 13 MR. DYER:
 14 A. Yes. I believe we were doing a lot of
 15 overtime at that point and we were trying to
 16 reduce the overtime.
 17 MR. BROWNE:
 18 Q. Trying to reduce the overtime?
 19 MR. DYER:
 20 A. Yes.
 21 MR. BROWNE:
 22 Q. Was it -- in terms of reducing the overtime,
 23 was it contemplated to add more staff?
 24 MR. DYER:
 25 A. Again it may have been. I can't tell you for

Page 242

1 sure.
 2 MR. BROWNE:
 3 Q. Because if we go to -- again it may be just my
 4 misunderstanding here, but if you go to page
 5 11 and just scroll down here, and it may
 6 simply be my misunderstanding of the document.
 7 Potential savings. So you're looking at
 8 potential savings, you're looking at a
 9 downgrading of one technical FT position and
 10 the reduction of one half clerical position.
 11 So you're looking at downgrading positions at
 12 this time?
 13 MR. DYER:
 14 A. I think what was happening there was we had
 15 two part time staff working full time in our
 16 budget, and we didn't have the money for it.
 17 So what we were doing was we were letting go
 18 one of those, and just making one permanent
 19 position, but -- understand what I mean?
 20 MR. BROWNE:
 21 Q. Sure.
 22 MR. DYER:
 23 A. They were two half time staff working full
 24 time hours.
 25 MR. BROWNE:

Page 243

1 Q. Right.
 2 MR. DYER:
 3 A. So what we were doing was I was going to -- we
 4 were eliminating the two half time positions
 5 and making just one permanent, which is what I
 6 had the money for in my budget.
 7 MR. BROWNE:
 8 Q. And again trying to become more and more
 9 efficient at that point in time. Now how did
 10 that relate back to the overtime because I'm
 11 sort of not understanding here?
 12 MR. DYER:
 13 A. Oh, that was overtime. Like, those two
 14 positions were working a lot of overtime
 15 because that's -- they were actually working
 16 full time hours.
 17 MR. BROWNE:
 18 Q. Okay. And do you know how many cases were
 19 being, and I guess surgery, surgical specimens
 20 were being generated at St. Clare's and at the
 21 Health Sciences at that time?
 22 MR. DYER:
 23 A. I can only give rough estimates.
 24 MR. BROWNE:
 25 Q. Okay.

Page 244

1 MR. DYER:
 2 A. I would say approximately 9,000.
 3 MR. BROWNE:
 4 Q. At St. Clare's?
 5 MR. DYER:
 6 A. Nine to 10,000 at St. Clare's.
 7 MR. BROWNE:
 8 Q. And Health Sciences?
 9 MR. DYER:
 10 A. I'd say about 16 or 17,000 rough estimate.
 11 MR. BROWNE:
 12 Q. And if everything was going to be
 13 consolidated, there would need to be some sort
 14 of real understanding of how specimens would
 15 be transported back and forth, would that be -
 16 -
 17 MR. DYER:
 18 A. Yes, I think that was one of our plans, to put
 19 in a transport system.
 20 MR. BROWNE:
 21 Q. Right, but -- I guess we look at -- before
 22 putting one in, is it not -- maybe again I'm
 23 sort of naive here, but would it not be more
 24 prudent to look at what potential problems may
 25 occur before you put one in?

Page 245

1 MR. DYER:
 2 A. We struck a committee.
 3 MR. BROWNE:
 4 Q. Yes.
 5 MR. DYER:
 6 A. And those are the things we looked at. We
 7 looked at a whole variety of things that will
 8 be involved, and transfer of specimens was one
 9 part of it.
 10 MR. BROWNE:
 11 Q. And was there a report generated to sort of --
 12 MR. DYER:
 13 A. No, there wasn't a report actually generated.
 14 MR. BROWNE:
 15 Q. Okay and was there any outside consultation to
 16 sort of --
 17 MR. DYER:
 18 A. When we looked at -- when we looked at this?
 19 MR. BROWNE:
 20 Q. Right.
 21 MR. DYER:
 22 A. Yes, we had -- the engineering group came in.
 23 MR. BROWNE:
 24 Q. Right, but I guess --
 25 MR. DYER:

Page 246

1 A. To give ideas, and I don't know if that was
 2 one of the recommendations also.
 3 MR. BROWNE:
 4 Q. Okay, but you mentioned other hospitals. Did
 5 you talk about -- to other hospitals about
 6 whether they encountered any problems
 7 transporting specimens back and forth?
 8 MR. DYER:
 9 A. I did talk to -- oh, God, I can't remember the
 10 group in Ontario who was doing it, and I did
 11 also visit Ottawa General because they were
 12 also doing it. I actually met with the lead PA
 13 up there.
 14 MR. BROWNE:
 15 Q. And again did you do up any report or anything
 16 like that in terms of --
 17 MR. DYER:
 18 A. No, no.
 19 MR. BROWNE:
 20 Q. Just bear with me one second, Mr. Dyer. Your
 21 timeline, I think we have for making the
 22 transition, is at page eight, and it's
 23 highlighted right here, "Technical
 24 consolidation to Health Sciences, thereby
 25 expanding pathology services and standardizing

Page 247

1 quality and improving turnaround times", and
 2 it looks like the time period you're talking
 3 about is from March to June completion?
 4 MR. DYER:
 5 A. Yes.
 6 MR. BROWNE:
 7 Q. 2003?
 8 MR. DYER:
 9 A. Yes.
 10 MR. BROWNE:
 11 Q. Sorry, September.
 12 MR. DYER:
 13 A. September, yes.
 14 MR. BROWNE:
 15 Q. Replace the vacant position. So between March
 16 and September, 2003, you hoped to have all
 17 that completed?
 18 MR. DYER:
 19 A. Yes, and I think we had some of the stuff
 20 already done. I believe at the time we
 21 already had a engineering report done, or
 22 around that time it was done.
 23 MR. BROWNE:
 24 Q. But I think -- I mentioned to you today, and
 25 you weren't aware of it. You didn't consider

Page 248

1 inviting quality initiatives in to see if
 2 there were any quality assurance issues
 3 associated with this, did you?
 4 MR. DYER:
 5 A. Not at that time, no.
 6 MR. BROWNE:
 7 Q. In fact, Dr. Cook, I understand, initiated
 8 that?
 9 MR. DYER:
 10 A. Yes, but again the decision wasn't going to be
 11 made without Dr. Cook's approval, so --
 12 MR. BROWNE:
 13 Q. But -- and Ms. Chaytor went over this with you
 14 yesterday in terms of your goals and
 15 objectives. Quality assurance was not among
 16 the topics in your goals and objectives?
 17 MR. DYER:
 18 A. Again in the goals and objectives for our
 19 group -- goals and objectives, I think, again
 20 you should refer to Dr. Gulliver about, Mr.
 21 Gulliver about that, but when it came to
 22 action steps in how we could go about things
 23 like that, Dr. Cook had input as well as Dr.
 24 Parai and myself.
 25 MR. BROWNE:

Page 249

1 Q. Right, but, I mean, in fairness, quality
 2 assurance is everybody's job, is it not?
 3 MR. DYER:
 4 A. It is.
 5 MR. BROWNE:
 6 Q. So everybody has to come together and look at
 7 various areas of quality assurance?
 8 MR. DYER:
 9 A. Yes.
 10 MR. BROWNE:
 11 Q. Right.
 12 MR. DYER:
 13 A. But at that time nobody -- I didn't bring it
 14 up, Dr. Cook didn't bring it up, and neither
 15 did Dr. Parai bring it up.
 16 MR. BROWNE:
 17 Q. No. Are you aware whether Dr. Cook brought it
 18 up in his own performance appraisal in terms
 19 of focusing on quality assurance?
 20 MR. DYER:
 21 A. I wouldn't know because I wouldn't -- I'm not
 22 privy to that.
 23 MR. BROWNE:
 24 Q. Okay. I'm going to move away from that now
 25 for a minute, Mr. Dyer, and ask you about in

Page 250

1 2003, and you were shown the memos of Dr.
 2 Ejeckam, the April, May, and June memo?
 3 MR. DYER:
 4 A. Yes.
 5 MR. BROWNE:
 6 Q. When the first memo, the April memo came out
 7 in 2003, did you speak to any pathologist
 8 about that memo?
 9 MR. DYER:
 10 A. I don't think I -- I don't recall speaking to
 11 anyone about it.
 12 MR. BROWNE:
 13 Q. Is it possible you spoke to Dr. Parai about
 14 the memo?
 15 MR. DYER:
 16 A. Not that I can recall. I may have, but I
 17 don't remember actually speaking to him about
 18 it.
 19 MR. BROWNE:
 20 Q. Do you recall what your reaction was when you
 21 got the memo?
 22 MR. DYER:
 23 A. I was very--when I actually spoke with Dr.
 24 Ejeckam?
 25 MR. BROWNE:

Page 251

1 Q. No, when you saw the memo.
 2 MR. DYER:
 3 A. Well, Dr. Ejeckam spoke to me and handed me
 4 the memo at the same time.
 5 MR. BROWNE:
 6 Q. Right, and what was your reaction?
 7 MR. DYER:
 8 A. I was very surprised.
 9 MR. BROWNE:
 10 Q. Right. Were you upset?
 11 MR. DYER:
 12 A. Maybe to a degree, over the fact that, you
 13 know, nothing has ever been brought to my
 14 attention about the words that he had in that
 15 statement about inconsistent staining and
 16 that.
 17 MR. BROWNE:
 18 Q. Did you raise that with him? Did you speak to
 19 him about it?
 20 MR. DYER:
 21 A. I can't remember. We probably did talk about
 22 it, but I can't remember what we actually--
 23 what transpired.
 24 MR. BROWNE:
 25 Q. And do you recall speaking to any other

Page 252

1 individuals? Is it possible you did and you
 2 just don't recall?
 3 MR. DYER:
 4 A. I guess it could be possible. I think the
 5 next person I spoke to was Terry, to let him
 6 know that we were going to stop this testing.
 7 MR. BROWNE:
 8 Q. What about any other pathologists?
 9 MR. DYER:
 10 A. I don't know if I actually spoke to any other
 11 pathologists about it.
 12 MR. BROWNE:
 13 Q. Would you recall--do you think you would
 14 recall having a discussion -
 15 MR. DYER:
 16 A. I can't say.
 17 MR. BROWNE:
 18 Q. Now you mentioned an incident as well where
 19 you had to speak to Dr. Ejeckam about him
 20 going to the stenographers and asking for
 21 requisitions.
 22 MR. DYER:
 23 A. Yes.
 24 MR. BROWNE:
 25 Q. A large amount of requisitions.

Page 253

1 MR. DYER:
 2 A. Yes.
 3 MR. BROWNE:
 4 Q. Do you recall when that occurred?
 5 MR. DYER:
 6 A. No. It was some time around the Surgical
 7 Report Committee, when he wanted this
 8 information.
 9 MR. BROWNE:
 10 Q. Do you know--okay, we--let's sort of work
 11 around the time frame here. We have the memo
 12 in April. Was it before the memo, do you
 13 recall?
 14 MR. DYER:
 15 A. I can't tell you if it was before or after.
 16 MR. BROWNE:
 17 Q. We've seen documentation that the Surgical
 18 Pathology Review Committee started, I think,
 19 with its first meeting around April of 2003.
 20 MR. DYER:
 21 A. Okay.
 22 MR. BROWNE:
 23 Q. Would it have been before that or at the start
 24 of that?
 25 MR. DYER:

Page 254

1 A. I wouldn't be able to tell you.
 2 MR. BROWNE:
 3 Q. Would it have been after that?
 4 MR. DYER:
 5 A. Again, I wouldn't be able to tell you. I
 6 don't know.
 7 MR. BROWNE:
 8 Q. Was it in 2004?
 9 MR. DYER:
 10 A. I'm not sure.
 11 MR. BROWNE:
 12 Q. You have no recollection when this happened at
 13 all?
 14 MR. DYER:
 15 A. I can't remember when it actually happened,
 16 no. All I--what I can recollect is that Mr.
 17 Gulliver spoke to me about it. I remember
 18 when the secretary came down to me upset and I
 19 remember when Mr. Gulliver spoke to me about
 20 it. That's why I know it happened.
 21 MR. BROWNE:
 22 Q. And you can't tell me if it was in 2003, 2004
 23 or 2005?
 24 MR. DYER:
 25 A. Again, you're not going to be able to tie me

Page 255

1 down on it. I don't know. It was sometime
 2 when the Surgical Committee was on the go.
 3 MR. BROWNE:
 4 Q. So it was already started and up and running?
 5 MR. DYER:
 6 A. All I know is that's when I found out that a
 7 surgical committee existed.
 8 MR. BROWNE:
 9 Q. Okay, but -
 10 MR. DYER:
 11 A. Was that first time. So was it up and
 12 running, I don't know. That's when I knew one
 13 existed.
 14 MR. BROWNE:
 15 Q. Well, did you--I thought you spoke to Dr.
 16 Ejeckam.
 17 MR. DYER:
 18 A. Pardon?
 19 MR. BROWNE:
 20 Q. Did you speak to Dr. Ejeckam about this?
 21 MR. DYER:
 22 A. About that, yes.
 23 MR. BROWNE:
 24 Q. Yes.
 25 MR. DYER:

Page 256

1 A. About that incident?
 2 MR. BROWNE:
 3 Q. Yes.
 4 MR. DYER:
 5 A. About the--yes, I did.
 6 MR. BROWNE:
 7 Q. Okay, and did you ask him what the Surgical
 8 Pathological Review Committee was about?
 9 MR. DYER:
 10 A. No, I did not. I wasn't on it. It wasn't
 11 pertinent to me.
 12 MR. BROWNE:
 13 Q. Right, but you weren't least bit curious as to
 14 know what -
 15 MR. DYER:
 16 A. I don't think we discussed it, no.
 17 MR. BROWNE:
 18 Q. And why he was looking for this information?
 19 MR. DYER:
 20 A. I knew why he was looking for the information.
 21 He told me why he was looking for it.
 22 MR. BROWNE:
 23 Q. Right.
 24 MR. DYER:
 25 A. He was looking for the information to

Page 257

1 determine how many cases came in that never
 2 had clinical history on them.
 3 MR. BROWNE:
 4 Q. And you're not able to recall when, if it was
 5 before or after the Surgical Pathology Review
 6 Committee was started?
 7 MR. DYER:
 8 A. No, I wouldn't be able to tell you.
 9 MR. BROWNE:
 10 Q. Okay. Do you recall any discussion with Dr.
 11 Ejeckam that he was asking pathologists to
 12 flag cases and those cases were being--were to
 13 be collected by secretarial staff?
 14 MR. DYER:
 15 A. I think that's what we--yeah, I think that's
 16 what the plan was, after the fact, I believe.
 17 Because up to then, nothing was flagged. I
 18 believe that's when--that was one of the
 19 things I recommended, or not to flag cases,
 20 but if he wanted us to--if he wanted the--when
 21 we discussed the situation about him wanting
 22 those three or four months supply of reports,
 23 my recommendation was that if we start today,
 24 then every single case that came in, if it was
 25 identified that there was no clinical history,

Page 258

1 then our stenos, at the same time, could
 2 photocopy it, instead of taking on one big
 3 project that would take a day or two. Do it
 4 as they're doing their regular work. So that
 5 may be where the flagging came from. I don't
 6 know.
 7 MR. BROWNE:
 8 Q. And you're saying the flagging came from your
 9 suggestion to Dr. Ejeckam?
 10 MR. DYER:
 11 A. I'm saying I don't know if that's where it
 12 came from.
 13 MR. BROWNE:
 14 Q. Okay.
 15 MR. DYER:
 16 A. But that's one of the things I suggested, that
 17 it would be--they would be identified while
 18 we're actually doing that, while they're
 19 actually typing in the gross that day.
 20 MR. BROWNE:
 21 Q. Okay, and was there any discussion with Dr.
 22 Ejeckam about the types of cases?
 23 MR. DYER:
 24 A. Not that I know of. I think they were just
 25 trying to determine how many had clinical--how

Page 259

1 many had pertinent information or how many
 2 didn't.
 3 MR. BROWNE:
 4 Q. Ever have any recollection of speaking to Dr.
 5 Ejeckam about concerns or Dr. Ejeckam coming
 6 to you about concerns over frozen sections and
 7 how they were being taken, the utilization of
 8 technical staff?
 9 MR. DYER:
 10 A. What do you mean by -
 11 MR. BROWNE:
 12 Q. Well, in terms of whether--specifically
 13 whether or not it would be more prudent to
 14 have two technologists up in the frozen
 15 section room, one cutting, one staining?
 16 MR. DYER:
 17 A. I think we did have one discussion about that.
 18 MR. BROWNE:
 19 Q. And what was your response to him about that?
 20 MR. DYER:
 21 A. No, I think the way the discussion was led was
 22 how I described the instance yesterday or the
 23 day before, but we didn't have the staff to
 24 send two techs up there. So we may have--I
 25 know we discussed the issue of him wanting--

Page 260

1 going to the OR and he actually suggested that
 2 why not pathologists instead of going to the
 3 OR, why can't all the frozens come down. That
 4 was one of the things that he asked.
 5 MR. BROWNE:
 6 Q. Okay. Did you suggest to him pathologists
 7 should go to the frozen section room, along
 8 with the technologists?
 9 MR. DYER:
 10 A. Excuse me, I don't understand.
 11 MR. BROWNE:
 12 Q. Well, in that discussion, did you suggest to
 13 him that one or more pathologists should go up
 14 at the same time as technologists go up?
 15 MR. DYER:
 16 A. No, I still don't understand the question.
 17 Like that was--I think that was the policy,
 18 pathologists went to the frozen section room.
 19 MR. BROWNE:
 20 Q. Right, was it a policy that technicians go up
 21 at the same time?
 22 MR. DYER:
 23 A. Yes.
 24 MR. BROWNE:
 25 Q. Okay.

Page 261

1 MR. DYER:
 2 A. No, it wasn't a policy, I don't think, but
 3 that was one of our practices we brought in.
 4 MR. BROWNE:
 5 Q. Right, and you said your response to him
 6 having a second technician go up was that
 7 there was insufficient staff?
 8 MR. DYER:
 9 A. That's correct.
 10 MR. BROWNE:
 11 Q. You mentioned--Ms. Chaytor asked you about
 12 controls being on the same slide, and you
 13 suggested that was your initiative. Is that--
 14 did I understand that correctly?
 15 MR. DYER:
 16 A. That was one of the things I know I learned
 17 when I was away.
 18 MR. BROWNE:
 19 Q. Right, and -
 20 MR. DYER:
 21 A. Again, I believe that--the idea might have
 22 been tossed around once or twice, I believe.
 23 MR. BROWNE:
 24 Q. Okay, who tossed the idea around?
 25 MR. DYER:

Page 262

1 A. Oh, I don't know.
 2 MR. BROWNE:
 3 Q. Was it potentially Dr. Ejeckam?
 4 MR. DYER:
 5 A. It might--it may have been. I don't know, but
 6 I would imagine it came from pathologists,
 7 because I don't think the techs were exposed
 8 to it.
 9 MR. BROWNE:
 10 Q. I would suggest to you that it was Dr.
 11 Ejeckam, when he came, first came in 2002.
 12 Would you be able to -
 13 MR. DYER:
 14 A. I honestly don't ever remember him and I
 15 having a discussion about putting controls on-
 16 -putting--doing the twin slide technique, is
 17 what I learned away, but putting the control
 18 on the same slide as the patient, I don't
 19 think we ever had a discussion about it.
 20 MR. BROWNE:
 21 Q. And around that time as well, you mentioned
 22 that you would go to other labs to see what
 23 they were doing on your spare time, on
 24 vacations and stuff like that. Did I capture
 25 that?

Page 263

1 MR. DYER:
 2 A. Oh, I think, you know, I have visited other
 3 labs when I've been away on vacation.
 4 MR. BROWNE:
 5 Q. And what sort of things would you be looking
 6 for to see what they were doing?
 7 MR. DYER:
 8 A. More or less just to see what kind of
 9 technology they have.
 10 MR. BROWNE:
 11 Q. Okay.
 12 MR. DYER:
 13 A. What kind of--how many staff they have, you
 14 know, because always interested in things like
 15 that.
 16 MR. BROWNE:
 17 Q. What about protocols and standards?
 18 MR. DYER:
 19 A. No, that wasn't something that would have been
 20 on my mind.
 21 MR. BROWNE:
 22 Q. P-1919, please? There was a reference here
 23 about Dr. Carter doing--I'm just trying to
 24 find it now. Yes, at the top right here, page
 25 three, you see that paragraph. "The

Page 264

1 pathologist will assess and diagnose for
 2 concordance in whether discordant cases have
 3 been handled appropriately." In the meetings,
 4 the quality assurance committee meetings with
 5 Dr. Carter, did you ever get the sense that it
 6 was her focus to want to get immediately
 7 started into looking and doing and performing
 8 quality assurance and assessing discordance,
 9 the possibility of discordant cases? That was
 10 her focus, less so -
 11 MR. DYER:
 12 A. Oh, definitely.
 13 MR. BROWNE:
 14 Q. Okay.
 15 MR. DYER:
 16 A. I would imagine. She was a physician, that
 17 would be.
 18 MR. BROWNE:
 19 Q. Less so than sort of worrying about trying to
 20 get the policies together, her focus was
 21 trying to get in there and look for discordant
 22 cases? Would that be a fair description?
 23 MR. DYER:
 24 A. I think we actually agreed on this committee
 25 that that would be the first thing we would

Page 265

1 do.
 2 MR. BROWNE:
 3 Q. Okay.
 4 MR. DYER:
 5 A. I believe, again, I'm not sure, but I think
 6 that was our plan was to deal with those
 7 things, to get those things started right
 8 away.
 9 MR. BROWNE:
 10 Q. And that was Dr. Carter's--that was her focus,
 11 was to try to be able to do that and look for
 12 discordant cases?
 13 MR. DYER:
 14 A. Yes.
 15 MR. BROWNE:
 16 Q. Okay, thank you. P-2317, please? Now I'm
 17 just going to go back to that for one second,
 18 Mr. Dyer, and there's a couple of documents,
 19 but maybe--oh yes, okay. Just as a--you'll
 20 see, these are the various divisions in, I
 21 guess, the Lab Medicine program. Is that
 22 right? Looking at immunogenetics, cytology,
 23 pathology, microbiology, hematology,
 24 biochemistry.
 25 MR. DYER:

Page 266

1 A. Okay.
 2 MR. BROWNE:
 3 Q. Okay.
 4 MR. DYER:
 5 A. Yes, it sounds -
 6 MR. BROWNE:
 7 Q. These would be various--and each one of these
 8 had division managers?
 9 MR. DYER:
 10 A. Yes.
 11 MR. BROWNE:
 12 Q. Okay. You mentioned, I think, a couple of
 13 times that pathology was the only one of these
 14 divisions that required interpretation, or
 15 words to that effect. Is that -
 16 MR. DYER:
 17 A. No, I don't think I said that.
 18 MR. BROWNE:
 19 Q. Okay, I must have misunderstood you.
 20 MR. DYER:
 21 A. I think what I said -
 22 MR. BROWNE:
 23 Q. Interpretation of slides?
 24 MR. DYER:
 25 A. No, what I said is every slide that leaves the

Page 267

1 pathology lab is interpreted--is reviewed by a
 2 pathologist.
 3 MR. BROWNE:
 4 Q. Okay. So are you including all of these other
 5 divisions in that statement as well?
 6 MR. DYER:
 7 A. I don't understand.
 8 MR. BROWNE:
 9 Q. Well, I guess, your comment was in relation to
 10 quality assurance.
 11 MR. DYER:
 12 A. Yes.
 13 MR. BROWNE:
 14 Q. In your view, the quality assurance was the
 15 pathologist looking at that slide.
 16 MR. DYER:
 17 A. Yes.
 18 MR. BROWNE:
 19 Q. Okay.
 20 MR. DYER:
 21 A. That was one of our--running controls was
 22 another one, yes.
 23 MR. BROWNE:
 24 Q. Right, and I understood that that was sort of
 25 the only one, that was unique, and maybe I

Page 268

1 misunderstood you -
 2 MR. DYER:
 3 A. Again, I know I said every slide.
 4 MR. BROWNE:
 5 Q. Right.
 6 MR. DYER:
 7 A. Yes.
 8 MR. BROWNE:
 9 Q. So am I understanding you to say that
 10 pathology was unique from the other divisions
 11 because of that?
 12 MR. DYER:
 13 A. I think so, yes.
 14 MR. BROWNE:
 15 Q. Okay. What about cytology, Mr. Dyer?
 16 MR. DYER:
 17 A. Cytology does--you know, they do 50-60,000
 18 specimens and I think only a few thousand are
 19 actually reviewed by a pathologist.
 20 MR. BROWNE:
 21 Q. Right, but there's pathologists who interpret
 22 those slides.
 23 MR. DYER:
 24 A. But I didn't say every single slide. 40 or
 25 50,000 of them are reviewed by techs, not by

Page 269

1 pathologists.
 2 MR. BROWNE:
 3 Q. But point being, there are slides that are
 4 created?
 5 MR. DYER:
 6 A. Yes.
 7 MR. BROWNE:
 8 Q. They are reviewed by techs?
 9 MR. DYER:
 10 A. Yes.
 11 MR. BROWNE:
 12 Q. And reviewed by pathologists?
 13 MR. DYER:
 14 A. Right, and that happens in hematology too, but
 15 not every single slide, as what I said in my
 16 statement.
 17 MR. BROWNE:
 18 Q. And those divisions have quality assurance?
 19 MR. DYER:
 20 A. Again, you would have to ask them.
 21 MR. BROWNE:
 22 Q. Okay.
 23 MR. DYER:
 24 A. So you would have to ask cytology what kind of
 25 quality assurance program they had in place.

Page 270

1 MR. BROWNE:
 2 Q. Are you aware of whether they had one or not?
 3 MR. DYER:
 4 A. I can't comment right here. I don't know for
 5 sure what it was or what kind they had or if
 6 they were doing proficiency testing. That, I
 7 wouldn't be able to tell you.
 8 MR. BROWNE:
 9 Q. Okay, and just on the point of proficiency
 10 testing, if we could, Mr. Dyer, can we,
 11 Registrar, see Exhibit P-2311, please? Now
 12 this is a manual, Mr. Dyer, that was entered
 13 in through you, I understand.
 14 MR. DYER:
 15 A. Yes, I just took the manual and sent it in.
 16 MR. BROWNE:
 17 Q. And how did you come into possession of this
 18 manual?
 19 MR. DYER:
 20 A. This manual?
 21 MR. BROWNE:
 22 Q. Yes.
 23 MR. DYER:
 24 A. It comes with the proficiency testing.
 25 MR. BROWNE:

Page 271

1 Q. And this is UK NEQAS manual?
 2 MR. DYER:
 3 A. Yes.
 4 MR. BROWNE:
 5 Q. And you'll see here that--what's your
 6 understanding of the UK NEQAS program?
 7 MR. DYER:
 8 A. In what sense?
 9 MR. BROWNE:
 10 Q. What it does, what it's main goal is to
 11 achieve?
 12 MR. DYER:
 13 A. It's main goal, they would assess the quality
 14 of our stains and I guess, in a way, assess
 15 the quality of our assessors.
 16 MR. BROWNE:
 17 Q. Right, but you'll see this, "the main aim of
 18 the scheme is to provide useful information on
 19 the methods and reagents that allow for
 20 improved quality of immunohistochemistry. To
 21 this end, the main technical steps employed by
 22 participants at the assessment are collected
 23 onto a database." So the focus here, seems to
 24 me, is at the technical end. Is it not?
 25 MR. DYER:

Page 272

1 A. When we do the NEQAS, what happens is the
 2 slides come in, we stain them and then they're
 3 assessed by our staff, which includes our
 4 physicians, and then it's sent back and they
 5 give us their grading. So it's not just
 6 technical.
 7 MR. BROWNE:
 8 Q. Yes, and I recognize that there are two
 9 components.
 10 MR. DYER:
 11 A. Yes.
 12 MR. BROWNE:
 13 Q. But one of them is technical.
 14 MR. DYER:
 15 A. For sure, yes, one has to be technical, yes.
 16 MR. BROWNE:
 17 Q. But the main aim of the scheme is to provide
 18 useful information on methods and reagents
 19 that allow for improved quality of
 20 immunohistochemistry.
 21 MR. DYER:
 22 A. Yes.
 23 MR. BROWNE:
 24 Q. Would that be technical?
 25 MR. DYER:

Page 273

1 A. Okay, let's say that's technical, sure.
 2 MR. BROWNE:
 3 Q. Thank you. Registrar, Exhibit P-2361? This
 4 is the voice mail message that Dr. Carter left
 5 you and you were shown this, I think,
 6 yesterday. And in particular here, I'm
 7 trying--looking at this statement where she
 8 says "I withdrew from the project after that
 9 meeting on Monday due to what I felt was
 10 incorrect handling of the validation and just
 11 lack of cooperation between pathologists and
 12 administrative technical staff here." Now I
 13 understood from your evidence that you never
 14 ever saw any problems between pathologists and
 15 administrative technical staff, right?
 16 MR. DYER:
 17 A. What I said was I thought they had a good
 18 relationship.
 19 MR. BROWNE:
 20 Q. Right. Now, this seems to be suggesting, at
 21 least from Dr. Carter's point of view, that
 22 that doesn't exist. I'm curious as to -
 23 MR. DYER:
 24 A. When I see administrative technical staff, I
 25 assume she means me, I'm the administrator.

Page 274

1 MR. BROWNE:
 2 Q. Or, presumably Mr. Gulliver as well.
 3 MR. DYER:
 4 A. Yes.
 5 MR. BROWNE:
 6 Q. With that being there and your view that, hey,
 7 I think everything was going fine from my
 8 perspective, would that not make you want to
 9 pick up the phone and ask her what she meant
 10 by that?
 11 MR. DYER:
 12 A. No, I think after the meeting on Monday, I
 13 think I understood she was--what was going on
 14 at the time. And again, if you look at this,
 15 Dr. Carter started in '03 and I don't think
 16 she's ever written a letter about me or
 17 anything of that nature until this incident.
 18 MR. BROWNE:
 19 Q. Right, but the fact is that she's perceiving
 20 something which she perceives you're part of.
 21 MR. DYER:
 22 A. Yes.
 23 MR. BROWNE:
 24 Q. Would you not feel inclined to pick up the
 25 phone and ask her, what's going on here? Why

Page 275

1 do you feel this way?
 2 MR. DYER:
 3 A. No, I didn't at the time.
 4 MR. BROWNE:
 5 Q. Mr. Dyer, I think if I captured Ms.
 6 Wegrynowski's evidence here, she made the
 7 comment, I think referring to technologists,
 8 "they were there to do, not to think". Do you
 9 recall that?
 10 MR. DYER:
 11 A. I don't recall that, that statement.
 12 MR. BROWNE:
 13 Q. That's what I was going to ask you, did she
 14 ever make that comment to you during your
 15 encounters with her?
 16 MR. DYER:
 17 A. That they were there to do and not to think?
 18 MR. BROWNE:
 19 Q. Yes.
 20 MR. DYER:
 21 A. I don't think she's ever said that actually to
 22 me.
 23 MR. BROWNE:
 24 Q. She never ever shared those thoughts with you?
 25 MR. DYER:

Page 276

1 A. I don't think so.
 2 MR. BROWNE:
 3 Q. And you did not keep notes of your meetings
 4 with Ms. Wegrynowski when she was here in
 5 October?
 6 MR. DYER:
 7 A. I don't think I took any notes at the time,
 8 no.
 9 MR. BROWNE:
 10 Q. What was your understanding of the purpose of
 11 her visit?
 12 MR. DYER:
 13 A. The purpose of her visit was to do an overall
 14 assessment of the lab.
 15 MR. BROWNE:
 16 Q. Was the mention of peer review ever mentioned
 17 to you?
 18 MR. DYER:
 19 A. No, like that word came up, but I don't know
 20 if it was at that time, but I've heard that
 21 word "peer review", but again, with that, all
 22 I know is once we met, at some point we did
 23 meet, I think it might have been at our group,
 24 at the end, that she was confirmed, she was
 25 told that this would be a confidential -

Page 277

1 MR. BROWNE:
 2 Q. So at least not beforehand.
 3 MR. DYER:
 4 A. Again, I don't remember before, but I do
 5 remember I think after. I know we discussed
 6 it, but not before.
 7 MR. BROWNE:
 8 Q. But she came in the fall and she came after
 9 this whole incident was out in the media.
 10 MR. DYER:
 11 A. Yes.
 12 MR. BROWNE:
 13 Q. And wouldn't that be something that you would
 14 consider important and big for someone to come
 15 down from Mount Sinai to be looking at your
 16 lab?
 17 MR. DYER:
 18 A. In what sense?
 19 MR. BROWNE:
 20 Q. Well, that someone is now coming in, we've now
 21 got this big review, you knew the review was -
 22 MR. DYER:
 23 A. This came from higher up, they wanted someone
 24 to come in, so someone came in.
 25 MR. BROWNE:

Page 278

1 Q. Right, but from your perspective, wouldn't
 2 that be something important or big that
 3 someone is coming in from the outside to look
 4 at our lab, in light of what was going on?
 5 MR. DYER:
 6 A. That was important to us.
 7 MR. BROWNE:
 8 Q. Yes, is this something big?
 9 MR. DYER:
 10 A. I don't know if I would deem it as being big,
 11 but it was important to us.
 12 MR. BROWNE:
 13 Q. It was important, okay, but big in light of
 14 the fact that you're now undergoing a review
 15 of all your cases between 1997 and 2005?
 16 MR. DYER:
 17 A. Obviously I'm not understanding your question.
 18 MR. BROWNE:
 19 Q. By the time Ms. Wegrynowski came down in the
 20 fall of 2005.
 21 MR. DYER:
 22 A. Yes.
 23 MR. BROWNE:
 24 Q. You were involved at that point, I guess, in
 25 terms of collecting blocks and slides for the

Page 279

1 review at Mount Sinai.
 2 MR. DYER:
 3 A. Yes.
 4 MR. BROWNE:
 5 Q. And you knew that there was going to be a
 6 review between 1997 and 2005.
 7 MR. DYER:
 8 A. Yes.
 9 MR. BROWNE:
 10 Q. Is that something big?
 11 MR. DYER:
 12 A. That is a definite significance, yes.
 13 MR. BROWNE:
 14 Q. And did you connect that to what her visit was
 15 about?
 16 MR. DYER:
 17 A. I connected her visit to coming in to moving
 18 us into the future. So in terms of, she
 19 wasn't coming in to tell us what went wrong,
 20 that wasn't my interpretation, if that's what
 21 you're getting at. I'm still not
 22 understanding your question.
 23 MR. BROWNE:
 24 Q. My question is the connection to what the
 25 review was about, in terms of the review of

Page 280

1 the slides by Mount Sinai and her visit, did
 2 you connect the two together? The fact that
 3 she was coming down was probably in relation
 4 to the fact that we're now undergoing review
 5 of work done at the Health Sciences Lab
 6 between 1997 and 2005.
 7 MR. DYER:
 8 A. Yes, okay, yes, I think, yes.
 9 MR. BROWNE:
 10 Q. You made that connection?
 11 MR. DYER:
 12 A. Yes, I should have, yes.
 13 MR. BROWNE:
 14 Q. Exhibit P-0154? Thank you, Registrar. There
 15 was a reference there to, I'll come back to
 16 that, actually let me just find that because I
 17 think that may be the last thing--there was
 18 reference there at least to professional
 19 services or services, that you were asked this
 20 about what information you may have--you
 21 recalled this this morning, Ms. Chaytor asked
 22 you about the pathology services, yes,
 23 qualified professionals on staff. Now, did I
 24 understand you correctly that that, in your
 25 view, related to pathologists?

Page 281

1 MR. DYER:
 2 A. Yes, from what I'm reading here, yes.
 3 MR. BROWNE:
 4 Q. That would not relate to the services provided
 5 by the lab?
 6 MR. DYER:
 7 A. I guess it could, but when I just--I only read
 8 it the other day, I put it towards the -
 9 MR. BROWNE:
 10 Q. Because I understood you the other day to take
 11 offence to Dr. Carter's language of para
 12 professionals and you -
 13 MR. DYER:
 14 A. That was at me.
 15 MR. BROWNE:
 16 Q. I don't know if it was at you, but
 17 paraprofessionals, I don't know, and again -
 18 MR. DYER:
 19 A. Well I think in that letter it was
 20 paraprofessional and--pull up the letter and
 21 let's have a read.
 22 MR. BROWNE:
 23 Q. I don't have the letter here, but you felt it
 24 was related to you, did you?
 25 MR. DYER:

Page 282

1 A. It wasn't directed at my staff, it was
 2 directed at me.
 3 MR. BROWNE:
 4 Q. Nevertheless, you felt your professional
 5 services, the technologists at the Health
 6 Sciences, would you consider those
 7 professionals -
 8 MR. DYER:
 9 A. Professional staff?
 10 MR. BROWNE:
 11 Q. Yes.
 12 MR. DYER:
 13 A. Yes.
 14 MR. BROWNE:
 15 Q. Okay, so this, in your view, would apply both
 16 to pathologists and technologists?
 17 MR. DYER:
 18 A. Yeah, that's what I just said, I said it could
 19 be linked to the technical staff also.
 20 MR. BROWNE:
 21 Q. Okay, thank you. Mr. Dyer, thank you very
 22 much.
 23 MR. DYER:
 24 A. Thank you, Mr. Browne.
 25 THE COMMISSIONER:

Page 283

1 Q. Mr. Pritchett?
 2 MR. BARRY DYER, EXAMINATION BY MR. BLAIR PRITCHETT
 3 MR. PRITCHETT:
 4 Q. Good afternoon, Mr. Dyer, my name is Blair
 5 Pritchett and I'm here on behalf of the
 6 Central Western and Labrador Grenfell
 7 Authorities. I just have a few questions
 8 arising from your discussion with Ms. Chaytor.
 9 And in your evidence, you testified that in
 10 the period, I guess there were other times,
 11 but relevant to this inquiry in the period of
 12 1997 to 2007, that all of the pathology
 13 services for Labrador City would have been
 14 performed in St. John's, is that correct?
 15 MR. DYER:
 16 A. I can't go back to '97, but I know when I was
 17 hired in 2002, we were doing the referral work
 18 for Labrador City or Labrador in general.
 19 MR. PRITCHETT:
 20 Q. Okay, well let's focus on the time then with
 21 which you're familiar, from 2002 and at that
 22 time your understanding was that in Labrador
 23 City there would have been no practising
 24 pathologist at the time?
 25 MR. DYER:

Page 284

1 A. Correct.
 2 MR. PRITCHETT:
 3 Q. And so there would have been no technicians or
 4 assistants to do pathology work there either.
 5 MR. DYER:
 6 A. No, I think they had a pathology lab, but they
 7 just--no, no, no, I think I'm getting mixed up
 8 with Labrador City, no, let's just say I think
 9 you're correct, yes.
 10 MR. PRITCHETT:
 11 Q. So in essence, there would have been no
 12 pathology expertise situated in Labrador City
 13 at the time?
 14 MR. DYER:
 15 A. Not that I know for.
 16 MR. PRITCHETT:
 17 Q. That you were aware of.
 18 MR. DYER:
 19 A. Yes.
 20 MR. PRITCHETT:
 21 Q. And in that context, that institution would
 22 essentially have been relying on St. John's to
 23 provide it with pathology services and
 24 pathology expertise.
 25 MR. DYER:

Page 285

1 A. Okay, sure.

2 MR. PRITCHETT:

3 Q. Does that sound reasonable to you?

4 MR. DYER:

5 A. That sounds reasonable to me.

6 MR. PRITCHETT:

7 Q. And for the time period that we're talking

8 about, this pathology work would have been

9 done in the lab for which you were

10 responsible?

11 MR. DYER:

12 A. Health Sciences.

13 MR. PRITCHETT:

14 Q. Yes.

15 MR. DYER:

16 A. Yes.

17 MR. PRITCHETT:

18 Q. And the hands-on work would have been done by

19 the technicians who were directly under your

20 supervision?

21 MR. DYER:

22 A. The technologists? Yes.

23 MR. PRITCHETT:

24 Q. Technologists, sorry. And on the clinical

25 side, it would have been the pathologist with

Page 286

1 whom you worked on a regular basis?

2 MR. DYER:

3 A. Yes.

4 MR. PRITCHETT:

5 Q. And I think you just covered this point again

6 with Mr. Browne, but I think your evidence is

7 quite clear that you felt that the people with

8 whom you worked were very competent and were

9 indeed professionals in what they did?

10 MR. DYER:

11 A. I certainly felt that way, yes.

12 MR. PRITCHETT:

13 Q. So in that environment, I take it you'd agree

14 with me that it was a reasonable thing for

15 officials in Labrador City to rely on St.

16 John's for this kind of expertise and this

17 kind of service?

18 MR. DYER:

19 A. It was already in place when I was hired, so

20 yes.

21 MR. PRITCHETT:

22 Q. But given your opinion of the quality of work

23 and quality of people in St. John's, that was

24 a reasonable thing to do?

25 MR. DYER:

Page 287

1 A. Yes.

2 MR. PRITCHETT:

3 Q. And I'd suggest to you as well that it would

4 be reasonable for the administrators in

5 Labrador City to expect, given the expertise

6 that they were relying on, that if there were

7 any meaningful problems with the pathology

8 work being done, that it would be reported

9 back to the people in Labrador City?

10 MR. DYER:

11 A. That's reasonable.

12 MR. PRITCHETT:

13 Q. And again, because St. John's is sort of the

14 centre of expertise in the area.

15 MR. DYER:

16 A. I think, yeah, I think they were identified as

17 the referral centre, yes.

18 MR. PRITCHETT:

19 Q. And just so I'm clear, I think your evidence

20 earlier was that samples would come in from

21 Labrador City and I guess for lack of a better

22 term, in a raw form, they wouldn't have been

23 breadloafed or processed in the blocks or

24 anything like that?

25 MR. DYER:

Page 288

1 A. They weren't processed in blocks and I've

2 never seen them breadloafed myself, that

3 doesn't mean it didn't happen, it's just from

4 my point of view, for the breadloaf purpose,

5 it might be better to talk to one of our

6 pathologists.

7 MR. PRITCHETT:

8 Q. But your understanding was they weren't being

9 dealt with in Labrador City because there

10 wasn't personnel there qualified to do the

11 work.

12 MR. DYER:

13 A. No, they would just come in a box with--they

14 were in formalin fixed containers, all

15 different sizes and shapes.

16 MR. PRITCHETT:

17 Q. So in essence they would come in and someone

18 in your lab would receive the tissue and open

19 the package?

20 MR. DYER:

21 A. They would receive the tissue, open the

22 package, enter the specimens and then they

23 were grossed for the, the way we always did

24 our grossing.

25 MR. PRITCHETT:

Page 289

1 Q. So they'd go through the normal fixation,
 2 grossing, processing of the blocks, all of
 3 that stuff.
 4 MR. DYER:
 5 A. All of that would be done, yes.
 6 MR. PRITCHETT:
 7 Q. And once that was done, presumably the
 8 relevant pathology test would be done on them,
 9 like H&E slides for example?
 10 MR. DYER:
 11 A. H&E was done automatically. H&Es are done on
 12 everything, but it's decided of the gross as
 13 to, you know, if they take 20 blocks, but H&E
 14 is automatic for every block.
 15 MR. PRITCHETT:
 16 Q. And any additional tests were, for instance,
 17 ER and PR in particular would be done sort of
 18 as needed or as ordered?
 19 MR. DYER:
 20 A. It would be again, you know, the blocks were
 21 cut, stained and the slides were sent to the
 22 pathologists.
 23 MR. PRITCHETT:
 24 Q. And in this particular case, involving
 25 Labrador City, of course, the interpretation

Page 290

1 work would be done in St. John's as well?
 2 MR. DYER:
 3 A. All of it was, and I can't confirm, you know,
 4 I don't know if I've ever seen a breast come
 5 down from Lab City, just we were talking about
 6 ER/PR, but all specimens did come down to us
 7 like that.
 8 MR. PRITCHETT:
 9 Q. And would be, in essence what would go back
 10 would be a report?
 11 MR. DYER:
 12 A. Yes.
 13 MR. PRITCHETT:
 14 Q. So if we look at the whole different stages of
 15 the process from receipt and fixation and
 16 breadloafing, tissue preparation and analysis,
 17 sort of the whole St. John's pathology team
 18 would have their hands in these samples that
 19 came down from Labrador City?
 20 MR. DYER:
 21 A. Yes.
 22 MR. PRITCHETT:
 23 Q. And I take it you'd fully expect that the team
 24 here in the City would treat Lab City's
 25 samples with the same sort of care and

Page 291

1 professionalism that they treat samples from
 2 their own institution?
 3 MR. DYER:
 4 A. As a matter of fact, it was--I know they came
 5 down on Thursdays, for the most part, and they
 6 were always grossed on Friday, it became a
 7 part, automatic that Lab City got done.
 8 MR. PRITCHETT:
 9 Q. And when you were speaking with Ms. Chaytor
 10 again earlier, I believe yesterday you had
 11 indicated that surgical samples and you
 12 repeated here would come in on a Thursday,
 13 specifically.
 14 MR. DYER:
 15 A. Yeah, Thursday stands out.
 16 MR. PRITCHETT:
 17 Q. And I believe she asked you, does this mean
 18 that surgeries were done on Wednesday and you
 19 said you had the impression they could have
 20 been done at any time.
 21 MR. DYER:
 22 A. Well sometimes, you know, like 20, 25 case
 23 specimens, specimens would come down, so I
 24 wouldn't naturally assume, myself, that it was
 25 over that week, it wouldn't have just been all

Page 292

1 in one day.
 2 MR. PRITCHETT:
 3 Q. So I take it the implication from that is that
 4 you're suggesting tissue could have been
 5 sitting for days and days before being shipped
 6 to St. John's?
 7 MR. DYER:
 8 A. Again, you could talk to Lab City about that,
 9 but that would be my impression.
 10 MR. PRITCHETT:
 11 Q. I guess, and the reason I ask is I'm a little
 12 puzzled by this evidence because I would
 13 assume the professionals in your lab wouldn't
 14 just sort of blindly process tremendously old
 15 or degraded samples without raising the alarm
 16 or indicating there's a problem with them.
 17 MR. DYER:
 18 A. Again, if there was a problem, it would have
 19 been indicated by one of our physicians, one
 20 of our pathologists.
 21 MR. PRITCHETT:
 22 Q. Well would you have expected your technical
 23 staff to speak up if they felt they were
 24 getting degraded samples from Labrador?
 25 MR. DYER:

Page 293

1 A. Well the only way they would be able to
 2 identify that would be probably through
 3 cutting, if they were soft and I don't think
 4 we've had any complaints about soft tissue,
 5 the tissue was definitely well fixed. I mean,
 6 yes, if soft blocks were identified, we do
 7 inform, you know, I am informed about it by
 8 the techs, but I don't think we ever had any
 9 from Lab City, nothing stands out.

10 MR. PRITCHETT:
 11 Q. Your recollection is that there weren't any
 12 such problems, but your expectation as manager
 13 would be if a bad block comes in or a soft
 14 block, as you say, then it gets reported,
 15 you'd expect your technical staff to do that?

16 MR. DYER:
 17 A. Yes, they did, they would tell me, yes.

18 MR. PRITCHETT:
 19 Q. And I take it your interaction with the
 20 pathologists in St. John's was such that you
 21 wouldn't expect them to gloss over a serious
 22 problem with samples or a pattern of serious
 23 problems with samples, would you?

24 MR. DYER:
 25 A. Again, I don't understand the question.

Page 294

1 MR. PRITCHETT:
 2 Q. Well, what I'm saying is that the pathologists
 3 in St. John's, would your expectation be that
 4 if they're receiving troublesome samples from
 5 Labrador, that they would simply process them,
 6 report back and not raise any issues -

7 MR. DYER:
 8 A. No, I think they would have told me.

9 MR. PRITCHETT:
 10 Q. And I think in particular some of the specific
 11 individuals you've talked about, like Dr.
 12 Ejeckam, was certainly not someone to keep his
 13 concerns to himself.

14 MR. DYER:
 15 A. No, he would definitely--I say, he would have
 16 told me if he found an issue, a technical
 17 issue like that because at some point, for a
 18 short period, they were recording, but there
 19 was still communication with issues, if they
 20 found issues.

21 MR. PRITCHETT:
 22 Q. And again, Dr. Carter is someone who you would
 23 have expected to be fully vocal if she
 24 observed a serious problem.

25 MR. DYER:

Page 295

1 A. For sure.

2 MR. PRITCHETT:
 3 Q. Mr. Dyer, just sort of shifting gears a little
 4 bit, in your earlier testimony, I think you've
 5 spoken a fair bit about the rather significant
 6 demands on your time that were placed on you
 7 as a manger, sort of, in this period of 2002
 8 to 2007, I take it that's a fair
 9 characterization of your -

10 MR. DYER:
 11 A. Very fair, yes.

12 MR. PRITCHETT:
 13 Q. And I think you said at different times you
 14 felt you were constantly having more duties,
 15 sort of, heaped upon you as you went forward.

16 MR. DYER:
 17 A. I think that's standard, yes.

18 MR. PRITCHETT:
 19 Q. And the consolidation and mergers of
 20 institutions in St. John's would have, sort
 21 of, been part of that whole process.

22 MR. DYER:
 23 A. Definitely.

24 MR. PRITCHETT:
 25 Q. So, as such I take it, it's fair to say that

Page 296

1 you were, pretty much, consumed with your
 2 duties within the St. John's area or Eastern
 3 Health area as time went on.

4 MR. DYER:
 5 A. Yes.

6 MR. PRITCHETT:
 7 Q. In other words, you had more than enough to do
 8 in your own job. You didn't need to worry
 9 about other places.

10 MR. DYER:
 11 A. Again, worry about other places in what sense?

12 MR. PRITCHETT:
 13 Q. Well, I guess what I'm suggesting to you is
 14 that you had so much to do in St. John's that
 15 you wouldn't have been concerned about, you
 16 wouldn't have been inquiring or meddling, if
 17 you will, in what was taking place in other
 18 institutions, not under Eastern Health's -

19 MR. DYER:
 20 A. No, not normally, no.

21 MR. PRITCHETT:
 22 Q. So, you wouldn't have had any kind of role or
 23 regular contact with the Labrador City
 24 institution, for example?

25 MR. DYER:

Page 297

1 A. No, I mean, I talk to labs from time to time,
 2 but that's mostly if they were calling me for
 3 advice or something that they would do or they
 4 were planning on doing.
 5 MR. PRITCHETT:
 6 Q. And again, in your evidence, I think it's been
 7 a fairly consistent theme that there's sort of
 8 a technical side of the work in the lab and
 9 there's a clinical side. And I think you've
 10 often said here, well, such and such an issue
 11 is a clinical matter and that's not really
 12 under my bailiwick. Is that fair to say?
 13 MR. DYER:
 14 A. Yes, I think that's fair to say.
 15 MR. PRITCHETT:
 16 Q. So, as such, you have a technical role and
 17 you're not someone who necessarily is giving
 18 input or direction into clinical activity?
 19 MR. DYER:
 20 A. No.
 21 MR. PRITCHETT:
 22 Q. So, in terms of going back to the surger in
 23 Labrador City, as a technical manager in St.
 24 John's, you really have no way of knowing how
 25 or when surgical services were delivered in a

Page 298

1 institution that far away?
 2 MR. DYER:
 3 A. None, I didn't.
 4 MR. PRITCHETT:
 5 Q. Okay. Thank you, those are my questions.
 6 MR. DYER:
 7 A. Thank you, Mr. Pritchett.
 8 THE COMMISSIONER:
 9 Q. Ms. Newbury. Mr. Dyer, why is it that in the
 10 current world, the formalin is taken--the
 11 tissue sample is taken out of formalin for
 12 going across town?
 13 MR. DYER:
 14 A. Formalin is a hazardous material. So, you're
 15 only allowed to ship so much at a time. So,
 16 we can't ship formalin based on our current
 17 system across town.
 18 THE COMMISSIONER:
 19 Q. But you can put it on a plane and bring it in
 20 from Lab City?
 21 MR. DYER:
 22 A. Again, I guess--yes, that's how they did it,
 23 but I guess that's a different mode of
 24 transportation. But yes -
 25 THE COMMISSIONER:

Page 299

1 Q. Do you know when you stopped doing the Lab
 2 City?
 3 MR. DYER:
 4 A. I can't give you an actual date. It was
 5 probably a couple of years ago.
 6 THE COMMISSIONER:
 7 Q. All right, thank you. Ms. Newbury.
 8 MR. BARRY DYER, EXAMINATION BY MS. JENNIFER NEWBURY
 9 MS. NEWBURY:
 10 Q. Thank you. Good afternoon, Mr. Dyer, I'm
 11 Jennifer Newbury appearing for the Canadian
 12 Cancer Society, Newfoundland and Labrador
 13 Division. I have a few topics I want to cover
 14 with you this afternoon. First of all, I
 15 wanted to ask you about the process that was
 16 in place for validating the Ventana equipment
 17 and the protocols to be run with that and you
 18 had talked a bit about the parallel run. I'm
 19 wondering if you know whether the specimens
 20 that were used for this parallel run or the
 21 parallel study, some were, I believe, from the
 22 DAKO, previously run through the DAKO system.
 23 MR. DYER:
 24 A. Yes.
 25 MS. NEWBURY:

Page 300

1 Q. Were those specimens randomly chosen?
 2 MR. DYER:
 3 A. I'm not sure if we randomly chose them or not.
 4 I can't remember exactly what we did in terms
 5 of picking cases. I'm not sure, that might
 6 have just been all positive cases.
 7 MS. NEWBURY:
 8 Q. Okay. And who would have been involved and
 9 who would have that information?
 10 MR. DYER:
 11 A. No, I don't think we have that information.
 12 MS. NEWBURY:
 13 Q. But who would--I guess you don't have a
 14 document of that.
 15 MR. DYER:
 16 A. Right.
 17 MS. NEWBURY:
 18 Q. But would anyone recall?
 19 MR. DYER:
 20 A. Oh, I don't know if anyone would recall. Like
 21 I said, we had different pathologists reading
 22 the slides at the time. And it was mostly
 23 Ken--mostly Mr. Green did the validations, I
 24 helped out to help get them done.
 25 MS. NEWBURY:

Page 301

1 Q. Okay. So, Mr. Green would have been the one
 2 to select the specimens?
 3 MR. DYER:
 4 A. I guess, I think we might have based it on
 5 patients that already had results in the
 6 system.
 7 MS. NEWBURY:
 8 Q. Okay. And you indicated that there were a
 9 variety of pathologists who were involved in
 10 assessing the quality of the slides.
 11 MR. DYER:
 12 A. Yes.
 13 MS. NEWBURY:
 14 Q. Okay. And were they all pathologists at
 15 Health Sciences Centre or St. Clare's?
 16 MR. DYER:
 17 A. Health Science because they were on site.
 18 MS. NEWBURY:
 19 Q. Okay. And do you know if the pathologists did
 20 this as a blind study, would they know what
 21 slide came from which system?
 22 MR. DYER:
 23 A. I think they would have known because of the
 24 labelling, so I think they knew what came from
 25 where.

Page 302

1 MS. NEWBURY:
 2 Q. So when they're looking at the quality of a
 3 particular slide, they would know this is a
 4 slide produced on Ventana?
 5 MR. DYER:
 6 A. Yes.
 7 MS. NEWBURY:
 8 Q. Okay. And do you know if any calculations
 9 were done to determine if the results from
 10 this study, the parallel study, were
 11 statistically significant?
 12 MR. DYER:
 13 A. I don't think so, no.
 14 MS. NEWBURY:
 15 Q. Okay, and do you know, I guess, in your
 16 background, in your experience as a
 17 technologist, what the requirements are in
 18 terms of validating a new system and the
 19 protocols to be used?
 20 MR. DYER:
 21 A. I don't think we had an actual validation
 22 protocol set up at that time. Again we only
 23 developed one with Dr. Elms in late 2006. So
 24 I think what was happening at the time was
 25 multiple protocols were run based on the

Page 303

1 recommended -- the recommended procedure from
 2 the company itself or whoever produced that
 3 antibody, and from there we just -- we would
 4 make up multiple -- again do like a grid
 5 style, and use a positive control.
 6 MS. NEWBURY:
 7 Q. Okay, and in terms of sitting down and looking
 8 at the feedback that you were getting from all
 9 of the pathologists from the different types
 10 of protocols run through the new system, there
 11 wasn't any --
 12 MR. DYER:
 13 A. Any document --
 14 MS. NEWBURY:
 15 Q. Any tipping point you needed to get so many
 16 slides with a certain grade of quality?
 17 MR. DYER:
 18 A. No, there wasn't, I don't think. I think they
 19 were just picking what they felt was best at
 20 the time.
 21 MS. NEWBURY:
 22 Q. Okay, so was it more like a gut reaction that,
 23 yeah, we've reached the point now that this is
 24 the protocol that we're comfortable with?
 25 MR. DYER:

Page 304

1 A. I think so, yes. They -- yes.
 2 MS. NEWBURY:
 3 Q. When you were discussing the phone message
 4 that you'd received from Dr. Carter, there was
 5 a note or a comment made there about 11
 6 specimens that were tested positive on the
 7 Ventana equipment and were determined to be
 8 negative from Mount Sinai. Can you recall
 9 that or do you need to see -
 10 MR. DYER:
 11 A. I have to see it, I don't recall it.
 12 MS. NEWBURY:
 13 Q. Exhibit P-2361, please. Okay, and if you look
 14 part way down message number one, it says,
 15 concerns about Ventana arose. The 11 cases
 16 that we sent up to Mount Sinai which showed
 17 cases that were negative by the original
 18 pathologists, were positive on Ventana and
 19 then were negative up in Mount Sinai. And
 20 this most, especially true for the
 21 progesterone and less true for the estrogen.
 22 So, you recall receiving this message?
 23 MR. DYER:
 24 A. Yes.
 25 MS. NEWBURY:

Page 305

1 Q. And I believe in your evidence the other day,
 2 it was your, I guess--I guess you surmised at
 3 a possible explanation for the conflicting
 4 results between the Ventana equipment and the
 5 testing done at Mount Sinai was an issue of
 6 interpretation of the slides.
 7 MR. DYER:
 8 A. I think my question asked was, were those
 9 cases from Ventana re-read to see if it had
 10 cytoplasmic staining because over-staining can
 11 occur from time to time. Even today, even
 12 though -
 13 MS. NEWBURY:
 14 Q. Okay. And you said that you'd recently
 15 learned about this possibility of cytoplasmic
 16 staining. Could you be more specific when you
 17 learned that?
 18 MR. DYER:
 19 A. I learned that back in 2005.
 20 MS. NEWBURY:
 21 Q. Okay, from whom?
 22 MR. DYER:
 23 A. I believe it was Dr. Banerjee when we were
 24 looking at the slides.
 25 MS. NEWBURY:

Page 306

1 Q. Okay. And do you have any reason to believe
 2 that this possible cytoplasmic staining is a
 3 more likely problem or more prominent problem
 4 with the Ventana equipment as opposed to what
 5 had been used previously, the DAKO equipment?
 6 MR. DYER:
 7 A. I don't know if I understand your question.
 8 It's not that the Ventana system was--I don't
 9 think it's the equipment that would do it.
 10 It's all about how the slides were read, I
 11 guess, during our validation.
 12 MS. NEWBURY:
 13 Q. Okay.
 14 MR. DYER:
 15 A. It's whoever read the slides, again, you know,
 16 my staff nor I were qualified in determining
 17 what was--nuclear staining versus cytoplasmic
 18 staining. So, it was handed off to a
 19 physician for that.
 20 MS. NEWBURY:
 21 Q. Right. So, I guess that you took from your
 22 discussion or the comment made by Dr. Banerjee
 23 when he was reviewing the slides and you were
 24 in his proximity was that cytoplasmic staining
 25 is an important issue and it shouldn't be

Page 307

1 misinterpreted as being -
 2 MR. DYER:
 3 A. Positive, yes.
 4 MS. NEWBURY:
 5 Q. - positive. And when looking at an ER/PR test
 6 slide, you should look for nuclear staining.
 7 But did he make any comment that cytoplasmic
 8 staining might be more likely with Ventana
 9 versus--not the interpretation of it, but the
 10 actual occurrence of cytoplasmic staining.
 11 MR. DYER:
 12 A. No, I don't think he made any type of
 13 statement like that.
 14 MS. NEWBURY:
 15 Q. Okay. And since that issue was brought to
 16 your attention, are you aware whether there's
 17 been any investigation to determine whether
 18 the interpretation of cytoplasmic staining is
 19 an issue with slides produced on either the
 20 Ventana equipment or the DAKO equipment?
 21 MR. DYER:
 22 A. What I remember is, I think I only just drew
 23 the parallels the past few weeks when I was
 24 reading over some of this testimony, but I
 25 think when Dr. Ejeckam actually wrote his memo

Page 308

1 back in '03 and sent it out to all the
 2 pathologists, one of the statements he made
 3 was for ER staining, I believe he said, these
 4 are nuclear stains. And if cytoplasmic
 5 staining is deemed to be negative.
 6 MS. NEWBURY:
 7 Q. Right.
 8 MR. DYER:
 9 A. So, no, nothing was drawn at that time.
 10 MS. NEWBURY:
 11 Q. Okay. But since 2005 when it first came into
 12 your mind that this is a possible problem, the
 13 interpretation of cytoplasmic staining as
 14 being positive, you're not aware if anyone,
 15 whether a pathologist or other technologist in
 16 your lab or quality assurance people suggested
 17 or took any steps to do an analysis or to do a
 18 review to see if that has been a problem.
 19 MR. DYER:
 20 A. You mean by reviewing slides?
 21 MS. NEWBURY:
 22 Q. Yes.
 23 MR. DYER:
 24 A. Not to my knowledge.
 25 MS. NEWBURY:

Page 309

1 Q. If you could bring up Exhibit P-0046, please.
 2 And you said you'd asked a question on that,
 3 did you ask a question of someone
 4 specifically? Did you ask -
 5 MR. DYER:
 6 A. No, I think just myself. I didn't discuss it
 7 with anyone else.
 8 MS. NEWBURY:
 9 Q. So, you didn't pose that question -
 10 MR. DYER:
 11 A. I might have talked to Mr. Gulliver, but I
 12 don't know.
 13 MS. NEWBURY:
 14 Q. And is there any reason why you haven't
 15 pursued that any further?
 16 MR. DYER:
 17 A. At that time?
 18 MS. NEWBURY:
 19 Q. At any time?
 20 MR. DYER:
 21 A. No, well, we went through a re-validation.
 22 So, no, I didn't discuss it.
 23 MS. NEWBURY:
 24 Q. The re-validation would be--that would take
 25 care of any prospective testing, any future

Page 310

1 testing.
 2 MR. DYER:
 3 A. Yes.
 4 MS. NEWBURY:
 5 Q. But how about what may have happened prior to
 6 that?
 7 MR. DYER:
 8 A. Again, that would have been a clinical thing
 9 for interpretation, not me.
 10 MS. NEWBURY:
 11 Q. Okay. This is Dr. Banerjee's report which
 12 you've seen a few times. I'm going to turn to
 13 page four and you were shown this again this
 14 morning. Item number two under conclusions
 15 about the reasons for test failure. Item
 16 number two, it says, "is the Ventana system
 17 too sensitive? There's no evidence that the
 18 Ventana system creates false positive results.
 19 However, the system still requires
 20 optimization to avoid non specific cytoplasmic
 21 staining. And presumably that was taken into
 22 account when re-validating your Ventana
 23 equipment?
 24 MR. DYER:
 25 A. I would imagine, yes. Then again, when we say

Page 311

1 non-specific, again, that's like an over-stain
 2 style, so yes.
 3 MS. NEWBURY:
 4 Q. Okay, but would that fit with the comment
 5 earlier that you made about cytoplasmic
 6 staining being interpreted as a positive
 7 result?
 8 MR. DYER:
 9 A. Yes, could be, yes.
 10 MS. NEWBURY:
 11 Q. And his comment there is that the system still
 12 requires optimization to avoid non-specific
 13 cytoplasmic staining. And he's referring
 14 there specifically to the Ventana system, but
 15 do you know if the DAKO system which had been
 16 used prior to 2004 had ever been optimized to
 17 avoid non-specific cytoplasmic staining in the
 18 event that it's also required for that system?
 19 Do you have any records or knowledge of
 20 whether or not the DAKO system had -
 21 MR. DYER:
 22 A. No, again, the system requires optimization,
 23 again, I think--my interpretation reading that
 24 here is it needs to be monitored all the time.
 25 I assume the DAKO system went through--was

Page 312

1 optimized the way the Ventana was optimized, I
 2 would assume, but I wasn't -
 3 MS. NEWBURY:
 4 Q. You weren't there.
 5 MR. DYER:
 6 A. Right.
 7 MS. NEWBURY:
 8 Q. And there's no documentation that you've ever
 9 come across.
 10 MR. DYER:
 11 A. No.
 12 MS. NEWBURY:
 13 Q. Okay. And you don't know whether or not
 14 anyone had focused on the issue of non-
 15 specific cytoplasmic staining.
 16 MR. DYER:
 17 A. Again, I would assume when it was being
 18 interpreted, it would be commented if there
 19 was cytoplasmic versus nuclear staining.
 20 MS. NEWBURY:
 21 Q. And do you have any reason to believe that
 22 that had been done prior to 2005 when you
 23 first learned about this possibility?
 24 MR. DYER:
 25 A. Again -

Page 313

1 MS. NEWBURY:
 2 Q. Do you have any reason to believe that that
 3 had been the focus of someone's attention
 4 prior to that?
 5 MR. DYER:
 6 A. No, again, it's the physicians who interpret
 7 it, so I wouldn't be able to say if that's
 8 what they did or not.
 9 MS. NEWBURY:
 10 Q. But the optimization of the system itself,
 11 would a technologist have a role in that?
 12 MR. DYER:
 13 A. The optimization is we actually use controls
 14 and critique the stain to get it to a point
 15 where it's doing what it's supposed to do.
 16 That's how you optimize and when you optimize,
 17 you can change your antigen retrieval, your
 18 times, your incubations, your dilutions, all
 19 that and that's what optimizing is.
 20 MS. NEWBURY:
 21 Q. Right, but when -
 22 MR. DYER:
 23 A. So, when we were bringing on the system, we
 24 were optimizing the antibody which is
 25 optimizing the system.

Page 314

1 MS. NEWBURY:
 2 Q. Right.
 3 MR. DYER:
 4 A. Do you understand what I'm -
 5 MS. NEWBURY:
 6 Q. I understand, but I guess what I'm trying to
 7 get at is, as a technologist when you were
 8 participating in the process of optimizing a
 9 system and the procedures and protocols used
 10 on that system, do you have in your mind that
 11 one of the things that we aim to do is to
 12 avoid non-specific cytoplasmic staining? Or
 13 do you rely solely on the physicians involved
 14 in the -
 15 MR. DYER:
 16 A. You rely solely on the physicians involved.
 17 MS. NEWBURY:
 18 Q. Okay. You've talked a bit about the quality
 19 assurance committee that you were invited to
 20 sit on and Dr. Carter was the one, I believe,
 21 who wrote a memo or letter to you asking you
 22 to sit on this quality assurance committee?
 23 MR. DYER:
 24 A. In '04, yes.
 25 MS. NEWBURY:

Page 315

1 Q. Okay. And you'd indicated she wasn't in
 2 favour of your particular committee getting
 3 involved in the preparing of standard
 4 operating procedures?
 5 MR. DYER:
 6 A. No, that was in the second committee.
 7 MS. NEWBURY:
 8 Q. That was in the second committee, okay.
 9 MR. DYER:
 10 A. Yes.
 11 MS. NEWBURY:
 12 Q. Was the issue of SOPs discussed in the first
 13 committee or was it just the second?
 14 MR. DYER:
 15 A. I think it was discussed, but we never really
 16 got that far. What we started to do first was
 17 focus on clinical indicators.
 18 MS. NEWBURY:
 19 Q. Okay. So, her reluctance then to get into the
 20 standard operating procedures didn't come to
 21 light until the second committee was formed.
 22 MR. DYER:
 23 A. Yes.
 24 MS. NEWBURY:
 25 Q. And did she offer any alternative proposals as

Page 316

1 to who, if anyone, should be involved in
 2 prepared those standard operating procedures
 3 or was she against the idea all together?
 4 MR. DYER:
 5 A. No, I think she--no, she wasn't against the
 6 idea all together. I think she was just
 7 against the idea that this particular
 8 committee wasn't set up to do that.
 9 MS. NEWBURY:
 10 Q. Okay. And did she state whether it was an
 11 issue of time or resources for the members of
 12 the committee or whether the committee lacked
 13 the necessary expertise for that. Did she
 14 explain in any detail why?
 15 MR. DYER:
 16 A. I believe she felt this committee was a
 17 monitoring system. So, we would monitor
 18 everything. Again, you'd have to ask her what
 19 her--I know at one point there was a
 20 suggestion, I believe, that we strike a sub-
 21 committee, but it never came to fruition. I
 22 don't think there was a lot of time or I don't
 23 think we had time for more committees. We
 24 were hoping to have things go through this
 25 one.

Page 317

1 MS. NEWBURY:
 2 Q. Right, and I think your comment on that, or
 3 your observation was that if we don't have
 4 standard operating procedures, then how can we
 5 monitor what's going on?
 6 MR. DYER:
 7 A. I guess from a reasonable point of view, you
 8 need policies and procedures written in and in
 9 place before you can monitor.
 10 MS. NEWBURY:
 11 Q. Okay, and did you pose that to Dr. Carter?
 12 MR. DYER:
 13 A. Yes.
 14 MS. NEWBURY:
 15 Q. And so did you get a response?
 16 MR. DYER:
 17 A. The response was we weren't writing SOPs.
 18 MS. NEWBURY:
 19 Q. Okay, and so you have a committee formed, and
 20 I guess it has a very good goal of trying to
 21 monitor quality?
 22 MR. DYER:
 23 A. Yes.
 24 MS. NEWBURY:
 25 Q. Quality issues.

Page 318

1 MR. DYER:
 2 A. Yes, I think it was --
 3 MS. NEWBURY:
 4 Q. And you feel that there should be standard
 5 operating procedures?
 6 MR. DYER:
 7 A. Yes.
 8 MS. NEWBURY:
 9 Q. And you're willing for this particular
 10 committee to do it. Dr. Carter doesn't feel
 11 that it's appropriate for that committee to do
 12 it. So it would appear that you were at a bit
 13 of an impasse there?
 14 MR. DYER:
 15 A. Yes.
 16 MS. NEWBURY:
 17 Q. Was there a mechanism in place that you could
 18 speak to someone to help to resolve that, that
 19 fairly fundamental problem?
 20 MR. DYER:
 21 A. I don't think there was a mechanism at the
 22 time. The clinical chief was actually on that
 23 committee, and it wasn't pushed that we get
 24 the SOPs written from this committee.
 25 MS. NEWBURY:

Page 319

1 Q. Okay. So you feel that the person that
 2 probably could help you actually sat on the
 3 committee?
 4 MR. DYER:
 5 A. Yes.
 6 MS. NEWBURY:
 7 Q. And there was nowhere else that you felt you
 8 could go to try to resolve that issue?
 9 MR. DYER:
 10 A. Well, I mean, I talked to Mr. Gulliver about
 11 it, but he -- you know, again the same thing,
 12 we should be writing -- we should have been
 13 writing the SOPs at the time.
 14 MS. NEWBURY:
 15 Q. Mr. Dyer, I wanted to just get you to clarify
 16 a comment that you made the other day that
 17 related to the technologist checking external
 18 controls for ER/PR tests.
 19 MR. DYER:
 20 A. Yes.
 21 MS. NEWBURY:
 22 Q. And I believe -- and this was on Monday, and I
 23 believe that you had expressed a concern about
 24 any practice that might require that a
 25 technologist check such external controls, and

Page 320

1 you distinguished the ER/PR test from routine
 2 stains, and I think you had indicated that
 3 routine stains are taught in college and for
 4 that reason, you had no concern with
 5 technologists reading those external controls.
 6 MR. DYER:
 7 A. Right.
 8 MS. NEWBURY:
 9 Q. But ER/PR testing was not taught in college,
 10 and that gave rise to your concern. So that
 11 was one piece of evidence that you gave on
 12 Monday. You had also indicated at the time,
 13 and I think I got this correct, that while you
 14 were at the Janeway, Dr. Pushpanathan had
 15 taught you on the job about muscle
 16 histochemistry?
 17 MR. DYER:
 18 A. Yes, we developed a muscle histochemistry
 19 program.
 20 MS. NEWBURY:
 21 Q. Okay, and you had also done some independent
 22 reading on your own to learn about muscle
 23 histochemistry?
 24 MR. DYER:
 25 A. Oh, yes, that's how you do it.

Page 321

1 MS. NEWBURY:
 2 Q. Okay, and was muscle histochemistry taught at
 3 all, was that part of the curriculum when you
 4 did your course at college?
 5 MR. DYER:
 6 A. Enzymatic staining, no. I mean, we learned
 7 about enzymes and things like this.
 8 MS. NEWBURY:
 9 Q. Right.
 10 MR. DYER:
 11 A. But in terms of any of these types of
 12 protocols, no, none.
 13 MS. NEWBURY:
 14 Q. Okay, and I guess the question that I have is
 15 if you were able to learn through on the job
 16 training and independent reading a completely
 17 new technique with the assistance of Dr.
 18 Pushpanathan of the enzymatic staining or the
 19 muscle histochemistry, then how would you
 20 distinguish that from a technologist through
 21 on the job training or independent reading
 22 learning to read external controls for ER/PR?
 23 Is there a distinction between the two?
 24 MR. DYER:
 25 A. No, actually developing and performing the

Page 322

1 procedure, that's what they're doing now, just
 2 like that's what I did at the Janeway.
 3 MS. NEWBURY:
 4 Q. Okay.
 5 MR. DYER:
 6 A. But I didn't actually interpret any controls
 7 or anything like that at the Janeway for
 8 enzymatic stains. That was all done by the
 9 physician.
 10 MS. NEWBURY:
 11 Q. Okay. So the problem was not so much that
 12 it's not taught at college, but the problem
 13 that you had with the technologist reading the
 14 external controls is that that's not the role
 15 of a technologist, this is something in your
 16 view that should be done by a pathologist?
 17 MR. DYER:
 18 A. No, no, I don't have an issue with
 19 technologists reading external controls. I
 20 just feel that -- I don't think the external
 21 controls should actually have a final sign off
 22 by the tech. I think there should be a
 23 secondary check by the physician because when
 24 you're actually interpreting as you're
 25 learning from all this IHC, it's very

Page 323

1 variable, and very subjective.
 2 MS. NEWBURY:
 3 Q. Okay.
 4 MR. DYER:
 5 A. And so I don't know -- you know, like, the
 6 physicians go through many, many years of
 7 medical school whereas a tech doesn't, and I
 8 think I compared it to the gross, whereas with
 9 gross there's actually standardized protocols
 10 and photos and all this of doing it step by
 11 step, whereas it's very subjective when it
 12 comes to interpretation. No, I think that the
 13 techs should actually learn to interpret them.
 14 MS. NEWBURY:
 15 Q. Okay.
 16 MR. DYER:
 17 A. But I think there should be a secondary sign
 18 off.
 19 MS. NEWBURY:
 20 Q. So the final say on the reading of or an
 21 interpretation of an external control in your
 22 view should be with the pathologist regardless
 23 of whether or not the technologist learned
 24 that procedure in college?
 25 MR. DYER:

Page 324

1 A. They don't learn that in college.
 2 MS. NEWBURY:
 3 Q. No, but even if they did -- the issue isn't
 4 with whether or not they learn it in college,
 5 the issue is with the roles and
 6 responsibilities, and in your view, it's the
 7 pathologist?
 8 MR. DYER:
 9 A. That's -- yes, and again I don't know if the
 10 pathologists -- I don't know if it's a good
 11 idea for pathologists to rely 100 percent on
 12 what a tech said about a control.
 13 MS. NEWBURY:
 14 Q. Okay.
 15 MR. DYER:
 16 A. I mean, versus positivity and negativity,
 17 well, that's different because if it's
 18 negative, it's negative. Then you would
 19 repeat, but when it comes to a specific -- you
 20 know, is this a cytoplasmic stain, versus a
 21 membraneous stain, versus a nuclear stain,
 22 that's much more challenging and very
 23 subjective.
 24 MS. NEWBURY:
 25 Q. And the routine stains that are taught in

Page 325

1 college, do technologists have a final sign
 2 off on those external --
 3 MR. DYER:
 4 A. Again -- yes, those controls don't leave the
 5 lab. They're actually read by the techs.
 6 MS. NEWBURY:
 7 Q. Okay.
 8 MR. DYER:
 9 A. And -- but we have a QC system in place so
 10 that what happens is we have a QC number set
 11 up for, say, like for iron, and that's put on
 12 the top of every single slide where an iron
 13 was done, and a pathologist, when they get the
 14 actual slide, it says there's a QC number
 15 there they can go in and type in that QC
 16 number and actually read the result.
 17 MS. NEWBURY:
 18 Q. Okay.
 19 MR. DYER:
 20 A. Because they're very different stains. They're
 21 just a -- they're not like an antibody,
 22 antigen reaction, or enzymatic, any of this
 23 style. They're a very -- they're chemical
 24 reactions which are much different.
 25 MS. NEWBURY:

Page 326

1 Q. Right. So it's the nature of the stain?
 2 MR. DYER:
 3 A. I think it's just the nature, yes.
 4 MS. NEWBURY:
 5 Q. And even if it ever comes to a point that that
 6 whole procedure is introduced as part of the
 7 curriculum in a college, then you would still
 8 expect that the pathologist would have final
 9 sign off?
 10 MR. DYER:
 11 A. Well, I'd feel uncomfortable, but at the end
 12 of the day, if that's what the physicians
 13 want, then that's what we will do.
 14 MS. NEWBURY:
 15 Q. Okay. Are there any guidelines in place just
 16 to -- I guess, new procedures, new lab
 17 techniques and testing protocols are being
 18 introduced all the time. Are there any
 19 guidelines in place to allocate the role or
 20 responsibility as between the technologists
 21 and pathologists? Is there a system just to
 22 make it clear that everyone knows who is
 23 responsible and who is able to read the
 24 controls?
 25 MR. DYER:

Page 327

1 A. I don't know if they are actually written in
 2 place, but, yes, there is when it comes to
 3 IHC. Dr. Ford Elms is the director.
 4 MS. NEWBURY:
 5 Q. Okay, that's what you have now, but generally
 6 speaking before Dr. Elms became the director
 7 of IHC?
 8 MR. DYER:
 9 A. What would happen is if the physician wanted a
 10 new antibody, they would just come and ask me
 11 can they have a new antibody, and I said we
 12 would buy the antibody, and they would start a
 13 titration process based on again the
 14 specification sheet, and then bring those
 15 slides back to that pathologist for
 16 interpretation.
 17 MS. NEWBURY:
 18 Q. So it's done on a test by test basis?
 19 MR. DYER:
 20 A. Yes.
 21 MS. NEWBURY:
 22 Q. Who's going to do what?
 23 MR. DYER:
 24 A. Yes.
 25 MS. NEWBURY:

Page 328

1 Q. I just wanted to explore with you a little bit
 2 about the types of things that are covered in
 3 medical laboratory technologist program, such
 4 as the one that you attended, I guess, in the
 5 early 1980s.
 6 MR. DYER:
 7 A. Yes.
 8 MS. NEWBURY:
 9 Q. At the time you attended college, did the
 10 program include instruction on the validation
 11 of equipment and testing protocols and
 12 procedures?
 13 MR. DYER:
 14 A. Actual validation protocols?
 15 MS. NEWBURY:
 16 Q. Yes.
 17 MR. DYER:
 18 A. I don't think so.
 19 MS. NEWBURY:
 20 Q. Or just generally how would you go about doing
 21 it. I know that equipment ages all the time.
 22 MR. DYER:
 23 A. How to -- well, they went about to teach you
 24 how to use different types of equipment.
 25 Actual validation, I don't think that was

Page 329

1 actually discussed.
 2 MS. NEWBURY:
 3 Q. That wasn't discussed?
 4 MR. DYER:
 5 A. The word "validation", I don't think that was
 6 used.
 7 MS. NEWBURY:
 8 Q. Or anything -- I guess maybe the terms change
 9 from time to time. Was there even the concept
 10 of validating equipment to make sure that it's
 11 working properly, checking it against known
 12 results? Was that concept ever discussed as
 13 part of your training?
 14 MR. DYER:
 15 A. I think checking against known results might
 16 have been a concept, yes, because that's how
 17 we did -- I know in pathology that's how we
 18 did things, we always used a control as a
 19 known result.
 20 MS. NEWBURY:
 21 Q. And how about, you know, the mechanical steps
 22 of how you go about doing that, taking
 23 different titrations and incubation times, and
 24 --
 25 MR. DYER:

Page 330

1 A. Yes.
 2 MS. NEWBURY:
 3 Q. I'm talking generally, not about ER/PR, but
 4 generally speaking, that whole process, was
 5 that part of your curriculum?
 6 MR. DYER:
 7 A. Well, again, you know, in chemistry you
 8 learned about dilutions and those things. To
 9 put them together into one form as a
 10 validation, I'm not sure, but you learned all
 11 those things while you're in school.
 12 MS. NEWBURY:
 13 Q. Okay, but are you learning a specific
 14 technique for a specific test, or do you learn
 15 generally, you know, as a lab technologist
 16 over the course of you're career, you're going
 17 to encounter new tests and new equipment
 18 coming in, and we want to make sure that
 19 you're familiar with the process of making
 20 sure that this equipment and these protocols
 21 work fine; here are the steps that you follow?
 22 MR. DYER:
 23 A. No, I think you learn that on the job because
 24 that was more done by senior techs.
 25 MS. NEWBURY:

Page 331

1 Q. Okay, and do you know if that's still
 2 something that's learned only on the job or
 3 would the current programs -- this is 20 some
 4 years later.
 5 MR. DYER:
 6 A. I don't know. You'll have to talk to CONA and
 7 see.
 8 MS. NEWBURY:
 9 Q. You don't know?
 10 MR. DYER:
 11 A. I don't know exactly what the --
 12 MS. NEWBURY:
 13 Q. And how about quality assurance, was that a
 14 part of your curriculum when you did your
 15 course?
 16 MR. DYER:
 17 A. Again for pathology, quality assurance was to
 18 always run controls, and we were always taught
 19 in school to run controls with everything you
 20 did.
 21 MS. NEWBURY:
 22 Q. Okay, and that was the only method of quality
 23 assurance that you were taught at the time?
 24 MR. DYER:
 25 A. Yes, at that time, yes.

Page 332

1 MS. NEWBURY:
 2 Q. And that was focusing on pathology?
 3 MR. DYER:
 4 A. Yes, on pathology, but you ran controls -- in
 5 chemistry, you ran controls in chemistry and
 6 hematology, so controls were always taught at
 7 that time, yes.
 8 MS. NEWBURY:
 9 Q. Were you even familiar then with the term of
 10 external proficiency testing?
 11 MR. DYER:
 12 A. In school, no.
 13 MS. NEWBURY:
 14 Q. And do you know if that's something that's now
 15 taught?
 16 MR. DYER:
 17 A. Again I wouldn't be able to --
 18 MS. NEWBURY:
 19 Q. So you have no idea now what's included in the
 20 curriculum for --
 21 MR. DYER:
 22 A. I haven't read it in the -- I don't think I've
 23 read any this year, the actual curriculum.
 24 MS. NEWBURY:
 25 Q. And quality control generally, you've

Page 333

1 mentioned already the idea of running controls
 2 with all of your tests?
 3 MR. DYER:
 4 A. Yes.
 5 MS. NEWBURY:
 6 Q. How about things such as the need for
 7 documenting your various procedures?
 8 MR. DYER:
 9 A. In terms of --
 10 MS. NEWBURY:
 11 Q. Perhaps what we could do -- if we could bring
 12 up Exhibit P-0047, please. I'm going to show
 13 you Trish Wegrynowski's report.
 14 MR. DYER:
 15 A. Sure.
 16 COMMISSIONER:
 17 Q. Ms. Newbury, once you've done this, perhaps
 18 we'll take the afternoon break.
 19 MR. DYER:
 20 A. Okay. I'm just going to refer you again to
 21 something that you were shown this morning.
 22 This is Trish Wegrynowski's report and Section
 23 3.2 deals with IHC documentation, and she
 24 notes that documentation in general was
 25 deficient and highlights a few areas and

Page 334

1 you've discussed this generally, but I guess
 2 my focus on showing you this now is to find
 3 out which of these types of issues that Ms.
 4 Wegrynowski raised would have been something
 5 that was part of your training when you
 6 attended college, and the concept of having
 7 procedure manuals and standard operating
 8 procedures, keeping manufacturer's
 9 specification data sheets organized, record
 10 keeping for daily, weekly, monthly equipment
 11 maintenance, were any of those issues taught
 12 as part of your curriculum?
 13 MR. DYER:
 14 A. I'm not sure if we were actually taught record
 15 keeping itself. Again some of this stuff is
 16 not pertinent to school where it's IHC, but
 17 test procedures, you know, we had test
 18 procedures. When she came in we already --
 19 again I will tell you we had the test
 20 procedures there.
 21 MS. NEWBURY:
 22 Q. But you didn't have standard operating
 23 procedures?
 24 MR. DYER:
 25 A. Not in the format she wanted, but every

Page 335

1 protocol was already there and printed off
 2 before she ever came in.
 3 COMMISSIONER:
 4 Q. Wasn't the question (inaudible).
 5 MS. NEWBURY:
 6 Q. Yes.
 7 MR. DYER:
 8 A. Oh I'm sorry, okay, so generally? I think no.
 9 MS. NEWBURY:
 10 Q. Okay, so the difference -- obviously there was
 11 something that Ms. Wegrynowski saw to be
 12 deficient?
 13 MR. DYER:
 14 A. Yes.
 15 MS. NEWBURY:
 16 Q. In what you had, and you've since taken steps
 17 to put procedures in to a proper format?
 18 MR. DYER:
 19 A. Put documentation --
 20 MS. NEWBURY:
 21 Q. I guess the type of formatting, what -- what
 22 is considered generally acceptable in terms of
 23 documenting standard operating procedures,
 24 would that have been a topic covered in
 25 college?

Page 336

1 MR. DYER:
 2 A. I don't think so. It doesn't sound familiar.
 3 MS. NEWBURY:
 4 Q. And the need to keep records for the daily,
 5 weekly, monthly equipment maintenance?
 6 MR. DYER:
 7 A. We were trained on -- not keeping records, but
 8 doing the work, but keeping records, I don't
 9 think we did much in terms of document it.
 10 MS. NEWBURY:
 11 Q. And how about keeping, the fifth last bullet,
 12 "No equipment documentation and calibration
 13 records", would that have been something
 14 included --
 15 MR. DYER:
 16 A. Again we did it, we just -- we didn't document
 17 it. So back then at the school, I don't if we
 18 were actually taught that.
 19 MS. NEWBURY:
 20 Q. How about the idea of having an error log and
 21 a corrective action --
 22 MR. DYER:
 23 A. No, that wouldn't have been taught at school.
 24 MS. NEWBURY:
 25 Q. That wasn't taught at college?

Page 337

1 MR. DYER:
 2 A. I don't think so.
 3 MS. NEWBURY:
 4 Q. Okay, and you have no idea -- you have never
 5 inquired of some of the new people that have
 6 come on board with Eastern Health -- you've
 7 had a couple of new people hired. Have you
 8 inquired whether they're familiar with these
 9 types of requirements, whether they were
 10 taught this in college?
 11 MR. DYER:
 12 A. In college, no, not were they taught in
 13 college. I didn't inquire.
 14 MS. NEWBURY:
 15 Q. Do your new lab technologists appear familiar
 16 with these ideas?
 17 MR. DYER:
 18 A. Again I don't -- they're assigned to techs in
 19 the lab, so I'm not too involved with the
 20 actual technologists coming. One of the
 21 senior techs are assigned to them.
 22 MS. NEWBURY:
 23 Q. Okay. This is a good time for a break.
 24 COMMISSIONER:
 25 Q. Okay, take the afternoon break.

Page 338

1 (BREAK)
 2 COMMISSIONER:
 3 Q. Ms. Newbury.
 4 MS. NEWBURY:
 5 Q. Thank you. Mr. Dyer, I wonder if you could
 6 compare for me the continuing medical
 7 education available to technologists now and
 8 compare it from what you had before May of
 9 2005, and what is available currently?
 10 MR. DYER:
 11 A. Continuing education for techs?
 12 MS. NEWBURY:
 13 Q. Yes.
 14 MR. DYER:
 15 A. I think -- prior to 2005, we did on the job
 16 training. Today we still do mostly on the job
 17 training, but what we're doing is with NSH,
 18 where they teach a lot of academics -- not
 19 hands on, they just teach academics about
 20 immunohistochemistry, so we're ensuring that
 21 the techs are sent to that, and we have much
 22 more communication or interaction with a
 23 single physician.
 24 MS. NEWBURY:
 25 Q. Okay.

Page 339

1 MR. DYER:
 2 A. To teach microscope work and things like that,
 3 and we ensure that everyone is trained on the
 4 actual technology.
 5 MS. NEWBURY:
 6 Q. Okay.
 7 MR. DYER:
 8 A. And I think when money was approved, we're
 9 sending at least one IHC tech away each year
 10 for academics.
 11 MS. NEWBURY:
 12 Q. And when you say NSH, that's National Society
 13 of Histotechnology?
 14 MR. DYER:
 15 A. Yes, that seems to be the best one in North
 16 America that would actually have a lot of
 17 lectures and that on immunohistochemistry.
 18 MS. NEWBURY:
 19 Q. Right, that's the best one specific to
 20 immunohistochemistry?
 21 MR. DYER:
 22 A. It appears to be, in North America, yes.
 23 MS. NEWBURY:
 24 Q. Okay, and do each of the techs go every year.

Page 340

1 MR. DYER:
 2 A. No, right now, I think what we're trying--what
 3 we've been doing is sending two a year. So
 4 there's four techs there.
 5 MS. NEWBURY:
 6 Q. Okay. So every second year then -
 7 MR. DYER:
 8 A. Well, let's say I think the plan is every
 9 third year for sure.
 10 MS. NEWBURY:
 11 Q. Every third year?
 12 MR. DYER:
 13 A. Every third year will be the plan, I think.
 14 MS. NEWBURY:
 15 Q. Okay, and you said you send away one
 16 technologist every year, is that for the NSH
 17 or something different?
 18 MR. DYER:
 19 A. No, that--right now, like--I'm sorry, again,
 20 for IHC--well, we have funding for one to go
 21 away each year, but we try to send two.
 22 MS. NEWBURY:
 23 Q. Okay.
 24 MR. DYER:
 25 A. So there's three actual techs doing the work

Page 341

1 and so for sure every third year, but we try
 2 to do every second year.
 3 MS. NEWBURY:
 4 Q. Okay, so the one IHC technologist that you
 5 send away every year, that's to the National
 6 Society for Histotechnology convention?
 7 MR. DYER:
 8 A. Yes.
 9 MS. NEWBURY:
 10 Q. Okay, and do you try to keep track of what
 11 seminars they might attend? I don't know if
 12 this is a convention where you can choose to
 13 go to a certain -
 14 MR. DYER:
 15 A. No, usually what happens is what I've been
 16 doing since we started this in '05 is we sit
 17 down together and also with the physician to
 18 determine what will be the best things for
 19 them to go to.
 20 MS. NEWBURY:
 21 Q. Okay.
 22 MR. DYER:
 23 A. And we have an academic day, I'm not sure if
 24 it's every week, I can't remember now, every
 25 Friday, and lectures are then given at that

Page 342

1 for all, for techs and for physicians.
 2 MS. NEWBURY:
 3 Q. Who runs that program?
 4 MR. DYER:
 5 A. That's run by our quality management group.
 6 MS. NEWBURY:
 7 Q. Okay.
 8 MR. DYER:
 9 A. For pathology.
 10 MS. NEWBURY:
 11 Q. When did that start?
 12 MR. DYER:
 13 A. That started a couple of years ago.
 14 MS. NEWBURY:
 15 Q. Okay, and every single week that takes place?
 16 MR. DYER:
 17 A. I think, yes. Now not a--now a tech don't
 18 give a lecture every time. There's always
 19 someone giving a different lecture. Like I
 20 would give lectures at it, administrators,
 21 pathologists, residents and technologists.
 22 MS. NEWBURY:
 23 Q. But do your technologists in
 24 immunohistochemistry attend every single week?
 25 MR. DYER:

Page 343

1 A. That's the intent, yes.
 2 MS. NEWBURY:
 3 Q. Okay, they attend to observe?
 4 MR. DYER:
 5 A. Yes.
 6 MS. NEWBURY:
 7 Q. And about how long is that session?
 8 MR. DYER:
 9 A. It's one hour, one and a half hour sessions,
 10 Friday mornings.
 11 MS. NEWBURY:
 12 Q. I wonder if I could bring up Exhibit, I think
 13 it's entered, 2409? Thank you. This is a
 14 Distance Education calendar or portions of a
 15 distance education calendar from the Canadian
 16 Society for Medical Laboratory Science, and
 17 this is a course calendar current as of July
 18 22nd, 2008. Are you familiar with this
 19 program or the Society generally?
 20 MR. DYER:
 21 A. Society generally, yes.
 22 MS. NEWBURY:
 23 Q. Okay, are you familiar with the distance
 24 education courses offered by this -
 25 MR. DYER:

Page 344

1 A. I haven't seen this one, but yeah, I have gone
 2 through it from time to time.
 3 MS. NEWBURY:
 4 Q. Okay. Have you ever done any courses through
 5 -
 6 MR. DYER:
 7 A. Myself?
 8 MS. NEWBURY:
 9 Q. Yes.
 10 MR. DYER:
 11 A. No, I haven't.
 12 MS. NEWBURY:
 13 Q. And do you know if any of the technologists at
 14 Eastern Health have done any of these courses?
 15 MR. DYER:
 16 A. In Eastern Health?
 17 MS. NEWBURY:
 18 Q. Yes.
 19 MR. DYER:
 20 A. Yes, I believe techs from other labs have
 21 probably, yes.
 22 MS. NEWBURY:
 23 Q. Okay. How about the immunohistochemical
 24 technologists?
 25 MR. DYER:

Page 345

1 A. No, I don't think so.
 2 MS. NEWBURY:
 3 Q. Okay. Turning to page--just wanted to go
 4 through some basic information here. The
 5 first paragraph there, just to set out what
 6 the purpose of this distance education
 7 calendar is all about. It says that
 8 "professionals in health care must evolve as
 9 fast as they can just to stay in the game. As
 10 a learning professional, you have made a
 11 decision to stay on the leading edge of your
 12 profession. You place a high value on
 13 continuing education as an effective means to
 14 react to rapid and ongoing changes in medical
 15 laboratory technology. CSMLS offers access to
 16 new information and excellent learning
 17 opportunities for you to upgrade your
 18 technical skills, as well as develop an area
 19 of expertise." So this would appear to be
 20 continuing education, as opposed to someone
 21 necessarily starting out as a medical
 22 laboratory technologist?
 23 MR. DYER:
 24 A. Yes.
 25 MS. NEWBURY:

Page 346

1 Q. And that's consistent with your understanding?
 2 MR. DYER:
 3 A. That's my understanding, yes.
 4 MS. NEWBURY:
 5 Q. Okay, and if we turn to page three, this is a
 6 table of contents with a number of different
 7 programs available, and a couple there I want
 8 to highlight. The interdisciplinary section
 9 there has a couple of courses I just wanted to
 10 bring to your attention, and that would be on
 11 page seven of the exhibit, and one of the
 12 courses here, interdisciplinary course, An
 13 Introduction to Ethics and Professionalism for
 14 Medical Technologists, and if you look at the
 15 very small print there, the second paragraph,
 16 just where the cursor is located, says "this
 17 is an important course for all lab
 18 professionals. We, at CSMLS, are pleased to
 19 introduce this unique offering. Whether you
 20 are new to the lab, currently supervising
 21 staff or looking to move ahead in the
 22 profession, ethics is a hot topic. Course
 23 highlights include" and they set out
 24 description of ethics and professionalism, and
 25 down--there's a section there with some

Page 347

1 bullets. "At the completion of this course,
 2 the learner will be able to:" and the first
 3 bullet, "examine and apply the CSMLS standards
 4 of practice and code of ethics." Bullet
 5 number two, "evaluate and apply ISO 15189
 6 ethics and quality policies," and there are a
 7 number of other bullets there, but the last
 8 one "solve problems in the laboratory
 9 including troubleshooting." Do you know if
 10 this is a type of course that would be of
 11 benefit or perhaps something that would be
 12 considered in the future for your laboratory?
 13 MR. DYER:
 14 A. I don't see why not, sure.
 15 MS. NEWBURY:
 16 Q. Okay, and do you know if this is a type of
 17 course that has been available for some time
 18 through this organization?
 19 MR. DYER:
 20 A. No, I wouldn't be able to tell you.
 21 MS. NEWBURY:
 22 Q. Okay. So this is not a course that's ever
 23 been taken by any of your technologists, as
 24 far as you're aware?
 25 MR. DYER:

Page 348

1 A. No, not that I'm aware of.
 2 MS. NEWBURY:
 3 Q. And you would be, presumably, told about it if
 4 -
 5 MR. DYER:
 6 A. Usually if they go through and they apply for
 7 funds, yes.
 8 MS. NEWBURY:
 9 Q. Okay, just wanted to point out there the
 10 course fees as well.
 11 MR. DYER:
 12 A. Again, the troubleshooting, I guess what kind
 13 of trouble--what would--again, you'll have to
 14 read to understand troubleshooting.
 15 MS. NEWBURY:
 16 Q. Sure, and -
 17 MR. DYER:
 18 A. That's more ethical.
 19 MS. NEWBURY:
 20 Q. - it's a very broad statement, sure.
 21 MR. DYER:
 22 A. Yes, that's -
 23 MS. NEWBURY:
 24 Q. Okay, but it's not something that anyone has
 25 ever looked into to see is this something that

Page 349

1 would be useful for our technologists?
 2 MR. DYER:
 3 A. I haven't.
 4 MS. NEWBURY:
 5 Q. Okay, and the course fees down there at the
 6 bottom, they have a fee for members and non-
 7 members.
 8 MR. DYER:
 9 A. Yes.
 10 MS. NEWBURY:
 11 Q. Are the technologists members of this
 12 organization, do you know?
 13 MR. DYER:
 14 A. Are they actually members, I don't think it's
 15 mandatory to be a member of the CSMLS. I
 16 think we're bringing in--I think Mr. Gulliver
 17 is trying to bring in regulations so that you
 18 have to be a member, but -
 19 MS. NEWBURY:
 20 Q. Regulations for -
 21 MR. DYER:
 22 A. To be a member of--to get hired in Eastern
 23 Health, you have to be certified with the
 24 CSMLS.
 25 MS. NEWBURY:

Page 350

1 Q. So it's a job requirement then?
 2 MR. DYER:
 3 A. Yes, it is a job requirement.
 4 MS. NEWBURY:
 5 Q. Okay. I believe from reading something, that
 6 only New Brunswick requires membership in this
 7 particular organization.
 8 MR. DYER:
 9 A. Okay.
 10 MS. NEWBURY:
 11 Q. So that's not what you're talking about?
 12 MR. DYER:
 13 A. No.
 14 MS. NEWBURY:
 15 Q. You're talking about Eastern Health's own job
 16 requirements?
 17 MR. DYER:
 18 A. Yes.
 19 MS. NEWBURY:
 20 Q. And another section there is on quality. In
 21 particular, if you turn to page 16 of the
 22 exhibit, and I just wanted to point out, it
 23 doesn't appear that--I mean, this appears to
 24 be a general -
 25 MR. DYER:

Page 351

1 A. Very general, yes.
 2 MS. NEWBURY:
 3 Q. - course for all medical laboratory
 4 technologists, not necessary for
 5 immunohistochemical testing. Now this has a
 6 few courses dealing with quality systems and
 7 the one on the top of the page there is
 8 actually part two of a program called Quality
 9 Systems for the Clinical Laboratory, and if
 10 you turn over to part one is actually
 11 described on page 19. So I'll start with that
 12 one on page 19. "Quality Systems for the
 13 Clinical Laboratory, Part I, Introduction.
 14 This course is an introduction to the quality
 15 systems with a particular focus on their
 16 application to medical laboratories within
 17 Canada. The course is divided into three
 18 modules: Introduction to Quality Management;
 19 Essential Components of a Quality System;
 20 Quality Standards, Models and Programs.
 21 Completion of this course will provide the
 22 learner with the skills and knowledge required
 23 to function within a laboratory quality
 24 system, as well as necessary prerequisite for
 25 the second course in this series, Quality

Page 352

1 Systems for the Clinical Laboratory, Part II.
 2 Who should take this course? MLTs and MLAs
 3 who want to learn more about quality systems
 4 and managers or potential managers who may be
 5 required to plan and/or implement a formal
 6 quality system or components in their clinical
 7 laboratory. At the completion of this course,
 8 the learner will be able to discuss the
 9 relevance of a quality system to the
 10 laboratory, describe the essential components
 11 of a quality system, describe the quality
 12 standards, models and programs available to
 13 medical laboratories."
 14 And then if you turn to page 16, and I'll
 15 bring you back to that, and this is Part II of
 16 the program. "The course includes basic steps
 17 to planning formal quality system for a
 18 laboratory. The participants will: consider
 19 the relative advantages and disadvantages of
 20 three quality system alternatives, ISO, CAP
 21 and CLSI; assess the current state or their
 22 laboratory quality--of their own laboratory's
 23 quality system with respect to the ten
 24 essential quality system components; prepare a
 25 customized quality system plan for their own

Page 353

1 laboratory. At the completion of the course,"
 2 this is down this section here, "the learner
 3 will be able to: select the quality system
 4 model most suitable for the learner's own
 5 organization; identify managerial issues and
 6 potential barriers to successful
 7 implementation of a QS; conduct a QS gap
 8 analysis; and prepare a quality system
 9 implementation plan."
 10 Now in terms of those quality systems for
 11 clinical laboratory, is this the type of thing
 12 that you think would be beneficial for your
 13 technologists or managers, for that matter?
 14 MR. DYER:
 15 A. I believe you should talk to Lynn Wade about
 16 that, because I believe we are doing things
 17 like this now.
 18 MS. NEWBURY:
 19 Q. Okay.
 20 MR. DYER:
 21 A. Yes.
 22 MS. NEWBURY:
 23 Q. But regardless if there are people now hired
 24 specifically to work in quality systems and
 25 quality assurance committee, would there still

Page 354

1 not be some value in the technologists who -
 2 MR. DYER:
 3 A. Definitely.
 4 MS. NEWBURY:
 5 Q. - who have to implement the programs to be
 6 familiar with that?
 7 MR. DYER:
 8 A. Yes, definitely, yes.
 9 MS. NEWBURY:
 10 Q. Okay, and again looking at the course fees at
 11 the bottom, it appears to be fairly, you know,
 12 certainly under \$1,000. Cheaper than, I
 13 think, some of the -
 14 MR. DYER:
 15 A. University.
 16 MS. NEWBURY:
 17 Q. - courses that people have to travel to
 18 attend.
 19 MR. DYER:
 20 A. Yes.
 21 MS. NEWBURY:
 22 Q. Okay, so it's 300 for members and 450 for non
 23 members. And I won't go through it in the
 24 same sort of detail, but there's also a two-
 25 part course for quality control, as compared

Page 355

1 to quality systems, and at the bottom of page
 2 16, it starts and on the next page it says
 3 "this is a three-parts series on laboratory
 4 controls" and I'll just go down to what the
 5 learner will be able to do at the end, and the
 6 first bullet "understand why we perform
 7 laboratory quality control; describe how
 8 quality control relates to total quality
 9 management; describe key requirements of
 10 quality control material; understand
 11 fundamental terms; understand the relationship
 12 between Gaussian distribution and Levey-
 13 Jennings QC charts; analyze data on quality
 14 control charts; demonstrate an understanding
 15 of probability of error detection and false
 16 rejection; describe errors in patient samples
 17 that will not be detected by routine quality
 18 control."
 19 Now is this something that you think
 20 would be of value to technologists or managers
 21 for that matter?
 22 MR. DYER:
 23 A. Some of it can be related to pathology, yes.
 24 MS. NEWBURY:
 25 Q. Okay, and what about immunohistochemical

Page 356

1 testing?
 2 MR. DYER:
 3 A. Yes, I think some of it can be. Again, like
 4 understanding the purpose of quality controls
 5 and things like this can. Other parts, it
 6 looks like it's directed directly at
 7 biochemistry.
 8 MS. NEWBURY:
 9 Q. So you think that's not necessarily directed
 10 at IHC?
 11 MR. DYER:
 12 A. Well, for Levey-Jennings and stuff like this,
 13 that's all based on numbers and everything we
 14 do is interpretation.
 15 MS. NEWBURY:
 16 Q. Okay, and what about -
 17 MR. DYER:
 18 A. But still some of it definitely, I think, can
 19 be used towards anatomic pathology.
 20 MS. NEWBURY:
 21 Q. Okay. So that's not something to date that
 22 has been investigated as a possible program,
 23 relatively inexpensive, I guess?
 24 MR. DYER:
 25 A. No, I think--no, we just hired again for our

Page 357

1 total quality management group, we just hired
 2 a new--Ms. Parnell retired and that's what
 3 we're--Ms. Rowe was hired and that's what
 4 we're in discussions with now as to where can
 5 we send her to for some training.
 6 MS. NEWBURY:
 7 Q. Right, okay. But in terms of whether or not
 8 there would still be some additional benefit
 9 for the technologists -
 10 MR. DYER:
 11 A. No, I think there will always be additional
 12 benefit for technologists.
 13 MS. NEWBURY:
 14 Q. Okay, and do you know how long these types of
 15 distance courses have been offered by -
 16 MR. DYER:
 17 A. I haven't seen--again, I haven't seen this
 18 detail, but I know they've been on the go for
 19 quite a while, CSMLS.
 20 MS. NEWBURY:
 21 Q. Okay.
 22 MR. DYER:
 23 A. Most of it that I've actually read is
 24 histotechnology, but none of that was
 25 pertinent to IHC.

Page 358

1 MS. NEWBURY:
 2 Q. And there's actually a section there, now that
 3 you bring that up, on histotechnology, Section
 4 O which I think is included in the excerpt at
 5 page 21, if anyone's interested in looking at
 6 that. I didn't see anything that related
 7 specifically to this, but -
 8 MR. DYER:
 9 A. Specific to IHC, no.
 10 MS. NEWBURY:
 11 Q. Yes, but presumably the course offerings vary
 12 from semester to semester or from year to
 13 year.
 14 MR. DYER:
 15 A. Yes, but for histotechnology, most of them are
 16 always the same. If you--from years and
 17 years.
 18 MS. NEWBURY:
 19 Q. Okay. So you are familiar then with what has
 20 been offered over the years?
 21 MR. DYER:
 22 A. Yes, level one, level two, like that, for
 23 histology, yes.
 24 MS. NEWBURY:
 25 Q. Okay, and -

Page 359

1 MR. DYER:
 2 A. But still, even these types of concepts are--
 3 you know, of course, all that kind of material
 4 is valuable.
 5 MS. NEWBURY:
 6 Q. Right. So even if someone ought to have known
 7 this from, you know, their course when they
 8 became a medical laboratory technologist,
 9 there still could be some value in taking
 10 refresher courses on it?
 11 MR. DYER:
 12 A. For sure, yes.
 13 MS. NEWBURY:
 14 Q. Especially when things do evolve over time?
 15 MR. DYER:
 16 A. Yes, and we go through--medical laboratory
 17 technology changes every day.
 18 MS. NEWBURY:
 19 Q. Right, I'm certainly getting the impression
 20 that there's rapid change in the -
 21 MR. DYER:
 22 A. It is. It's amazing.
 23 MS. NEWBURY:
 24 Q. Yes, okay, thank you. And I just want to
 25 refer you to one more exhibit, that is Exhibit

Page 360

1 P-2356, and I just want to show you this to
 2 refresh your memory. You were shown this the
 3 other day.
 4 MR. DYER:
 5 A. Yes.
 6 MS. NEWBURY:
 7 Q. This is the lab log book, and on page five,
 8 there's an entry there by Dr. Morris-Larkin
 9 that you'd mentioned and that related to all
 10 smalls, and you'd noted that--or she had noted
 11 that there was "variable fixation, nuclei very
 12 poorly preserved."
 13 MR. DYER:
 14 A. Yes.
 15 MS. NEWBURY:
 16 Q. When you were discussing the other day, you
 17 had referred to this, I believe, to be an
 18 event?
 19 MR. DYER:
 20 A. Yes.
 21 MS. NEWBURY:
 22 Q. Can you explain what you meant by that?
 23 MR. DYER:
 24 A. No, I think it's just--it's something that
 25 stood out. It was because multiple patients

Page 361

1 were--multiple specimens were impacted.
 2 MS. NEWBURY:
 3 Q. Right, you said that.
 4 MR. DYER:
 5 A. At one time.
 6 MS. NEWBURY:
 7 Q. Yes, and I think you gave the number of 20,
 8 there might have been 20 biopsies.
 9 MR. DYER:
 10 A. I'm not sure what the exact number was, but -
 11 MS. NEWBURY:
 12 Q. I think you threw that out as a figure, but -
 13 MR. DYER:
 14 A. - but it had to be a number like that.
 15 MS. NEWBURY:
 16 Q. And what do you mean by an event? What is an
 17 event? Is that a formal term?
 18 MR. DYER:
 19 A. No, it's just that's just what I called it.
 20 It's something that stood out to me.
 21 MS. NEWBURY:
 22 Q. Okay, and what is it--why would the number of
 23 specimens involved make it an event?
 24 MR. DYER:
 25 A. No, again, that's just my term. I could have

Page 362

1 said that was an issue, that was a situation.
 2 I could have called it anything. I just
 3 happened to say event that day.
 4 MS. NEWBURY:
 5 Q. Okay, and are you aware whether this would be
 6 an event captured by any policies that were in
 7 place at the time?
 8 MR. DYER:
 9 A. Again, I don't understand.
 10 MS. NEWBURY:
 11 Q. Any occurrence reporting requirements or any
 12 sort of formal reporting requirements?
 13 MR. DYER:
 14 A. I'm--you'll have to rephrase. I don't
 15 understand.
 16 MS. NEWBURY:
 17 Q. Okay. I'm just wondering if--you call this an
 18 event, something that stood out in your mind.
 19 MR. DYER:
 20 A. Yes.
 21 MS. NEWBURY:
 22 Q. Particularly because it involved a number of
 23 different specimens.
 24 MR. DYER:
 25 A. Yes.

Page 363

1 MS. NEWBURY:
 2 Q. Given that it was significant in your mind to
 3 the point that you call it an event, are there
 4 any policies that were in place at the time
 5 that would capture how you respond to this
 6 event?
 7 MR. DYER:
 8 A. No.
 9 MS. NEWBURY:
 10 Q. So you don't think -
 11 MR. DYER:
 12 A. There was no policy to tell me what to do, if
 13 that's what you mean, or the steps to take to
 14 correct this event, do you mean something like
 15 that?
 16 MS. NEWBURY:
 17 Q. Anything, even, not necessarily something
 18 specific to the pathology department or to the
 19 Medical Laboratory Program, but policies
 20 regarding occurrences or adverse events.
 21 MR. DYER:
 22 A. No, if this came to me, I would have just
 23 dealt with it, for example, when we realized
 24 what happened, I would have called PD, who was
 25 actually filling up (phonetic) and let me know

Page 364

1 what happened and we would have also let the--
 2 all smalls, I imagine was surgical daycare, so
 3 I would have phoned them and let them know
 4 what happened. And I would have let the
 5 physicians know what happened and I think,
 6 this wasn't written that day, I would imagine,
 7 I think what happened was this was Dr. Lynn
 8 Morris-Larkin's way of recording that this
 9 actually happened.
 10 MS. NEWBURY:
 11 Q. Okay, so there was no formal process in place.
 12 MR. DYER:
 13 A. No.
 14 MS. NEWBURY:
 15 Q. But you responded by communicating with a
 16 variety of individuals -
 17 MR. DYER:
 18 A. Everyone who I felt was probably involved at
 19 the time.
 20 MS. NEWBURY:
 21 Q. Okay, and what was your purpose of contacting
 22 those individuals?
 23 MR. DYER:
 24 A. Just to let them know that something, that,
 25 you know, we received specimens and someone

Page 365

1 who was filling them up, had to be one of
 2 their staff, must have selected--so just so we
 3 could let them know.
 4 MS. NEWBURY:
 5 Q. And the point of that is presumably to avoid
 6 it from happening again?
 7 MR. DYER:
 8 A. Right, yes, that was the purpose.
 9 MS. NEWBURY:
 10 Q. Did you also consider whether or not you
 11 should check to see whether there was a
 12 negative impact upon anyone as a result of
 13 this problem?
 14 MR. DYER:
 15 A. I think the physicians, I think that might
 16 have been Dr. Lynn Morris-Larkin, you can
 17 speak to her about that, because that's a
 18 clinical thing.
 19 MS. NEWBURY:
 20 Q. Right, but is there a procedure in place, now
 21 that you've been alerted to this problem, is
 22 there a procedure in place to make absolutely
 23 sure that someone is taking care of this?
 24 MR. DYER:
 25 A. Yes, well we have the occurrences and the

Page 366

1 occurrences if it's something that's
 2 considered very important, immediate, it would
 3 be brought to the attention of either myself
 4 or the site chief and other than that, all
 5 occurrences are monitored through our total
 6 quality management group.
 7 MS. NEWBURY:
 8 Q. Okay, and at the time that was happening as
 9 well?
 10 MR. DYER:
 11 A. At the time -
 12 MS. NEWBURY:
 13 Q. This is 2004, just to -
 14 MR. DYER:
 15 A. No, that's what's happening today.
 16 MS. NEWBURY:
 17 Q. That's what's happening today, but in 2004 -
 18 MR. DYER:
 19 A. Yes, we didn't have a quality group doing that
 20 at the time.
 21 MS. NEWBURY:
 22 Q. And I just wanted to, perhaps I'll bring up
 23 Exhibit P-0056 please? These are policies
 24 that were in place between, I believe 1997 and
 25 2004 for the Health Care Corporation of St.

Page 367

1 John's.
 2 MR. DYER:
 3 A. Administrative, yes.
 4 MS. NEWBURY:
 5 Q. And if I show you, there's a number there,
 6 this is page 8 of the exhibit, a policy on
 7 critical occurrence incident review, if you go
 8 a little further on page 12, this is a policy
 9 on occurrence reporting. Now when you say
 10 occurrence that you just mentioned earlier,
 11 are you referring to this type of a policy?
 12 MR. DYER:
 13 A. I think so.
 14 MS. NEWBURY:
 15 Q. Okay, and now you have a new policy in place
 16 to deal with reporting occurrences.
 17 MR. DYER:
 18 A. Well we have how we actually do it in our own
 19 lab, yes.
 20 MS. NEWBURY:
 21 Q. Okay, so it's something specific to the
 22 pathology lab.
 23 MR. DYER:
 24 A. Yes.
 25 MS. NEWBURY:

Page 368

1 Q. It's not an Eastern Health broad policy?
 2 MR. DYER:
 3 A. No, it's something how we would actually--if
 4 something happened, how we would actually go
 5 about to deal with it, yes.
 6 MS. NEWBURY:
 7 Q. Okay. And at the time did you--were you
 8 familiar with these policies?
 9 MR. DYER:
 10 A. I probably was familiar with them.
 11 MS. NEWBURY:
 12 Q. Okay.
 13 MR. DYER:
 14 A. I would have read them.
 15 MS. NEWBURY:
 16 Q. I'm going to show you, there's one more policy
 17 there, just for completeness, I'll show you
 18 page 18, it's a guideline on disclosure of
 19 adverse events, and I'm not suggesting that
 20 that one is or any of the necessarily are
 21 applicable here, but would you have given any
 22 thought to something that you describe to be
 23 an event, involving 20 specimens should
 24 possibly be considered to be the subject of
 25 one of these reports?

Page 369

1 MR. DYER:
 2 A. Could be, I didn't fill anything out at that
 3 time, again, what we did was how we dealt with
 4 it on technical and then for the clinical went
 5 to Dr. Lynn Morris-Larkin.
 6 MS. NEWBURY:
 7 Q. Have you ever filled out any occurrence
 8 reports due to any technical problems prior to
 9 the new policies coming in place, have you
 10 ever -
 11 MR. DYER:
 12 A. Occurrence?
 13 MS. NEWBURY:
 14 Q. Any sort of a report that would be along the
 15 lines of this, these are the ones I'm familiar
 16 with.
 17 MR. DYER:
 18 A. I think pretty well all of the reports we
 19 would fill out were mainly around data entry,
 20 how specimens came in, that's pretty well all
 21 of what we fill out all the time.
 22 MS. NEWBURY:
 23 Q. So labelling problems or wrong MCP numbers.
 24 MR. DYER:
 25 A. Yes, exactly.

Page 370

1 MS. NEWBURY:
 2 Q. Or improper name or switched labels or
 3 something of that sort.
 4 MR. DYER:
 5 A. Right, yes, for all that stuff we always
 6 filled out occurrences.
 7 MS. NEWBURY:
 8 Q. And the occurrences that you filled out at the
 9 time, was it through this particular policy -
 10 MR. DYER:
 11 A. I don't know if it was through this particular
 12 policy, I know that when we had an occurrence
 13 like that, whenever we had an issue with a
 14 specimen of that nature, we always filled out
 15 an occurrence report.
 16 MS. NEWBURY:
 17 Q. So this was from, before 2005 you had an
 18 occurrence form that you filled out for these-
 19 -was it a special form for that purpose?
 20 MR. DYER:
 21 A. No, I think it was a general occurrence form
 22 that they were using in Eastern Health.
 23 MS. NEWBURY:
 24 Q. Okay, and you never ever filled one out when
 25 you encountered problems on a more technical

Page 371

1 nature, as opposed to the -
 2 MR. DYER:
 3 A. No, not technical nature in house, no.
 4 MS. NEWBURY:
 5 Q. But today you would?
 6 MR. DYER:
 7 A. Well now that we have the occurrence, yes.
 8 MS. NEWBURY:
 9 Q. And is there something different about the
 10 policy now as compared to what was in place at
 11 the time?
 12 MR. DYER:
 13 A. No, I think we have, the one we fill out now
 14 is not occurrence of this nature, we have our
 15 own occurrence form in house for every little
 16 thing that happens, every single thing is
 17 documented.
 18 MS. NEWBURY:
 19 Q. Thank you, Mr. Dyer, those are all the
 20 questions I have for you.
 21 MR. DYER:
 22 A. Thank you, Ms. Newbury.
 23 THE COMMISSIONER:
 24 Q. Thank you, Ms. Newbury. Ms. Taylor?
 25 MS. TAYLOR:

Page 372

1 Q. No questions, Commissioner.
 2 THE COMMISSIONER:
 3 Q. Mr. Pike?
 4 MR. PIKE:
 5 Q. No questions, thank you.
 6 THE COMMISSIONER:
 7 Q. Mr. Simmons?
 8 MR. BARRY DYER, EXAMINATION BY MR. DAN SIMMONS
 9 MR. SIMMONS:
 10 Q. Mr. Dyer, I do have a few questions for you.
 11 I'm going to start with Ms. Wegrynowski's
 12 second report, after her return visit to the
 13 Eastern Health lab in 2006 and it's at P-0048
 14 please? You've told us that you didn't see
 15 the full text of this report, I believe, until
 16 probably February of this year, but you had
 17 been read portions of it by Mr. Gulliver after
 18 the report was received, some time in the
 19 Spring of 2006, is that right?
 20 MR. DYER:
 21 A. Yes.
 22 MR. SIMMONS:
 23 Q. And you've also told us as well that you had
 24 seen spreadsheets that were prepared and you
 25 were shown one earlier today, I believe.

Page 373

1 MR. DYER:
 2 A. Yes.
 3 MR. SIMMONS:
 4 Q. Which captured summaries of what some of the
 5 recommendations were from this report.
 6 MR. DYER:
 7 A. Correct.
 8 MR. SIMMONS:
 9 Q. And you told us as well that you were
 10 involved, I believe, in the implementation of
 11 some of those recommendations?
 12 MR. DYER:
 13 A. Yes.
 14 MR. SIMMONS:
 15 Q. Were there some that weren't assigned to you
 16 for implementation?
 17 MR. DYER:
 18 A. Yes.
 19 MR. SIMMONS:
 20 Q. Okay, I'm going to take a look at some of the
 21 recommendations in this report and ask you a
 22 number of questions and if I do ask you about
 23 some where someone else is the better person
 24 to answer those questions or comment on it,
 25 please let me know. The first section with

Page 374

1 the recommendations is a section that's headed
 2 "Fixation Grossing" and it appears on the 6th
 3 page of the exhibit, the recommendations start
 4 on the bottom of that page. There are two--
 5 these recommendations, one and two, deal with
 6 standard operating procedures for excisioning,
 7 grossing, fixation procedures and
 8 documentation with regards to pathologist
 9 assistants. And I understand from what you've
 10 told us already that there are now four
 11 pathology assistants working within anatomical
 12 pathology in Eastern Health, correct?
 13 MR. DYER:
 14 A. Correct.
 15 MR. SIMMONS:
 16 Q. And what proportion -
 17 MR. DYER:
 18 A. And also a senior tech.
 19 MR. SIMMONS:
 20 Q. And a senior technologist.
 21 MR. DYER:
 22 A. Yes, so really there's four PAs and another
 23 additional person for grossing.
 24 MR. SIMMONS:
 25 Q. And what portion of the grossing of specimens

Page 375

1 is done by the pathology assistants now,
 2 compared to what's left for the pathologists,
 3 would you know that?
 4 MR. DYER:
 5 A. I'd say it must be around 95 percent for sure.
 6 MR. SIMMONS:
 7 Q. Okay, so the grossing function is not
 8 substantially transferred over to the
 9 pathology assistants and the one senior
 10 technologist?
 11 MR. DYER:
 12 A. Yes.
 13 MR. SIMMONS:
 14 Q. Can you tell what the current situation is
 15 regarding the development of operating
 16 procedures, policies, protocols for the work
 17 of the pathologist? What point has it reached
 18 at the present time?
 19 MR. DYER:
 20 A. The team leader and I believe Dr. Lynn Morris-
 21 Larkin are working together on getting as many
 22 as they can written, there's quite a few
 23 grossing protocols written right now, or
 24 grossing SOPs as we would call it, and we have
 25 a few in draft also.

Page 376

1 MR. SIMMONS:
 2 Q. Okay, so once that process reaches its
 3 conclusion, well I don't know if it will ever
 4 be concluded, but once it reaches a point
 5 where all the functions have been addressed
 6 with signed off protocols, will that address
 7 these two recommendations that are -
 8 MR. DYER:
 9 A. Again, once they're signed off, they will be
 10 checked yearly and there's always changes or
 11 as advancements occur, there's always going to
 12 be changes, even in those protocols.
 13 MR. SIMMONS:
 14 Q. Right.
 15 MR. DYER:
 16 A. But I think, you know, for the most part, yes,
 17 then we'll be into the more monitoring
 18 process.
 19 MR. SIMMONS:
 20 Q. Okay, can you give me a description of what
 21 the process is leading to the development and
 22 final signing off on a standard operating
 23 procedure as it's done within anatomical
 24 pathology now at Eastern Health?
 25 MR. DYER:

Page 377

1 A. Well what would happen is we will take, our
 2 protocols that we are already using, we will
 3 now take those and submit them to the total
 4 quality management group. They will do
 5 research to determine if it's best practice.
 6 After that research is done, if there's any
 7 changes that they feel need to be made, those
 8 changes are noted and then they're sent out to
 9 all the staff who will be involved. For
 10 example, for grossing protocol, they would be
 11 sent out to physicians, they would give so
 12 many weeks for them to actually make any
 13 changes or any comments. Once that is done,
 14 then it's brought back to the committee and
 15 the committee will discuss those changes and
 16 people on the committee who would have
 17 knowledge, like a physician on the committee
 18 would then make comments again to see if
 19 there's an agreement. If there's no
 20 agreement, then we have to discuss with those
 21 people or those people who made the comments
 22 that we didn't agree with, as to why. Once
 23 that is done, eventually we will come to some
 24 kind of an agreement, then it will be put into
 25 a formal document. Once it's put into a

Page 378

1 formal document, then it has to be sent out to
 2 the clinical chief and the director and the
 3 program director for signage. Once that is
 4 done, then it has to be sent to control
 5 documents, so it would be given an actual
 6 document number. When that's done, then it's
 7 brought back, put into binders and made
 8 available for the staff, whoever uses that
 9 procedure, to read.
 10 MR. SIMMONS:
 11 Q. While this process is ongoing, leading to the
 12 final stand off of a standard operating
 13 procedure, where do the people doing the work
 14 look to for their guidance about how to carry
 15 out their activities while waiting for this
 16 final completion of this long process?
 17 MR. DYER:
 18 A. Usually if it's for grossing, they will look
 19 to the pathologists, if it's grossing.
 20 MR. SIMMONS:
 21 Q. And the pathology assistants, for those areas
 22 where there are not yet standard operating
 23 procedures finally signed off, to what extent
 24 do the pathologists or a pathologist remain
 25 involved in supervising the work of the

Page 379

1 pathology assistants?
 2 MR. DYER:
 3 A. A pathologist is assigned each day who has
 4 direct supervision, so if there's any issue,
 5 there's a person there who they would go to.
 6 I believe they have rounds every morning to
 7 discuss cases, also before the grossing
 8 actually starts.
 9 MR. SIMMONS:
 10 Q. Okay, now is it any part of your job
 11 responsibilities to actually supervise the
 12 work or oversee any work of the pathology
 13 assistants?
 14 MR. DYER:
 15 A. That's mainly a clinical function, I would
 16 only be there for administrative purposes.
 17 MR. SIMMONS:
 18 Q. Right, okay, and who would be the best person
 19 if we needed to talk to someone to understand
 20 just how the work of the pathology assistants
 21 is being supervised today?
 22 MR. DYER:
 23 A. Dr. Lynn Morris-Larkin would be a good person.
 24 MR. SIMMONS:
 25 Q. Okay. Recommendation No. 3 is for a

Page 380

1 refrigerator in the operating room, quick
 2 section room at all sites. Has that been done
 3 now?
 4 MR. DYER:
 5 A. That is done.
 6 MR. SIMMONS:
 7 Q. Yes.
 8 MR. DYER:
 9 A. Again, I have to speak on that one.
 10 Constantly when you're investigating or when
 11 we're doing a research to determine best
 12 practice, there's so much information out
 13 there that it's, you know, it's conflicting.
 14 Currently we do have refrigerators in the ORs;
 15 however, you know, I know CAP, they've printed
 16 guidelines recently back in March with issues
 17 about putting tissues in the fridge.
 18 MR. SIMMONS:
 19 Q. CAP, that's Canadian Association -
 20 MR. DYER:
 21 A. No, the College of American Pathologists.
 22 MR. SIMMONS:
 23 Q. College of American Pathologists.
 24 MR. DYER:
 25 A. And I was just away to a seminar or to a

Page 381

1 congress back last month and I actually went
 2 to the lectures by Mr. Bryan Hewlett, who is
 3 considered an expert and I asked a specific
 4 question to him, you know, should we be
 5 putting formalin fixed tissues in the fridge
 6 and he said, no. And again, you know, it's a
 7 real tough one when you're told to do it and
 8 we are doing it, but you know, formalin reacts
 9 best at room temperature, I believe the stats
 10 say 22 to 37, so when you put it in the
 11 fridge, you're actually impeding fixation and
 12 you can actually cause precipitation, you're
 13 causing the formalin to precipitate out. So
 14 it's a real--it's a tough decision what to do,
 15 so currently we are putting them in the fridge
 16 because that's what was recommended by Ms.
 17 Wegrynowski, but I found multiple
 18 documentation as to that shouldn't be done.
 19 MR. SIMMONS:
 20 Q. So there is then--there are then competing
 21 views that you were aware of as to whether
 22 tissues that have been placed in formalin in
 23 the operating room should be put in
 24 refrigeration or kept at room temperature?
 25 MR. DYER:

Page 382

1 A. Yes.
 2 MR. SIMMONS:
 3 Q. Now, when you write a standard operating
 4 procedure or adopt a policy that chooses one
 5 of those options or the other, does that fix
 6 it for all time or is there any process by
 7 which that would come up for review in the
 8 future?
 9 MR. DYER:
 10 A. Every year we go through review--every year we
 11 will go through a review, however, I think for
 12 things like this, as new information is
 13 brought forward, you know, we do have the
 14 ability to go in and change it right away.
 15 MR. SIMMONS:
 16 Q. Right, okay, in order to do something
 17 differently than what had been recommended
 18 here, to consciously make to do a different
 19 choice, what level of decision making would
 20 have to be involved in -
 21 MR. DYER:
 22 A. Again, it would be brought to the total
 23 quality management group where we have a
 24 pathologist and we have the site chief--or not
 25 the site chief, the clinical chief and for

Page 383

1 something of that nature, that would have to
 2 be their decision because it impacts on the
 3 clinical, on the final result of how the slide
 4 will look.
 5 MR. SIMMONS:
 6 Q. Okay. Recommendation four suggests a time
 7 stamp for receipt of specimens from the
 8 courier and I take it from what you said
 9 earlier, that that's been implemented.
 10 MR. DYER:
 11 A. Yes.
 12 MR. SIMMONS:
 13 Q. The next section here deals with tissue
 14 processing and there are three recommendations
 15 here on the 8th page of the exhibit, all
 16 dealing with standard operating procedures for
 17 different aspects of tissue processing. Do
 18 you know if those have been now completed and
 19 signed off?
 20 MR. DYER:
 21 A. Yes, they have.
 22 MR. SIMMONS:
 23 Q. And the next section deals with IHC staffing.
 24 There are two recommendations there,
 25 recommendation No. 8 is lines of communication

Page 384

1 need to be enhanced to ensure uninterrupted
 2 workflow to accommodate the changes in
 3 protocols. Once a protocol has been adopted
 4 in the IHC laboratory now, is there a written
 5 process that would have to be followed in
 6 order to implement a change to a protocol? Is
 7 that part of your operating procedures?
 8 MR. DYER:
 9 A. To actually -
 10 MR. SIMMONS:
 11 Q. To change a protocol once it's been adopted?
 12 MR. DYER:
 13 A. I'm not sure actually to change a protocol
 14 itself, again, we have the new validation
 15 protocol set up.
 16 MR. SIMMONS:
 17 Q. Yes.
 18 MR. DYER:
 19 A. And what normally happens is if there's an
 20 issue with a slide or with a stain, it's
 21 brought to Dr. Ford Elms and then he would
 22 initiate what changes he would like, so I'm
 23 not sure if we actually have a written
 24 protocol as to that, but I know we have a
 25 protocol in place where everything should be

Page 385

1 brought to him and then he would initiate or
 2 direct the staff as to what to do.
 3 MR. SIMMONS:
 4 Q. Okay, so the recommendation dealing with
 5 uninterrupted workflow here, currently if
 6 there's an issue raised in respect to any
 7 particular IHC stain, that would have to go to
 8 the director of immunohistochemistry, Dr.
 9 Elms.
 10 MR. DYER:
 11 A. Yes, or his designate.
 12 MR. SIMMONS:
 13 Q. Or his designate.
 14 MR. DYER:
 15 A. And his designate would then bring it to him.
 16 MR. SIMMONS:
 17 Q. And if they were to initiate then any change
 18 in a protocol as a result, would they then
 19 have to follow the written operating
 20 procedures for revalidation of that antibody?
 21 MR. DYER:
 22 A. Yes, that's what would have to happen.
 23 MR. SIMMONS:
 24 Q. And recommendation No. 9 deals with succession
 25 planning at the technical level and I believe

Page 386

1 we heard that you have had two technologists
 2 retire and there are two new technologists
 3 training to replace them.
 4 MR. DYER:
 5 A. Yes.
 6 MR. SIMMONS:
 7 Q. And for the immediate term, does that address
 8 your succession planning issues for
 9 technologists in IHC?
 10 MR. DYER:
 11 A. Yes, it is, they'll be here for awhile, I
 12 think.
 13 MR. SIMMONS:
 14 Q. Now the next section is IHC documentation and
 15 the first recommendation there, No. 10, deals
 16 with procedure manual outlining all standard
 17 operating procedures to be written in
 18 compliance with the clinical and laboratory
 19 standard institute using GP2 A4 guidelines for
 20 clinical laboratory technical procedure
 21 manuals. Now, your SOP manual in
 22 immunohistochemistry, now in anatomic
 23 pathology, does it follow that particular
 24 standard or is there a different standard now
 25 in use?

Page 387

1 MR. DYER:
 2 A. No, through the mandatory accreditation that
 3 our laboratory is going through, Eastern
 4 Health has adopted their own standard format
 5 that we will use and that's the one that we've
 6 been using.
 7 MR. SIMMONS:
 8 Q. Okay, and is that a framework for policy and
 9 procedure that's been adopted by Eastern
 10 Health for application across the whole
 11 organization?
 12 MR. DYER:
 13 A. Yes.
 14 MR. SIMMONS:
 15 Q. And the laboratory is adhering to that
 16 standardized format within the whole
 17 organization, is it?
 18 MR. DYER:
 19 A. Yes.
 20 MR. SIMMONS:
 21 Q. Do you know approximately when that framework
 22 for policy and procedure was adopted within
 23 Eastern Health?
 24 MR. DYER:
 25 A. I think Lynn Wade might be the best person for

Page 388

1 that.
 2 MR. SIMMONS:
 3 Q. Okay, good. Now if we were to pull up and
 4 look at the relatively recent version of this
 5 procedure manual, with the standard operating
 6 procedures, we'd see that some have been
 7 signed off and some have not. For those that
 8 have not yet been signed off, do you know
 9 whether they are being followed on an interim
 10 basis or if there is some other existing
 11 policy or procedure that we could look to, to
 12 guide the work of the technologist in those
 13 areas?
 14 MR. DYER:
 15 A. Again, our practice is things that we're doing
 16 that we deem are okay, we are--that's what
 17 we're doing in the meantime while we're
 18 waiting for them to be signed off.
 19 MR. SIMMONS:
 20 Q. Okay, good. On the next page, there are a
 21 number of other recommendations dealing with
 22 things like antibody specification sheets,
 23 microscope maintenance, documentation
 24 guaranteeing pipette accuracy and calibration,
 25 digital temperature readings, these are all

Page 389

1 under the documentation heading, have these
 2 recommendations all now been addressed by
 3 documentation and record keeping within the
 4 lab?
 5 MR. DYER:
 6 A. Yes, they have.
 7 MR. SIMMONS:
 8 Q. And on the next page, recommendation 15 deals
 9 with documenting evaluation to ensure
 10 sensitivity and specificity of test results.
 11 Take a look at that. Does this deal generally
 12 with the testing process and the validation
 13 process?
 14 MR. DYER:
 15 A. Yes.
 16 MR. SIMMONS:
 17 Q. And have those -- all the items addressed here
 18 now been addressed with documentation in the
 19 lab?
 20 MR. DYER:
 21 A. Yes.
 22 MR. SIMMONS:
 23 Q. Sixteen is new equipment instrumentation
 24 selection criteria. Has that been addressed
 25 through a --

Page 390

1 MR. DYER:
 2 A. We've written a policy on equipment selection.
 3 MR. SIMMONS:
 4 Q. Right, and that one is not yet signed off?
 5 MR. DYER:
 6 A. No, that one is not signed off. It's a
 7 general policy.
 8 MR. SIMMONS:
 9 Q. Okay, and then 17 is the corrective action log
 10 and you've told us that that's in place?
 11 MR. DYER:
 12 A. That's in place.
 13 MR. SIMMONS:
 14 Q. And told us how that's implemented. Eighteen
 15 is a very specific one relating to non-
 16 specific false positive staining from
 17 endogenous biotin.
 18 MR. DYER:
 19 A. Yes.
 20 MR. SIMMONS:
 21 Q. I don't know -- are you in any position to
 22 comment on that particular --
 23 MR. DYER:
 24 A. That would have been written by Dr. Ford Elms.
 25 MR. SIMMONS:

Page 391

1 Q. Okay. Then there's a heading for
 2 immunofluorescence which is not
 3 immunohistochemical testing.
 4 MR. DYER:
 5 A. No, that's a different -- that's a different
 6 section.
 7 MR. SIMMONS:
 8 Q. And it's coming up slowly -- there's a section
 9 on controls which has two recommendations,
 10 number 22 and 23, addressing negative
 11 controls. Have those now been addressed by
 12 the way that negative controls are run on
 13 every patient for all patient tissue, and a
 14 negative control for each batch?
 15 MR. DYER:
 16 A. Negative controls are run on every patient for
 17 quantitative antibodies like ER/PR, cyclin D1,
 18 yes.
 19 MR. SIMMONS:
 20 Q. Okay.
 21 MR. DYER:
 22 A. And we've also done the sausage block, yes.
 23 MR. SIMMONS:
 24 Q. So both those have been addressed, and number
 25 24 is the technologists to be trained to

Page 392

1 assess the quality of external positive and
 2 negative patient controls tested daily. Now
 3 there's been some discussion about that
 4 already.
 5 MR. DYER:
 6 A. Yes.
 7 MR. SIMMONS:
 8 Q. You've told us that the training of
 9 technologists is under way with Dr. Elms.
 10 MR. DYER:
 11 A. It is.
 12 MR. SIMMONS:
 13 Q. And I believe you've also told us that the
 14 person occupying the new position -- I can
 15 never remember the name, Ms. Gamberg's
 16 position.
 17 MR. DYER:
 18 A. Yes.
 19 MR. SIMMONS:
 20 Q. That your expectation is that she will, in
 21 fact, be the person who will take on this role
 22 of assessing positive controls?
 23 MR. DYER:
 24 A. I think that plan is to teach all of them, but
 25 she will be the lead.

Page 393

1 MR. SIMMONS:
 2 Q. She will be the lead, okay, and is there
 3 currently any decision made as to whether or
 4 not that will relieve the pathologists of the
 5 obligation to finally sign off on those
 6 controls?
 7 MR. DYER:
 8 A. I don't know if an actual decision has been
 9 made -- I mean, a final decision, but that is
 10 the intent.
 11 MR. SIMMONS:
 12 Q. In the meantime, has the system remained in
 13 place where positive controls will go to
 14 pathologists, either the breast group, or some
 15 other designated person for review before
 16 patient tissues are interpreted?
 17 MR. DYER:
 18 A. Yes, and I believe Dr. Morris-Larkin also
 19 wrote a memo. She met with all the
 20 pathologists to ensure that this was being
 21 done.
 22 MR. SIMMONS:
 23 Q. Okay, and recommendation 25 deals with the
 24 Sakura Xpress tissue processor. You've told
 25 us that currently at least there's no plan to

Page 394

1 implement that in the meantime?
 2 MR. DYER:
 3 A. Not in the immediate future, I don't think,
 4 no.
 5 MR. SIMMONS:
 6 Q. The next section is surgical reports. There
 7 are three recommendations there. Are you in
 8 any position to comment for us on those,
 9 whether they've been implemented?
 10 MR. DYER:
 11 A. I think number 26, I may have been involved
 12 with.
 13 MR. SIMMONS:
 14 Q. Yes.
 15 MR. DYER:
 16 A. So that we actually would standardize what we
 17 call the data sections, where information
 18 would go, and 27 -- and I think 28 was done by
 19 the clinicians.
 20 MR. SIMMONS:
 21 Q. Okay, and then under quality assurance, there
 22 are some comments here on the steps that had
 23 been taken prior to Ms. Wegrynowski's second
 24 visit concerning proficiency testing and other
 25 matters, and she has a number of

Page 395

1 recommendations there. Twenty-nine deals with
 2 sharing quality management initiatives with
 3 other authorities. Is this something you
 4 would have had any involvement in?
 5 MR. DYER:
 6 A. No, I don't think so.
 7 MR. SIMMONS:
 8 Q. Thirty, quality management team should be
 9 involved in quality improvement activities
 10 within the organization. Would this be
 11 something undertaken by the total quality
 12 management group that you referred to earlier?
 13 MR. DYER:
 14 A. Yes.
 15 MR. SIMMONS:
 16 Q. Thirty, establishing quality indicators to
 17 monitor the laboratory's contribution to
 18 patient care, where does that one now stand?
 19 MR. DYER:
 20 A. Again I think that that would be part of the
 21 total quality management group.
 22 MR. SIMMONS:
 23 Q. Okay.
 24 MR. DYER:
 25 A. Where indicators were actually being -- were

Page 396

1 developed.
 2 MR. SIMMONS:
 3 Q. And --
 4 MR. DYER:
 5 A. You have two 30s there.
 6 MR. SIMMONS:
 7 Q. There is two 30s there. The first 30 was the
 8 quality management team being involved in
 9 quality improvement activities, and the second
 10 30 then is establishing quality indicators.
 11 Thirty one, laboratory management shall ensure
 12 opportunities identified for improvement are
 13 dealt with. Is there a system now in place
 14 that when the total quality management team
 15 identifies opportunities for improvement, that
 16 there is follow up and action taken on those?
 17 MR. DYER:
 18 A. Yes, we call it "outcomes", yes.
 19 MR. SIMMONS:
 20 Q. And those are monitored, are they?
 21 MR. DYER:
 22 A. Yes.
 23 MR. SIMMONS:
 24 Q. Okay, and 32 again is the corrective action
 25 logs and the system is in place for monitoring

Page 397

1 those and taking action in response, is it?

2 MR. DYER:

3 A. Yes.

4 MR. SIMMONS:

5 Q. And that's all of them. Mr. Dyer, compared to

6 when you became the pathology manager at

7 Health Care Corporation and then Eastern

8 Health in 2005, have there been -- has there

9 been any substantive change in the staffing

10 levels within anatomical pathology?

11 MR. DYER:

12 A. Since 2005 to today?

13 MR. SIMMONS:

14 Q. Well, let's say first from when you became

15 manager or when you joined the Health Care

16 Corporation in 2001, and you physically moved

17 into the pathology lab at Health Science

18 Centre, correct?

19 MR. DYER:

20 A. Yes.

21 MR. SIMMONS:

22 Q. From then up until 2005, was there any real

23 change in the number of people who worked

24 doing the work of anatomical pathology?

25 MR. DYER:

Page 398

1 A. No.

2 MR. SIMMONS:

3 Q. In that time period, was there any growth in

4 demand for the services provided by anatomical

5 pathology?

6 MR. DYER:

7 A. Yes.

8 MR. SIMMONS:

9 Q. Do you know the range of annual growth of

10 procedures that were requested from that lab?

11 MR. DYER:

12 A. I think it was around 7 or 8 percent every

13 year.

14 MR. SIMMONS:

15 Q. Every year?

16 MR. DYER:

17 A. Yes.

18 MR. SIMMONS:

19 Q. And do you know how long that's been the case?

20 MR. DYER:

21 A. That's been the case, I think -- I think last

22 year might have been our first year where we

23 actually had maybe 1 percent.

24 MR. SIMMONS:

25 Q. Okay.

Page 399

1 MR. DYER:

2 A. But all that time there was a major increase

3 in workload.

4 MR. SIMMONS:

5 Q. Right, and from the time you became manager up

6 until 2005 there had been no increase in the

7 number of staff that were available to handle

8 that work?

9 MR. DYER:

10 A. There was no new hires, no.

11 MR. SIMMONS:

12 Q. Before you became manager, I think you've told

13 us as well that you were aware that there had

14 actually been some reductions in staffing in

15 the laboratory generally?

16 MR. DYER:

17 A. Yes.

18 MR. SIMMONS:

19 Q. And at the management level, in particular?

20 MR. DYER:

21 A. Yes.

22 MR. SIMMONS:

23 Q. Since 2005, what's happened with staffing

24 levels in anatomical pathology?

25 MR. DYER:

Page 400

1 A. Anatomical pathology staff technically has

2 increased by about 50 percent.

3 MR. SIMMONS:

4 Q. And what sort of positions have been added?

5 MR. DYER:

6 A. The four PA's have been added. We've gotten

7 the new position for total quality management,

8 a new position for our team leader, I guess,

9 for IHC.

10 MR. SIMMONS:

11 Q. Uh-hm.

12 MR. DYER:

13 A. We've been given eight to ten technical

14 support, like, laboratory technologists and

15 clerical support as in stenos and secretaries.

16 MR. SIMMONS:

17 Q. Uh-hm, and those eight or ten additional

18 positions, are those all filled yet or are

19 some of those relatively newly added?

20 MR. DYER:

21 A. No, some of them are relatively new. I think

22 we're expecting about four or five new staff

23 in September, and I think -- I've just been

24 given permission about two weeks ago to post

25 for another five positions. So that would

Page 401

1 give us about 15 to 16 brand new positions.
 2 MR. SIMMONS:
 3 Q. And what effect will the increase in the
 4 staffing of anatomical pathology have on the
 5 ability of the lab to perform its work and
 6 keep up to date with the things that it needs
 7 to do?
 8 MR. DYER:
 9 A. Well, now training is easier because there's
 10 more staff available to help train. The
 11 workload -- patient care, much -- it will
 12 definitely benefit the turnaround times. Very
 13 important for quality and documentation. If
 14 we didn't have the staff, documentation is
 15 pretty well impossible.
 16 MR. SIMMONS:
 17 Q. Uh-hm.
 18 MR. DYER:
 19 A. It's going to make our lab fantastic. It's
 20 going to be excellent in every sense of the
 21 word. In her report what she commented on, we
 22 will be able to do that even more. It's also
 23 -- like, this year even it's surprising
 24 because we actually now have some dedicated
 25 time where techs are actually reading the

Page 402

1 protocols and signing off saying that they're
 2 reading these things. Our quality safety
 3 manual, which we had designed, things like
 4 this.
 5 MR. SIMMONS:
 6 Q. Uh-hm.
 7 MR. DYER:
 8 A. So it's very different and it's very good.
 9 MR. SIMMONS:
 10 Q. Has the effect been, at least in part, to free
 11 people from the immediate demands of the
 12 everyday work and give them more time to
 13 devote to extra things that they wouldn't have
 14 had an opportunity to do before?
 15 MR. DYER:
 16 A. Yes, big time.
 17 MR. SIMMONS:
 18 Q. There was an accreditation of the Health Care
 19 Corporation by the Canadian Council on Health
 20 Services Accreditation in 2004. Can you tell
 21 me what you recall of the -- what was done in
 22 the lab or in the pathology lab, in
 23 particular, when that accreditation took
 24 place?

Page 403

1 MR. DYER:
 2 A. The most that I can remember was the day when
 3 the lab was going to be--the day when they
 4 were actually going to do their tour through
 5 the labs, I was asked just to be available in
 6 case they needed me for questions, but for the
 7 most part, they just walked through the lab.
 8 MR. SIMMONS:
 9 Q. Okay, and how long did the process of the
 10 review of the lab take, in 2004?
 11 MR. DYER:
 12 A. Well, for example, pathology, you know, maybe
 13 ten minutes. They would just walk through the
 14 lab. It was like a tour more than anything
 15 else.
 16 MR. SIMMONS:
 17 Q. Okay. There was an accreditation again in
 18 2008, this time for Eastern Health.
 19 MR. DYER:
 20 A. Yes.
 21 MR. SIMMONS:
 22 Q. Were you involved in that accreditation
 23 process?
 24 MR. DYER:
 25 A. Yes.

Page 404

1 MR. SIMMONS:
 2 Q. Okay, tell me about that.
 3 MR. DYER:
 4 A. That was a major, a major amount of work that
 5 had to be done. What happened was they
 6 separate--they asked for--we put together
 7 three teams based on information. So this was
 8 the first time where we went--accreditation
 9 where information was asked of us. So what
 10 happened was we put together three groups, one
 11 administrative, one for technical and one for
 12 blood bank. That's how this group was
 13 actually coined. And I think we spent about
 14 45 hours just filling out documents of types
 15 of questions they asked to see what our lab
 16 was doing, very, very specific, right down to
 17 even hand washing, and from there, we filled
 18 all this documentation out, to give them ideas
 19 of what we did, and then it was all sent back
 20 to them. This was done in the spring and then
 21 in fall, they came in and they did a tour of
 22 the lab, but once they did the tour of the
 23 lab, the next thing they did is there was a
 24 room set up and they would go through all
 25 these things and ask very specifically "I want

Page 405

1 your--I want to see--I want an SOP for this.
 2 I want procedures for this. I want
 3 maintenance for this. I want how specimens
 4 are signed out." Like it was very, very
 5 detailed. From the moment that a specimen
 6 entered our lab to the moment that the report
 7 was sent out, they wanted to know every single
 8 thing we were doing and how it was being
 9 documented, how it was being followed.
 10 They even put you through almost like a
 11 test. For example, I don't think we got
 12 selected, but they would do a test at each
 13 laboratory and what they would do, for
 14 example, is a blood would be drawn in emerg
 15 and they would track that blood right until
 16 the report got to the patient, just so even
 17 the processes of how a blood was collected and
 18 how it got to the lab or how specimens--like
 19 it was extremely detailed.
 20 MR. SIMMONS:
 21 Q. Okay. Mr. Dyer, I don't have any other
 22 questions for you. Is there anything that you
 23 would like to say to the Commission before you
 24 finish your evidence?
 25 MR. DYER:

Page 406

1 A. I do have a statement, if I can make it?
 2 MR. SIMMONS:
 3 Q. Okay.
 4 MR. DYER:
 5 A. When I started as a medical laboratory
 6 technologist at the Janeway Child Health
 7 Centre in 1986, I quickly experienced and
 8 learned the pain and suffering of children.
 9 It was heart breaking to watch the torment
 10 they lived through and the despair in the eyes
 11 of their families. When I moved to anatomic
 12 pathology, the caring and compassion
 13 demonstrated by Dr. P for all of these
 14 patients was addictive and one in the same
 15 with myself. The main reason I went to work
 16 was for the patient. That was our primary
 17 focus. We worked long hours, many evenings
 18 and nights, putting our personal lives second.
 19 I believe I brought this philosophy to my
 20 management position. When times were tough,
 21 working in an environment with many challenges
 22 and few rewards, I constantly reminded myself
 23 and the staff, "think how must the patient at
 24 the end of this biopsy be feeling right now?"
 25 The profession of medical laboratory

Page 407

1 technology is a critical link between the
 2 patient and their care provider. I believe
 3 that the profession should be licensed in
 4 Newfoundland and Labrador and all laboratories
 5 should go through a mandatory accreditation,
 6 such as the CCHSA or what we'd say
 7 Accreditation Canada. The Government of
 8 Newfoundland and Labrador must recognize the
 9 value of a medical laboratory technologist and
 10 their impact on patient care.
 11 As it goes for the current anatomic
 12 pathology division at Eastern Health, they
 13 have definitely stepped up to the plate.
 14 Since 2006, approval has been given to
 15 increase both technical and clerical staff by
 16 approximately 50 percent. The infusion of new
 17 capital into continuing medical education will
 18 guarantee additional staff training. Four
 19 pathology assistants have been hired and
 20 trained in the surgical gross and autopsy
 21 suites. This promotes a standardization of
 22 practices and provides much needed support to
 23 the pathologists. Having a director to lead
 24 the immuno lab will offer leadership to
 25 streamline communication, as well as a good

Page 408

1 resource person to avail of. The addition of
 2 a PhD can only enhance and complement the
 3 quality of work already being performed.
 4 Eight new technical and clerical positions
 5 will support the current hard working and
 6 dedicated staff in pathology to achieve our
 7 goals and objectives. Time can now be
 8 allotted for them also for continuing
 9 education.
 10 With the development and implementation
 11 of a total quality management department for
 12 pathology, a new position was created, a
 13 technical staff to co-chair. This committee
 14 provides the direction, both clinical and
 15 technical, in writing SOPs, identifying best
 16 practices and maintaining our clinical
 17 indicators. The most important part is the
 18 monitoring of all the practices that are
 19 currently performed in anatomic pathology.
 20 The participation in NEQAS, CAP and ASEP
 21 proficiency testing, coupled with intra and
 22 inter laboratory comparisons, we can be
 23 assured of consistent and accurate results.
 24 We have also been given approval for
 25 another laboratory technologist III, a senior

Page 409

1 position, to assist me with day-to-day
 2 operations. This will give me dedicated time
 3 to research and engage in major projects
 4 required to keep anatomical pathology on the
 5 leading edge.
 6 Laboratory Medicine created and hired a
 7 new quality manager. This position is leading
 8 the program into mandatory accreditation for
 9 our laboratory. The manager is a great
 10 resource person in the development of Eastern
 11 Health's quality assurance program for
 12 laboratory medicine.
 13 The leadership team for the Laboratory
 14 Medicine is one of excellence. The visionary
 15 qualities demonstrated through the action by
 16 our program director has put our program into
 17 the forefront for quality, safety and
 18 technology. With constant support from this
 19 team and our clinical chief, with the above
 20 mentioned, the public can be reassured Eastern
 21 Health's anatomic pathology division of
 22 Laboratory Medicine is one of the best in
 23 Canada.
 24 Finally, I would like to thank the
 25 Commission of Inquiry for giving me the

Page 410

1 opportunity to speak here this week. Thank
 2 you.
 3 THE COMMISSIONER:
 4 Q. Thank you.
 5 MR. SIMMONS:
 6 Q. Thank you, Mr. Dyer.
 7 THE COMMISSIONER:
 8 Q. Thank you, Mr. Simmons. Is there anything
 9 arising, Ms. Chaytor?
 10 CHAYTOR, Q.C.:
 11 Q. Just a couple of things quickly.
 12 THE COMMISSIONER:
 13 Q. Okay.
 14 MR. BARRY DYER, EXAMINATION BY SANDRA CHAYTOR, Q.C.
 15 CHAYTOR, Q.C.:
 16 Q. Mr. Dyer, in the time period when your
 17 workload was increasing but your number of
 18 personnel was stable or there had been some
 19 reductions or it was least stable, was there
 20 anything offset in terms of management? Was
 21 management doing anything to offset that? For
 22 example, was there an increase in automation
 23 in the laboratory in that time period?
 24 MR. DYER:
 25 A. Automation, no. I mean, I think--well, we

Page 411

1 brought in the Benchmark, but in terms of
 2 automation, like our processes were the same,
 3 and our stainers and that were all the same.
 4 In 2004, we brought in the--when the Benchmark
 5 came in, we brought in one special stainer to
 6 do the special stains, to help them move the
 7 special stains, but at the time, we already
 8 had a person--we already had just one person
 9 assigned to special stains, so that person
 10 just continued to do that work.
 11 CHAYTOR, Q.C.:
 12 Q. So, were there any measures to try to
 13 alleviate that disconnect between increasing
 14 workload and no extra bodies to do the work.
 15 MR. DYER:
 16 A. I think, we tried, again, like
 17 standardization, for example, and it made a
 18 little difference because the workload still
 19 increased, but we would do, like, you know
 20 some sites were doing probably three H & Es on
 21 a skin, others were doing ten. So, we'd try
 22 to standardize and just do a number in
 23 between. So, we did do things like that. But
 24 the workload itself, you know, like the
 25 complication--how can I explain? When the

Page 412

1 workload increased, it's not necessarily that
 2 the actual number of patients increased. What
 3 happened was the complexity of the specimens
 4 started becoming more difficult and therefore,
 5 that would increase our number of blocks. And
 6 I believe another big one was with the
 7 prostates where they were--I can't explain
 8 technically why, but at one point, I guess,
 9 through their practices, you know, we would
 10 get--you would have two containers that would
 11 come down on a prostate. And so then there'd
 12 be four prostates in each one, but I think as
 13 they started getting better at cancer
 14 treatment, those two turned into eight. So,
 15 we would have one container here with four and
 16 you would do five slides. Now, four of them
 17 came down, so instead of doing five, we did
 18 20. So, like this, this is what was happening
 19 in terms of workload increases.
 20 CHAYTOR, Q.C.:
 21 Q. Okay. The next positions that have been
 22 created, I understand that you have looked for
 23 PAs prior to and we've had some discussion
 24 around that. Had the laboratory medicine
 25 program ever sought out the other positions

Page 413

1 which have now been created? Had that ever
 2 happened prior to this happening in 2005?
 3 MR. DYER:
 4 A. I think, again, maybe at our management
 5 meetings I would ask. I mean, we would always
 6 talk about our workload and how it's increased
 7 and I'm sure we probably would have discussed,
 8 you know, we need staff.
 9 CHAYTOR, Q.C.:
 10 Q. The idea of a quality manager, was that ever
 11 sought out before or put forward as -
 12 MR. DYER:
 13 A. Again, talk to Mr. Gulliver about that.
 14 CHAYTOR, Q.C.:
 15 Q. Okay. And in terms of the new positions, when
 16 were all these new positions actually, finally
 17 approved?
 18 MR. DYER:
 19 A. Within the last couple of years, like in '05,
 20 late '05 I think we got the approval for the
 21 actual PAS.
 22 CHAYTOR, Q.C.:
 23 Q. And the approval for the quality people, when
 24 did that happen?
 25 MR. DYER:

Page 414

1 A. Well, for our quality person, that happened
 2 in, I think it was referenced, that might have
 3 been in April '06.
 4 CHAYTOR, Q.C.:
 5 Q. And the accreditation that took place in 2007,
 6 did any of that relate to the IHC lab, the IHC
 7 portion of the lab?
 8 MR. DYER:
 9 A. Yes, again, I think, like they were looking
 10 for SOPs and all these types of things. Yes,
 11 they came from all areas.
 12 CHAYTOR, Q.C.:
 13 Q. Okay. And this just from our own
 14 understanding. You referred to and there was
 15 reference to total quality management group.
 16 MR. DYER:
 17 A. That's what we call our group, total quality
 18 management group.
 19 CHAYTOR, Q.C.:
 20 Q. Total management quality group.
 21 MR. DYER:
 22 A. Yes.
 23 CHAYTOR, Q.C.:
 24 Q. And is that the group for the laboratory
 25 medicine program?

Page 415

1 MR. DYER:
 2 A. No, that's just for--we have our own in
 3 pathology.
 4 CHAYTOR, Q.C.:
 5 Q. That's just strictly for pathology.
 6 MR. DYER:
 7 A. That's just pathology alone. We actually have
 8 our own quality management group.
 9 CHAYTOR, Q.C.:
 10 Q. And it's called total -
 11 MR. DYER:
 12 A. Because it's total from beginning to end.
 13 CHAYTOR, Q.C.:
 14 Q. Okay. And so any reference--are there any
 15 other quality management groups because
 16 sometimes we see reference in the
 17 documentation to just quality management group
 18 and -
 19 MR. DYER:
 20 A. You mean in laboratories?
 21 CHAYTOR, Q.C.:
 22 Q. Yes.
 23 MR. DYER:
 24 A. You'd have to ask Mr. Gulliver.
 25 CHAYTOR, Q.C.:

Page 416

1 Q. So, the new group that's been put in place for
 2 pathology is called total quality management -
 3 MR. DYER:
 4 A. I think that's what Dr. Carter called it back
 5 in '06.
 6 CHAYTOR, Q.C.:
 7 Q. Okay. In terms of the development and final
 8 signing off on protocols, you indicated that
 9 they're submitted to the total quality
 10 management group.
 11 MR. DYER:
 12 A. Yes, to start the process.
 13 CHAYTOR, Q.C.:
 14 Q. Right, to determine if their best practices?
 15 MR. DYER:
 16 A. Yes.
 17 CHAYTOR, Q.C.:
 18 Q. And then it's sent out to the physicians, the
 19 -
 20 MR. DYER:
 21 A. Or whoever would be involved.
 22 CHAYTOR, Q.C.:
 23 Q. Right, okay. And then they're given a number
 24 of weeks in which they can provide feed back
 25 to the committee.

Page 417

1 MR. DYER:
 2 A. Yes.
 3 CHAYTOR, Q.C.:
 4 Q. Any comments or feedback come back to the
 5 committee -
 6 MR. DYER:
 7 A. Is discussed at the committee level.
 8 CHAYTOR, Q.C.:
 9 Q. - is discussed at the committee and if there's
 10 not agreement with the comments then it has to
 11 go back to the people who supplied the
 12 comments for further feedback or to try
 13 convince them as to why their comments aren't
 14 accepted. And you said, you discussed that
 15 with the people involved.
 16 MR. DYER:
 17 A. I think they do, yes, for the clinical and the
 18 technical, yes.
 19 CHAYTOR, Q.C.:
 20 Q. And eventually we come to agreement and then
 21 it's sent to the clinical chief and the
 22 director -
 23 MR. DYER:
 24 A. Well, it's--yes, again, then it comes back to
 25 the committee. It's formalized and then it's

Page 418

1 signed off by the--I say clinical, but it's
 2 signed off by, I guess, based on policy, who
 3 would sign off what protocols.
 4 CHAYTOR, Q.C.:
 5 Q. And is there anything in place in terms of
 6 what has to happen to say, well, agreement has
 7 to be reached by a certain time period, that
 8 there has to be a time limit put on it in
 9 terms of reaching? Like, what is no agreement
 10 is reached?
 11 MR. DYER:
 12 A. Oh, I guess then the decision is made by our
 13 clinical chief.
 14 CHAYTOR, Q.C.:
 15 Q. So, ultimately the authority, for saying
 16 enough is enough, enough time is passed, this
 17 is going to be the protocol, that rests with
 18 the clinical chief.
 19 MR. DYER:
 20 A. Yeah, I don't think that's happened yet, but I
 21 think that would, I guess what would happen.
 22 CHAYTOR, Q.C.:
 23 Q. Okay. So, ultimate authority would rest with
 24 the clinical chief to say when to say when.
 25 MR. DYER:

Page 419

1 A. I think for clinical and I think for
 2 technical, I guess it would be with Mr.
 3 Gulliver.
 4 CHAYTOR, Q.C.:
 5 Q. Okay. Thank you, Commissioner, those are my
 6 questions.
 7 THE COMMISSIONER:
 8 Q. Thank you. Mr. Dyer, we've kept you somewhat
 9 longer than we anticipated, but I very much
 10 appreciate your contribution and thank you
 11 very much for that.
 12 MR. DYER:
 13 A. Thank you.
 14 THE COMMISSIONER:
 15 Q. It's now going for ten to five. I suspect
 16 it's a little late to be starting with the
 17 next witness. So, I suggest we adjourn until
 18 the morning. 9:30.
 19 Upon conclusion.

Page 420

1 CERTIFICATE
 2 I, Judy Moss, hereby certify that the foregoing is
 3 a true and correct transcript in the matter of the
 4 Commission of Inquiry on Hormone Receptor Testing,
 5 heard on the 23rd day of July, A.D., 2008 before
 6 the Honourable Justice Margaret A. Cameron,
 7 Commissioner, at the Commission of Inquiry, St.
 8 John's, Newfoundland and Labrador and was
 9 transcribed by me to the best of my ability by
 10 means of a sound apparatus.
 11 Dated at St. John's, Newfoundland and Labrador
 12 this 23rd day of July, A.D., 2008
 13 Judy Moss

Inquiry on Hormone Receptor Testing

<p>-#-</p> <p>#5 [1] 228:17</p> <hr/> <p>-\$-</p> <p>\$1,000 [1] 354:12</p> <hr/> <p>-&-</p> <p>& [2] 218:24 411:20</p> <hr/> <p>-'-</p> <p>'02 [2] 162:11 239:13</p> <p>'03 [4] 47:15 239:14 274:15 308:1</p> <p>'04 [2] 59:2 314:24</p> <p>'05 [21] 13:10 27:22 28:18 29:2,3 52:3 58:21 63:21 71:14 75:20 76:4,8 79:21 79:24 102:19 105:23 112:2,3 341:16 413:19 413:20</p> <p>'06 [13] 53:25 60:15 74:1 102:12 103:14,17,19,23 114:5 151:20,20 414:3 416:5</p> <p>'07 [12] 15:24 54:2 56:3 70:19,21 138:24 143:16 144:9,10 162:13 185:1 185:14</p> <p>'08 [2] 70:23 71:2</p> <p>'87 [1] 15:13</p> <p>'88 [1] 15:13</p> <p>'91 [1] 15:11</p> <p>'96 [2] 25:18 206:24</p> <p>'97 [2] 190:5 283:16</p> <p>'98 [1] 216:21</p> <p>'98/'99 [1] 209:19</p> <hr/> <p>---</p> <p>-I'm [1] 98:11</p> <p>-putting [1] 262:16</p> <p>-things [1] 58:15</p> <p>-was [1] 370:19</p> <hr/> <p>-0-</p> <p>0046 [1] 103:1</p> <p>0101 [1] 106:16</p> <p>0277 [1] 103:12</p> <hr/> <p>-1-</p> <p>1 [5] 13:10 21:1 189:22 190:21 398:23</p> <p>10 [3] 12:19 129:3 386:15</p> <p>10,000 [1] 244:6</p> <p>100 [3] 123:21 189:2 324:11</p> <p>10th [2] 5:19 164:8</p> <p>11 [3] 242:5 304:5,15</p> <p>1100 [1] 45:21</p> <p>11th [3] 82:4,4,10</p>	<p>12 [6] 5:7,8,22 7:6 12:19 367:8</p> <p>1200 [1] 45:21</p> <p>1240 [1] 168:12</p> <p>132 [1] 3:2</p> <p>14th [3] 121:10 123:7 189:3</p> <p>15 [5] 142:7,9 151:8 389:8 401:1</p> <p>15/16 [1] 222:18</p> <p>15189 [1] 347:5</p> <p>15th [1] 185:1</p> <p>16 [5] 244:10 350:21 352:14 355:2 401:1</p> <p>165 [1] 3:3</p> <p>17 [2] 185:7 390:9</p> <p>17,000 [1] 244:10</p> <p>1754 [1] 130:10</p> <p>17th [6] 25:25 48:11 49:10 64:13 97:9 118:15</p> <p>18 [2] 83:21 368:18</p> <p>1810 [1] 118:14</p> <p>1836 [1] 186:20</p> <p>18th [2] 132:19 169:11</p> <p>19 [3] 214:18 351:11,12</p> <p>1980s [1] 328:5</p> <p>1986 [3] 206:16,18 406:7</p> <p>1989 [1] 206:14</p> <p>1995/1996 [1] 207:1</p> <p>1996 [1] 209:14</p> <p>1997 [16] 189:10,14,16 189:18 190:17,19 191:9 191:18,23 226:25 227:4 278:15 279:6 280:6 283:12 366:24</p> <p>1998 [2] 217:1 226:25</p> <p>1998/1999 [1] 208:8</p> <p>19th [1] 22:7</p> <p>1st [1] 26:4</p> <hr/> <p>-2-</p> <p>2 [4] 64:12 103:11 164:10 168:8</p> <p>20 [7] 289:13 291:22 331:3 361:7,8 368:23 412:18</p> <p>2000 [1] 208:14</p> <p>2001 [8] 208:11,13 209:3 209:5,6,13 210:16 397:16</p> <p>2002 [11] 5:16,19 26:23 31:20 211:6 214:9,9 262:11 283:17,21 295:7</p> <p>2002/2003 [1] 234:22</p> <p>2003 [10] 46:10 47:25 221:4 237:24 247:7,16 250:1,7 253:19 254:22</p> <p>2004 [9] 254:8,22 311:16 366:13,17,25 402:20 403:10 411:4</p> <p>2005 [57] 9:9 14:22 18:20 21:17 22:7 25:17 28:4 28:23 48:10,18,19 50:1 50:1,22 62:13 63:17 64:5</p>	<p>64:13 67:12 72:16,20 75:15,24 77:13 83:21 89:20 92:5,24 100:19 101:10,14 103:20 106:9 106:21 107:1 109:9 111:11 132:14,19 228:21 254:23 278:15,20 279:6 280:6 305:19 308:11 312:22 338:9,15 370:17 397:8,12,22 399:6,23 413:2</p> <p>2006 [25] 35:24 44:25 58:1 60:12 61:20 82:4 82:11,12,12 111:17 112:9 115:3 118:15 121:11 123:7,14 128:25 129:9 130:11 131:2 169:23 302:23 372:13,19 407:14</p> <p>2007 [24] 48:16 111:2 134:8 137:14 138:12 144:22 155:6,21 164:8 164:20 167:15 168:10 181:7,20 183:5 184:1,14 186:22 189:4 195:21 203:2 283:12 295:8 414:5</p> <p>2008 [10] 1:4 37:2 70:25 83:15 147:16 175:24 343:18 403:18 420:5,12</p> <p>202 [2] 2:3,4</p> <p>2050 [1] 121:9</p> <p>206 [2] 2:4,5</p> <p>20th [5] 21:16 22:12 25:17 128:24 129:9</p> <p>21 [1] 358:5</p> <p>21st [2] 86:15 132:13</p> <p>22 [2] 381:10 391:10</p> <p>22nd [1] 343:18</p> <p>23 [2] 1:4 391:10</p> <p>2304 [3] 165:10,17,21</p> <p>2316 [1] 234:9</p> <p>2317 [1] 240:2</p> <p>2366 [1] 128:19</p> <p>2379 [1] 180:9</p> <p>2381 [1] 183:24</p> <p>2383 [1] 184:25</p> <p>23rd [5] 168:10,12,25 420:5,12</p> <p>24 [1] 391:25</p> <p>2409 [1] 343:13</p> <p>2429 [1] 132:10</p> <p>24th [2] 52:18 240:8</p> <p>25 [2] 291:22 393:23</p> <p>25th [2] 22:13 53:25</p> <p>26 [2] 56:3 394:11</p> <p>26th [1] 54:2</p> <p>27 [1] 394:18</p> <p>28 [1] 394:18</p> <p>283 [2] 2:5,6</p> <p>299 [2] 2:6,7</p> <p>29th [2] 155:21 157:5</p> <p>2:26 [1] 179:1</p> <p>2nd [1] 35:24</p>	<p>-3-</p> <p>3 [1] 379:25</p> <p>3.13 [1] 189:7</p> <p>3.2 [1] 333:23</p> <p>30 [8] 9:19 10:12 53:21 53:25 151:3 222:16 396:7 396:10</p> <p>300 [1] 354:22</p> <p>30s [2] 396:5,7</p> <p>30th [3] 130:11 131:2 167:8</p> <p>32 [1] 396:24</p> <p>33 [1] 56:1</p> <p>37 [1] 381:10</p> <p>372 [2] 2:7,8</p> <p>3:45 [1] 179:1</p> <p>3rd [1] 195:21</p> <hr/> <p>-4-</p> <p>4 [2] 2:3 140:15</p> <p>40 [3] 102:21 151:3 268:24</p> <p>410 [2] 2:8,9</p> <p>419 [1] 2:9</p> <p>45 [1] 404:14</p> <p>450 [1] 354:22</p> <hr/> <p>-5-</p> <p>5 [2] 64:23,23</p> <p>50 [8] 27:5,17,20,22 28:1 29:8 400:2 407:16</p> <p>50,000 [1] 268:25</p> <p>50-60,000 [1] 268:17</p> <p>500 [1] 196:9</p> <p>52 [3] 39:20 44:4 54:3</p> <hr/> <p>-6-</p> <p>6 [2] 74:15 185:7</p> <p>60 [1] 27:5</p> <p>6th [2] 186:22 374:2</p> <hr/> <p>-7-</p> <p>7 [2] 51:18 398:12</p> <p>70 [1] 27:5</p> <p>700 [1] 196:9</p> <p>7th [2] 100:19 184:1</p> <hr/> <p>-8-</p> <p>8 [3] 367:6 383:25 398:12</p> <p>8.4 [1] 74:16</p> <p>80 [1] 180:15</p> <p>8th [1] 383:15</p> <hr/> <p>-9-</p> <p>9 [3] 51:19 185:7 385:24</p> <p>9,000 [1] 244:2</p> <p>95 [1] 375:5</p>	<p>97 [6] 122:19 123:15 125:11 126:15,19 127:20</p> <p>9:30 [1] 419:18</p> <p>9th [1] 36:11</p> <hr/> <p>-A-</p> <p>A.D [2] 420:5,12</p> <p>a.m [2] 6:9 7:2</p> <p>A4 [1] 386:19</p> <p>Abbott [1] 204:10</p> <p>ability [4] 235:21 382:14 401:5 420:9</p> <p>able [34] 6:3 19:15 50:9 50:13 53:10 83:12 117:19 118:10 131:20 180:3,5 186:9,9 231:6 235:16 254:1,5,25 257:4,8 262:12 265:11 270:7 293:1 313:7 321:15 326:23 332:17 347:2,20 352:8 353:3 355:5 401:22</p> <p>above [3] 108:11 234:19 409:19</p> <p>absent [1] 71:11</p> <p>absolutely [2] 20:6 365:22</p> <p>absorbed [2] 150:10,23</p> <p>academic [1] 341:23</p> <p>academics [3] 338:18 338:19 339:10</p> <p>acceptable [3] 152:17 155:15 335:22</p> <p>accepted [2] 135:5 417:14</p> <p>access [9] 8:19,21 9:3 19:15 123:10 124:3,4 188:10 345:15</p> <p>accessed [1] 19:17</p> <p>accidents [1] 143:4</p> <p>accommodate [1] 384:2</p> <p>according [1] 98:16</p> <p>account [1] 310:22</p> <p>accountability [2] 65:13 66:20</p> <p>accountable [1] 69:18</p> <p>accreditation [13] 41:17 133:14 387:2 402:18,20 402:23 403:17,22 404:8 407:5,7 409:8 414:5</p> <p>accuracy [7] 40:24 41:11 41:13,15,24 42:2 388:24</p> <p>accurate [11] 94:16 108:15 122:20 123:16,21 125:12 126:9,16,17 127:21 408:23</p> <p>accurately [1] 156:25</p> <p>achieve [2] 271:11 408:6</p> <p>achieved [1] 65:22</p> <p>acted [1] 87:13</p> <p>action [20] 1:13 43:24 44:1 84:7 86:25 117:21 157:21 159:12 160:1 167:20 174:3,4 184:18 248:22 336:21 390:9</p>
--	--	--	--	--

<p>396:16,24 397:1 409:15 actions [4] 38:10 43:22 117:16 133:7 activities [4] 159:20 378:15 395:9 396:9 activity [1] 297:18 actual [41] 11:16 15:9 17:22 18:6 37:24 38:14 55:15 66:3 75:5 103:4 104:6 106:6 119:8 125:25 134:18 142:6 152:19 159:18 190:3,4,18 196:14 199:2 209:18 215:7 235:15 236:3 299:4 302:21 307:10 325:14 328:14,25 332:23 337:20 339:4 340:25 378:5 393:8 412:2 413:21 add [7] 18:7,7 82:20,20 82:22 131:20 241:23 added [4] 82:19 400:4,6 400:19 addendum [15] 5:12,20 6:17 7:7,11,25 8:1,3,13 10:12,18 11:5,10,16 12:14 addendums [2] 8:8 11:21 addictive [1] 406:14 addition [1] 408:1 additional [6] 289:16 357:8,11 374:23 400:17 407:18 address [4] 46:6 213:21 376:6 386:7 addressed [10] 212:1,22 214:4 376:5 389:2,17,18 389:24 391:11,24 addressing [2] 211:16 391:10 adequate [1] 142:4 adequately [4] 104:22 105:15 106:1 107:8 adhering [1] 387:15 adjourn [1] 419:17 administrative [7] 113:18 273:12,15,24 367:3 379:16 404:11 administrator [1] 273:25 administrators [2] 287:4 342:20 adopt [1] 382:4 adopted [6] 59:12 384:3 384:11 387:4,9,22 advancements [1] 376:11 advantages [1] 352:19 advent [1] 228:24 adverse [2] 363:20 368:19 advertised [1] 59:19 advice [2] 225:13 297:3 advise [1] 108:13 advocating [1] 32:12</p>	<p>affairs [3] 32:17 45:6 107:2 afternoon [8] 202:21 232:6,9 283:4 299:10,14 333:18 337:25 again [207] 9:14 10:17 10:25 12:19 13:20 17:8 23:17 27:23 28:8 29:15 29:20 32:21 39:13 41:7 41:15 42:3 45:10,10,17 45:20 46:12,15,24 47:1 47:10,22 55:4,12 56:3,6 61:20 62:2 64:15 67:1 67:14,18,21 68:5 69:20 73:23 75:5 76:23 77:2 78:9 79:20 80:6 81:16 90:10,22,23 92:9,11,12 93:14 97:8,19,20 102:23 106:5 109:20 110:7,13 111:20 112:7,11 114:24 115:16 118:6 120:24 123:3 124:3 126:19,20 128:25 129:8 133:19,21 133:23 136:3 137:18,19 138:17 147:10,21 148:3 149:1 153:8 159:21 161:11,12 162:8,15,17 163:25 164:19 168:17 169:13 172:18 173:3,10 173:20 178:1,4 181:2 183:9 184:17 185:21 186:21 189:5 191:16 192:19 193:25 194:22 195:4 204:4,5 218:21,21 220:14 222:15 229:14,19 232:11 236:18,23 240:9 240:16 241:25 242:3 243:8 244:22 246:15 248:10,18,19 254:5,25 261:21 265:5 268:3 269:20 274:14 276:21 277:4 281:17 286:5 287:13 289:20 291:10 292:8,18 293:25 294:22 296:11 297:6 298:22 302:22 303:4 306:15 310:8,13,25 311:1,22,23 312:17,25 313:6 316:18 319:11 324:9 325:4 327:13 330:7 331:17 332:17 333:20 334:15,19 336:16 337:18 340:19 348:12,13 354:10 356:3 356:25 357:17 361:25 362:9 365:6 369:3 376:9 377:18 380:9 381:6 382:22 384:14 388:15 395:20 396:24 403:17 411:16 413:4,13 414:9 417:24 against [9] 43:3 226:16 226:17,21 316:3,5,7 329:11,15 agenda [1] 129:8 ages [1] 328:21 ago [6] 7:23 11:8 237:20 299:5 342:13 400:24 agree [7] 40:6 89:16 95:5 95:7,9 286:13 377:22 agreed [8] 32:9 68:19,21 78:12,14,17 110:17</p>	<p>264:24 agreement [11] 61:5 92:14 152:6 169:18 377:19,20,24 417:10,20 418:6,9 ahead [3] 40:20 110:3 346:21 aim [3] 271:17 272:17 314:11 aimed [2] 14:16,18 al [1] 1:9 alarm [1] 292:15 alert [1] 12:15 alerted [2] 11:2 365:21 alleviate [2] 57:23 411:13 alleviated [1] 229:2 allocate [1] 326:19 allotted [1] 408:8 allow [3] 133:10 271:19 272:19 allowed [1] 298:15 almost [3] 100:19 176:7 405:10 alone [2] 196:16 415:7 along [12] 55:2 77:25 97:25 109:9,14 114:12 121:12 131:9 136:5,12 260:7 369:14 alternative [1] 315:25 alternatives [1] 352:20 always [26] 42:3,4,5 47:2 67:21,23 68:9 149:17 150:14 160:25 161:18 263:14 288:23 291:6 329:18 331:18,18 332:6 342:18 357:11 358:16 370:5,14 376:10,11 413:5 amalgamation [1] 40:15 amazing [1] 359:22 America [2] 339:16,22 American [2] 380:21,23 among [2] 207:3 248:15 amount [2] 252:25 404:4 ample [2] 87:3,3 analysis [3] 290:16 308:17 353:8 analyze [1] 355:13 anatomic [8] 113:6,6 356:19 386:22 406:11 407:11 408:19 409:21 anatomical [9] 374:11 376:23 397:10,24 398:4 399:24 400:1 401:4 409:4 announced [4] 157:8,15 157:24 174:3 annual [2] 84:1 398:9 answer [22] 32:22 83:25 84:1,20 86:9,25 87:17 91:25 92:4 93:19 97:15 98:11 100:3,6 126:5 133:15 153:23 158:7 171:10 219:1 240:24</p>	<p>373:24 answerable [2] 224:7,8 answered [2] 83:23 220:2 answers [7] 84:2,16,22 85:4 86:4 119:19 132:12 antibodies [4] 42:19 47:20 58:22 391:17 antibody [15] 40:25 42:22 43:3,11 72:11 73:7 184:7 303:3 313:24 325:21 327:10,11,12 385:20 388:22 anticipate [1] 229:6 anticipated [2] 202:4 419:9 anticipation [1] 83:23 antigen [14] 72:10 73:6 73:16,19,22,24 74:12,14 74:23 75:2,6 184:4 313:17 325:22 anyhow [2] 103:18 131:11 anyone's [1] 358:5 anyway [1] 180:25 apart [2] 5:8,9 apologies [1] 209:5 apparatus [1] 420:10 appear [8] 13:20 65:15 103:14 202:22 318:12 337:15 345:19 350:23 Appearances [1] 1:5 appeared [1] 75:7 appearing [1] 299:11 applicable [2] 116:10 368:21 application [3] 196:16 351:16 387:10 applications [1] 176:3 applied [1] 238:21 apply [6] 112:9,10 282:15 347:3,5 348:6 appraisal [1] 249:18 appreciate [1] 419:10 appreciated [2] 65:17 184:4 apprehension [7] 207:3 207:14,18,20,22 222:7 222:13 appropriate [3] 14:23 42:24 318:11 appropriately [1] 264:3 approval [8] 115:20,21 129:4 248:11 407:14 408:24 413:20,23 approved [8] 68:7 82:8 110:17 111:6 129:23 154:24 339:8 413:17 April [21] 53:25 54:1,2 56:3 58:1 60:12,15 82:12 103:23 128:24 129:9 164:7,20 167:8,15 169:22 250:2,6 253:12,19 414:3 arbitrations [1] 215:4</p>	<p>area [5] 133:12 287:14 296:2,3 345:18 areas [6] 61:6 249:7 333:25 378:21 388:13 414:11 arise [1] 53:8 arising [3] 82:13 283:8 410:9 arms [2] 66:16 68:2 arose [1] 304:15 arrange [1] 164:16 arrangements [1] 22:17 arrived [3] 24:23 145:4 149:7 arrives [2] 149:14,14 arriving [1] 22:19 ASAP [1] 84:2 ASCP [1] 92:12 ASEP [1] 408:20 aspects [1] 383:17 assess [5] 264:1 271:13 271:14 352:21 392:1 assessed [1] 272:3 assessing [3] 264:8 301:10 392:22 assessment [2] 271:22 276:14 assessor [1] 55:15 assessors [1] 271:15 assigned [9] 14:21 109:11,13 147:4 337:18 337:21 373:15 379:3 411:9 assist [2] 52:15 409:1 assistance [2] 18:21 321:17 assistant [1] 122:13 assistants [11] 148:10 284:4 374:9,11 375:1,9 378:21 379:1,13,20 407:19 associated [1] 248:3 Association [3] 1:14 99:6 380:19 assume [7] 155:9 273:25 291:24 292:13 311:25 312:2,17 assuming [1] 241:11 assurance [24] 95:14,25 96:23 97:5 248:2,15 249:2,7,19 264:4,8 267:10,14 269:18,25 308:16 314:19,22 331:13 331:17,23 353:25 394:21 409:11 assurances [1] 94:25 assure [2] 85:13 108:20 assured [1] 408:23 asterisks [2] 54:9,10 atmosphere [3] 31:10 158:3 174:21 attached [3] 167:12 185:3 196:18 attempted [2] 77:2</p>
---	--	--	---	---

<p>216:24 attend [6] 35:13 62:7 341:11 342:24 343:3 354:18 attendance [5] 13:17 61:14 82:13 121:12 129:1 attended [6] 30:3 134:21 156:3 328:4,9 334:6 attending [1] 131:2 attention [24] 5:24 9:11 9:25 11:4 12:16,24 46:22 46:25 47:11,21 48:8,10 48:19 49:7 50:2,7 75:15 190:1 229:16 251:14 307:16 313:3 346:10 366:3 attributed [4] 125:13 131:9,11 234:17 August [13] 13:9 14:22 18:20 22:7 26:4 50:1 75:18 77:2 79:21 119:8 184:1,14 195:21 authorities [3] 1:17 283:7 395:3 authority [3] 1:11 418:15,23 auto [1] 184:11 automated [4] 77:19 184:10,12 228:25 automatic [2] 289:14 291:7 automatically [4] 6:5,8 6:23 289:11 automation [3] 410:22 410:25 411:2 autopsy [1] 407:20 avail [1] 408:1 available [11] 40:14 160:23 338:7,9 346:7 347:17 352:12 378:8 399:7 401:10 403:5 avoid [7] 75:13 76:12 310:20 311:12,17 314:12 365:5 await [1] 22:15 aware [40] 5:11 46:10 47:25 48:14 71:11 73:9 73:11 98:15 99:9 101:9 103:20 135:14,19 142:22 143:1,2 150:1 154:2,8 155:14 179:4 211:10 223:11 226:4,9 227:12 228:10 229:23 230:2 247:25 249:17 270:2 284:17 307:16 308:14 347:24 348:1 362:5 381:21 399:13 away [17] 15:12,13 97:10 188:9 225:21 249:24 261:17 262:17 263:3 265:8 298:1 339:9 340:15 340:21 341:5 380:25 382:14 awhile [1] 386:11</p> <hr/> <p style="text-align: center;">-B-</p>	<p>b [4] 82:19,20,23 164:18 background [4] 179:12 214:25 215:1 302:16 backs [1] 210:18 bad [1] 293:13 bag [6] 139:25 141:15 145:5 150:13,14,22 bagged [1] 139:25 bailiwick [1] 297:12 Banerjee [18] 39:24 61:13 62:12,22 64:11,25 66:1,21 74:22 77:9 80:1 101:4 102:7,11 103:16 107:9 305:23 306:22 Banerjee's [6] 39:22 70:15 76:1 90:2 104:11 310:11 bank [1] 404:12 bar [2] 56:12,17 barriers [1] 353:6 Barry [20] 2:2 4:3 22:8 79:18 83:21 100:23 122:17 129:6 164:17 167:10 168:14 180:13 185:4 186:23 202:19 206:4 283:2 299:8 372:8 410:14 Barry's [1] 187:2 base [1] 22:9 based [18] 6:24 28:7 75:22 78:15 80:6 87:21 90:13 134:25 195:14 234:24 236:7 298:16 301:4 302:25 327:13 356:13 404:7 418:2 basic [7] 40:5 41:4,7 44:9 44:11 345:4 352:16 basis [6] 57:13 163:3 220:16 286:1 327:18 388:10 batch [1] 391:14 bear [1] 246:20 became [20] 48:14 52:10 113:2,4 206:22 209:14 209:15 211:5,6 216:2 219:13,16 227:1 291:6 327:6 359:8 397:6,14 399:5,12 become [9] 73:9,11 150:1 173:15 211:10 214:9,10,16 243:8 becoming [2] 233:3 412:4 beforehand [1] 277:2 beginning [2] 86:14 415:12 behalf [4] 202:22,23 233:14 283:5 behind [2] 57:7 225:16 below [2] 22:10 196:3 benches [2] 56:24 57:2 benchmark [4] 59:4 66:4 411:1,4 benchmarks [2] 236:16 236:18</p>	<p>beneficial [2] 53:9 353:12 benefit [5] 217:19 347:11 357:8,12 401:12 Bernard [1] 1:6 best [15] 119:21 240:24 303:19 339:15,19 341:18 377:5 379:18 380:11 381:9 387:25 408:15 409:22 416:14 420:9 better [10] 15:21 22:14 22:21 24:1 65:23 107:14 287:21 288:5 373:23 412:13 between [26] 22:3 64:25 65:10,23 66:16 74:13 132:19 167:2 191:25 211:17 220:11 226:11 247:15 273:11,14 278:15 279:6 280:6 305:4 321:23 326:20 355:12 366:24 407:1 411:13,23 Bev [1] 22:11 beyond [2] 77:13 178:9 big [19] 20:16 26:8 31:1 63:1 84:19 158:23 177:19 188:3 213:5 258:2 277:14 277:21 278:2,8,10,13 279:10 402:16 412:6 bigger [1] 56:21 binder [2] 58:23 110:10 binders [2] 137:23 378:7 biochemistry [2] 265:24 356:7 biopsies [2] 52:13 361:8 biopsy [1] 406:24 biotin [1] 390:17 bit [11] 61:8 176:14 202:3 213:20 256:13 295:4,5 299:18 314:18 318:12 328:1 black [2] 12:1,3 Blair [4] 1:16 2:6 283:2 283:4 blind [1] 301:20 blindly [1] 292:14 block [10] 180:22 194:2 194:2,8,10,18 289:14 293:13,14 391:22 blocks [19] 145:11,19,24 146:2 181:6 187:7,8 188:5 192:16,21 193:9 278:25 287:23 288:1 289:2,13,20 293:6 412:5 blood [4] 404:12 405:14 405:15,17 blue [1] 177:9 board [2] 75:3 337:6 boards [2] 189:13,25 bodies [1] 411:14 Bonnell [1] 86:19 book [1] 360:7 bother [1] 177:16 bottom [6] 22:6 197:17 349:6 354:11 355:1 374:4</p>	<p>box [2] 23:22 288:13 brand [1] 401:1 Brazil [18] 1:8 2:4 202:15 202:18,19,20,22 203:10 203:18,25 204:8,21,25 205:4,9,17,23 206:1 bread [2] 140:11,16 breadloaf [1] 288:4 breadloafed [2] 287:23 288:2 breadloafing [1] 290:16 break [9] 128:22 131:25 132:1 232:1,2 333:18 337:23,25 338:1 breaking [1] 406:9 breast [28] 1:12 20:22 27:5 57:16 101:7 108:17 138:8,16,20 139:1 140:15 143:13 144:23 146:24 147:3 148:18,23 149:1 151:21 152:14 153:14,17 154:13,21 181:3 183:21 290:4 393:14 breasts [3] 148:10,12 153:15 bring [24] 9:11,25 11:4 12:23 31:20 50:1 67:18 131:14 132:10 239:25 249:13,14,15 298:19 309:1 327:14 333:11 343:12 346:10 349:17 352:15 358:3 366:22 385:15 bringing [3] 161:8 313:23 349:16 broad [2] 348:20 368:1 broken [1] 57:4 Brook [4] 192:20,24 193:2 194:11 brought [32] 5:23 41:24 46:22,24 47:10,21 50:7 57:17 75:14 107:3,6 116:9 118:23 163:25 190:1 226:24 229:16 249:17 251:13 261:3 307:15 366:3 377:14 378:7 382:13,22 384:21 385:1 406:19 411:1,4,5 Browne [294] 2:5 206:1 206:2,4,5,7,17,25 207:9 207:13,19,23 208:2,7,12 208:17,24 209:4,21,25 210:8,14,22 211:4,9,14 211:22 212:7,12,17 213:8 213:12,19 214:1,8,13 215:6,12,17,21,25 216:5 216:10,15,23 217:2,8,14 217:20,24 218:6,12,16 219:5,10,18,24 220:9,17 220:25 221:9,13,18,23 222:5,12,19,25 223:5,12 223:23 224:5,15,22 225:5 226:3,8,14 227:2,7,11 227:16,22 228:4,9,15,20 229:11,15,22 230:3,11 230:18,25 231:7,16,21 231:22 232:4,5,9,10,13 232:17,24 233:7,11,18 234:1,7,16 235:3,11,18</p>	<p>236:4,9,17,22 237:2,6 237:15,21 238:4,10,17 238:23 239:2,8,15,20,24 240:6,14,20 241:1,10,17 241:21 242:2,20,25 243:7 243:17,24 244:3,7,11,20 245:3,10,14,19,23 246:3 246:14,19 247:6,10,14 247:23 248:6,12,25 249:5 249:10,16,23 250:5,12 250:19,25 251:5,9,17,24 252:7,12,17,24 253:3,9 253:16,22 254:2,7,11,21 255:3,8,14,19,23 256:2 256:6,12,17,22 257:3,9 258:7,13,20 259:3,11,18 260:5,11,19,24 261:4,10 261:18,23 262:2,9,20 263:4,10,16,21 264:13 264:18 265:2,9,15 266:2 266:6,11,18,22 267:3,8 267:13,18,23 268:4,8,14 268:20 269:2,7,11,17,21 270:1,8,16,21,25 271:4 271:9,16 272:7,12,16,23 273:2,19 274:1,5,18,23 275:4,12,18,23 276:2,9 276:15 277:1,7,12,19,25 278:7,12,18,23 279:4,9 279:13,23 280:9,13 281:3 281:9,15,22 282:3,10,14 282:20,24 286:6 Browne/Jane [1] 1:9 Brunswick [1] 350:6 Bryan [1] 381:2 budget [2] 242:16 243:6 buffer [2] 82:19 184:6 building [1] 162:3 built [1] 57:1 bullet [6] 86:20 196:10 336:11 347:3,4 355:6 bullets [3] 241:6 347:1,7 bunch [1] 15:25 business [2] 82:12 215:18 busy [4] 34:19 82:17 160:8 161:1 Butler [1] 118:24 button [1] 43:13 buy [3] 65:14 66:20 327:12</p> <hr/> <p style="text-align: center;">-C-</p> <p>C [1] 82:23 C-0184 [1] 4:11 calculations [1] 302:8 calendar [4] 343:14,15 343:17 345:7 calibrated [1] 41:19 calibration [3] 40:24 336:12 388:24 calls [3] 98:21 100:14 115:14 Cameron [2] 1:3 420:6 Canada [4] 107:15 351:17 407:7 409:23</p>
--	---	---	---	--

<p>Canadian [6] 1:15 99:6 299:11 343:15 380:19 402:19</p> <p>cancer [10] 1:12,15 101:7 108:17 145:1 149:1 181:3 183:21 299:12 412:13</p> <p>cancers [1] 139:1</p> <p>candidates [1] 122:11</p> <p>candour [3] 22:14,21 23:17</p> <p>cannot [1] 106:24</p> <p>CAP [5] 92:10 352:20 380:15,19 408:20</p> <p>capability [1] 17:22</p> <p>capital [1] 407:17</p> <p>capture [3] 156:25 262:24 363:5</p> <p>captured [3] 275:5 362:6 373:4</p> <p>Carbonear [6] 113:6,14 113:24 114:14 115:7 116:11</p> <p>care [22] 35:1 206:20,22 219:17 226:25 234:24,25 235:5,8,10 290:25 309:25 345:8 365:23 366:25 395:18 397:7,15 401:11 402:18 407:2,10</p> <p>career [1] 330:16</p> <p>carefully [1] 144:1</p> <p>caring [1] 406:12</p> <p>carried [1] 189:11</p> <p>carry [2] 219:4 378:14</p> <p>Carter [34] 13:10 14:18 14:20 75:19 79:21 81:20 82:19,20,23 100:18 101:9 107:21 119:11,15,16,20 120:17 121:1 123:11 129:3,5,13 130:21 131:9 263:23 264:5 273:4 274:15 294:22 304:4 314:20 317:11 318:10 416:4</p> <p>Carter's [4] 129:11 265:10 273:21 281:11</p> <p>case [13] 5:7 12:14 13:5 52:23 124:13 187:7,9 257:24 289:24 291:22 398:19,21 403:6</p> <p>cases [43] 20:19,23 21:4 23:1 28:14,16 63:11,13 63:17 64:7 72:14,19,23 73:1 126:1,2,4 127:16 140:15 143:3 145:1 149:1 149:2 167:11,17 188:19 243:18 257:1,12,12,19 258:22 264:2,9,22 265:12 278:15 300:5,6 304:15 304:17 305:9 379:7</p> <p>category [1] 19:14</p> <p>Catherine [3] 130:4,6 220:22</p> <p>caused [5] 68:3 75:1 79:11 85:10 186:13</p> <p>causes [1] 80:3</p> <p>causing [4] 24:10,11</p>	<p>58:11 381:13</p> <p>CCHSA [1] 407:6</p> <p>centimetres [2] 149:11 150:16</p> <p>Central [2] 1:16 283:6</p> <p>centralized [1] 228:22</p> <p>centre [6] 193:25 287:14 287:17 301:15 397:18 406:7</p> <p>centres [2] 99:5,17</p> <p>CEO [1] 179:5</p> <p>certain [9] 13:12,13 38:11 51:11 55:8 58:4 303:16 341:13 418:7</p> <p>certainly [17] 13:14 58:4 78:18,22 90:3 103:19 109:2 134:1,2,2 147:16 178:18 222:3 286:11 294:12 354:12 359:19</p> <p>Certificate [2] 2:10 420:1</p> <p>certification [1] 157:21</p> <p>certified [1] 349:23</p> <p>certify [1] 420:2</p> <p>cetera [1] 83:1</p> <p>Chafe [1] 82:20</p> <p>chain [1] 178:21</p> <p>challenged [1] 67:23</p> <p>challenges [2] 196:3 406:21</p> <p>challenging [2] 21:4 324:22</p> <p>chance [1] 156:20</p> <p>change [22] 42:21 48:12 60:22 69:14,20,24 70:1 70:4 80:16 113:10 148:7 181:2 313:17 329:8 359:20 382:14 384:6,11 384:13 385:17 397:9,23</p> <p>changed [5] 48:1 49:11 49:14 79:11 138:24</p> <p>changes [17] 65:18,21 77:14 78:5 81:7 82:20 108:13 345:14 359:17 376:10,12 377:7,8,13,15 384:2,22</p> <p>characterization [1] 295:9</p> <p>charge [3] 69:18 108:24 160:6</p> <p>charged [1] 194:11</p> <p>chart [5] 68:24,25 70:13 97:10 134:25</p> <p>charts [3] 65:7 355:13 355:14</p> <p>Chaytor [606] 1:7 2:3,9 4:2,4,5,9,10,17,25 5:6 5:15 6:15,20 7:3 8:18,24 9:4,21 10:6,15,22 11:1 11:19,24 12:4,8,12,22 13:4,8,25 14:6,15,19 15:4,17 16:9,14 18:18 19:3,12,20,25 20:5,9 21:13,21 22:1 23:7,13 23:25 24:5,9,21 25:1,13 25:23 26:3,10,16,22 27:3</p>	<p>27:15 28:3,11,15,22 29:7 29:12,17 30:2,9,14 31:3 31:8,18 32:2,10,15 33:5 33:12,17,22 34:2,6,11 34:22 35:6,11,17,22 36:3 36:10,17,21 37:1,6,11 37:15,21 38:1,6,13,18 38:23 39:4,8,18 40:10 41:12 42:10,16 43:5,20 44:3,8,18,22 45:5 46:8 46:17 47:7,16,24 48:6 48:13,22 49:5,23 50:5 50:10,15,20 51:5,9,17 52:16 53:4,14,20,24 54:7 54:15,24 55:25 56:11,16 57:11,24 59:10,24 60:6 60:10,16,21 61:1,7,12 61:18,23 62:6,11,16,20 63:10,15,23 64:4,8,17 64:22 65:5 66:9,14 67:8 67:25 68:23 69:6,13,23 70:2,9,14,20,24 71:8,18 71:22 72:3,21 73:3,12 73:17 74:2,21 75:9,23 76:5,10,18 77:7,23 78:3 78:11,24 79:5,10,15,25 80:8,14,24 81:4,12,25 82:9,18 83:9,14,18 84:15 85:2,8,17,25 86:8,12 87:24 88:3,11,17,22 89:1 89:11,15,19,25 90:17 91:3,10 92:3,19 93:9,18 93:24 94:3,11,15,20 95:4 95:8,12 96:9,10,18 97:3 97:12,23 98:4,9,23 99:3 99:12,19,23 100:2,10,16 101:13,22 102:2,10,15 102:20,25 103:6,10 104:1 104:7,12,16,20 105:2,8 105:13,20 106:2,8,14,20 106:25 107:16,20 108:3 108:8 109:8,15 110:1,15 110:25 111:5,10,16 112:8 112:14,19,25 113:8,13 113:22 114:11,19 115:2 115:6,11 116:7,17,24 117:5,9,14 118:2,8,13 119:3 120:3,7,12,16,25 121:8,17,23 122:3,7,16 123:1,6,8,13,19,25 124:11,18 125:1,6,10,17 126:7,14,22 127:3,12,19 127:25 128:5,12,18,21 128:23 129:18 130:1,5,9 130:15,20,24 131:7,17 132:3,4,9,17 134:5,11 135:13,18,23 136:4,10 137:6,13 138:4,13,19 139:3,8,13 140:5,10,19 140:24 141:5,11,16,23 142:2,8,13,21 143:6 144:2,14,20 145:2,10,17 145:22 146:4,9,18 147:7 147:14,19 148:2,13,17 149:6,23 150:8,17,21 151:1,10,15,23 152:7,13 152:21 153:4,12 154:1,5 154:10,19 155:3,12,18 156:2,8,14,19,24 157:10 157:14,20 159:24 160:11 160:15,21 161:3,7,21 162:4,12 163:4,10,17 164:4,24 165:10,16,23</p>	<p>166:3,10,14,19,23 167:6 167:21 168:1,7,23 169:9 169:20 170:4,10,14,22 171:2,15,22 172:7,14,24 173:7,13,23 174:11,16 174:24 175:4,9,16,22 176:2,6,13,18 177:3,14 177:21 178:7,14,19,24 179:10,22 180:4,8 181:13 181:19,23 182:3,7,11,18 183:3,12,23 184:19,24 185:11,17,25 186:4,10 186:19 187:18 188:21,25 189:23 190:6,12,24 191:8 191:12,19 192:4,10,14 192:23 193:4,14,18 194:5 194:16,24 195:6,18,24 197:11,16,23 198:5,10 198:14,18,22 199:4,8,23 200:5,9,18,23 201:2 202:1,9,25 234:11 248:13 261:11 280:21 283:8 291:9 410:9,10,14,15 411:11 412:20 413:9,14 413:22 414:4,12,19,23 415:4,9,13,21,25 416:6 416:13,17,22 417:3,8,19 418:4,14,22 419:4</p> <p>Cheaper [1] 354:12</p> <p>check [6] 10:1 41:20 92:10 319:25 322:23 365:11</p> <p>checked [1] 376:10</p> <p>checking [3] 319:17 329:11,15</p> <p>chemical [1] 325:23</p> <p>chemistry [3] 330:7 332:5,5</p> <p>chief [19] 65:6 68:12 69:1 70:6 163:11 189:12 218:5 224:7 318:22 366:4 378:2 382:24,25,25 409:19 417:21 418:13,18,24</p> <p>chief's [3] 230:13,15,17</p> <p>chiefs [2] 231:2,3</p> <p>Child [1] 406:6</p> <p>children [1] 406:8</p> <p>choice [1] 382:19</p> <p>choose [1] 341:12</p> <p>chooses [1] 382:4</p> <p>chose [1] 300:3</p> <p>chosen [1] 300:1</p> <p>citrate [1] 74:16</p> <p>City [23] 185:7,18 283:13 283:18,23 284:8,12 286:15 287:5,9,21 288:9 289:25 290:5,19,24 291:7 292:8 293:9 296:23 297:23 298:20 299:2</p> <p>City's [1] 290:24</p> <p>Clare's [45] 21:7 25:11 27:4 29:13 56:4,6,10 139:2 140:1,3 142:24 145:6,12,14 146:24,25 147:3 153:16,18 154:23 160:12,14 161:4 185:8 186:5 211:18 218:22,23 219:7,23 220:1,11,20</p>	<p>221:5 224:18 225:10 226:2,17 229:5 238:7 239:10 243:20 244:4,6 301:15</p> <p>Clareville [6] 113:7 113:15,24 114:16 115:7 116:10</p> <p>clarify [2] 203:6 319:15</p> <p>class [6] 1:13 157:21 167:20 174:3,3 184:18</p> <p>classified [2] 41:3 117:22</p> <p>cleaning [1] 40:18</p> <p>clear [4] 96:8 286:7 287:19 326:22</p> <p>clerical [4] 242:10 400:15 407:15 408:4</p> <p>client [1] 187:6</p> <p>clinical [55] 6:2,12 65:6 65:9 66:17 68:12 69:1 70:6 90:10 97:21 108:13 133:23,25 153:10,20 154:17 189:12 195:4 224:7 230:15,17 231:2 257:2,25 258:25 285:24 297:9,11,18 310:8 315:17 318:22 351:9,13 352:1,6 353:11 365:18 369:4 378:2 379:15 382:25 383:3 386:18,20 408:14 408:16 409:19 417:17,21 418:1,13,18,24 419:1</p> <p>clinically [1] 77:1</p> <p>clinicians [1] 394:19</p> <p>close [1] 60:17</p> <p>closed [3] 208:9,14 209:7</p> <p>closet [1] 56:22</p> <p>CLSI [2] 110:8 352:21</p> <p>CME [1] 133:12</p> <p>co-chair [1] 408:13</p> <p>Co-counsel [2] 1:6,7</p> <p>code [2] 184:9 347:4</p> <p>Coffey [1] 1:6</p> <p>cognizant [3] 10:11 88:2 88:7</p> <p>coined [1] 404:13</p> <p>colleagues [4] 108:14 202:11 237:9,17</p> <p>collected [4] 236:8 257:13 271:22 405:17</p> <p>collecting [1] 278:25</p> <p>college [19] 214:21 320:3 320:9 321:4 322:12 323:24 324:1,4 325:1 326:7 328:9 334:6 335:25 336:25 337:10,12,13 380:21,23</p> <p>comfortable [3] 57:22 110:3 303:24</p> <p>coming [31] 21:2 25:8 29:13 45:1,19 49:24 61:9 86:18 108:18 121:6 124:9 125:22 136:11 162:8 163:21 173:25 174:5,7 177:8 209:10 236:19 259:5 277:20 278:3</p>
---	--	--	--	---

<p>279:17,19 280:3 330:18 337:20 369:9 391:8 comment [20] 13:11,16 49:18 100:13,23 101:2 267:9 270:4 275:7,14 304:5 306:22 307:7 311:4 311:11 317:2 319:16 373:24 390:22 394:8 commented [3] 9:16 312:18 401:21 commenting [1] 49:25 comments [9] 131:8 377:13,18,21 394:22 417:4,10,12,13 Commission [8] 1:1,6 1:7 107:23 405:23 409:25 420:4,7 Commissioner [70] 1:3 4:1,6 7:10,15,16 8:5,11 8:16 11:12 16:16,20 17:2 17:6,19 18:10 40:2 58:3 95:16 96:5 128:20 131:21 131:24 132:2,5 146:23 149:5,12,21 165:14,20 181:25 201:4,10,14,19 201:24 202:6,12,15,17 205:25 206:3 231:20,24 231:25 232:3,6,12,19 282:25 298:8,18,25 299:6 333:16 335:3 337:24 338:2 371:23 372:1,2,6 410:3,7,12 419:5,7,14 420:7 committee [43] 81:19 82:3,15 189:3 230:9 245:2 253:7,18 255:2,7 256:8 257:6 264:4,24 314:19,22 315:2,6,8,13 315:21 316:8,12,12,16 316:21 317:19 318:10,11 318:23,24 319:3 353:25 377:14,15,16,17 408:13 416:25 417:5,7,9,25 committees [1] 316:23 communicating [1] 364:15 communication [7] 65:13 66:19 162:6 294:19 338:22 383:25 407:25 communications [1] 86:16 Community [1] 86:17 company [2] 16:11 303:2 compare [3] 43:1 338:6 338:8 compared [6] 42:23 323:8 354:25 371:10 375:2 397:5 comparison [1] 164:15 comparisons [1] 408:22 compassion [1] 406:12 competent [1] 286:8 competing [1] 381:20 compilation [1] 240:9 complaint [2] 162:10,13 complaints [6] 45:12,15</p>	<p>45:24 46:4,5 293:4 complement [1] 408:2 complete [4] 26:24 65:8 196:6 215:22 completed [5] 54:21 122:18 216:1 247:17 383:18 completely [3] 16:1 56:22 321:16 completeness [1] 368:17 completion [6] 247:3 347:1 351:21 352:7 353:1 378:16 complexity [1] 412:3 compliance [1] 386:18 complicated [2] 17:17 134:23 complication [1] 411:25 components [5] 272:9 351:19 352:6,10,24 composed [1] 82:23 computer [2] 7:1 17:25 CONA [1] 331:6 concentrated [1] 42:20 concentration [1] 42:21 concept [5] 78:8 329:9 329:12,16 334:6 concepts [1] 359:2 concern [10] 46:14 74:24 179:23 191:24 193:19 194:17 195:2 319:23 320:4,10 concerned [4] 158:4 223:16 226:18 296:15 concerning [1] 394:24 concerns [23] 23:3,4,4 43:21 46:9,10 55:1 75:22 79:21 156:25 158:11 162:5 207:3 208:3 210:18 223:6,24 224:17 229:2 259:5,6 294:13 304:15 concluded [1] 376:4 concludes [1] 108:9 conclusion [2] 376:3 419:19 conclusions [2] 72:4 310:14 concordance [1] 264:2 conduct [1] 353:7 conference [3] 115:14 121:20 134:20 conferences [1] 214:22 confident [3] 91:23 97:13 103:15 confidential [4] 177:12 179:19,21 276:25 confirm [2] 199:20 290:3 confirmed [1] 276:24 conflicting [2] 305:3 380:13 confused [2] 125:9 173:3 confusion [2] 52:24 166:5</p>	<p>congress [1] 381:1 connect [2] 279:14 280:2 connected [1] 279:17 connection [2] 279:24 280:10 consciously [1] 382:18 consider [7] 41:7 93:5 247:25 277:14 282:6 352:18 365:10 considered [10] 9:20 76:24 110:21,23 235:9 335:22 347:12 366:2 368:24 381:3 consistency [1] 216:16 consistent [3] 297:7 346:1 408:23 consolidate [4] 67:17 68:17 148:7 212:23 consolidated [4] 25:9 29:3 209:16 244:13 consolidation [26] 32:6 32:6 161:16 162:2 207:5 211:17,24 212:23 221:15 221:25 222:8 223:17 224:19,24 225:8,15 226:17,18,22 228:11 229:8,17 230:5 237:11 246:24 295:19 constant [3] 116:5 142:19 409:18 constantly [5] 143:17 143:18 295:14 380:10 406:22 construed [1] 77:18 consult [3] 170:5 187:5 187:12 consultation [3] 186:23 188:18 245:15 consulted [2] 136:5 170:8 consults [2] 187:4,14 consumed [1] 296:1 Cont'd [2] 2:3 4:4 contact [14] 9:17 16:25 17:7 18:21 113:23 115:21 116:6 142:19 167:25 169:21,23 170:1 185:13 296:23 contacted [1] 6:13 contacting [1] 364:21 container [1] 412:15 containers [3] 150:15 288:14 412:10 contemplated [1] 241:23 content [2] 70:16 232:16 contents [3] 2:1 50:23 346:6 context [3] 38:7 53:7 284:21 continue [1] 165:7 continued [3] 82:3 147:15 411:10 continues [1] 192:6 continuing [6] 338:6,11</p>	<p>345:13,20 407:17 408:8 contract [1] 151:7 contributed [1] 131:11 contribution [2] 395:17 419:10 control [23] 42:5,6,24 43:4 45:17 193:22 194:19 194:22 195:12 262:17 303:5 323:21 324:12 329:18 332:25 354:25 355:7,8,10,14,18 378:4 391:14 controls [42] 42:9,12 46:16 71:10,11 72:12,13 72:18 90:6 91:4 159:15 159:18 261:12 262:15 267:21 313:13 319:18,25 320:5 321:22 322:6,14 322:19,21 325:4 326:24 331:18,19 332:4,5,6 333:1 355:4 356:4 391:9 391:11,12,16 392:2,22 393:6,13 conundrum [1] 163:1 convenient [1] 231:21 convention [2] 341:6,12 conversation [5] 25:17 27:16 184:2 186:25 203:1 conversions [7] 24:17 24:18 123:23 124:17,20 125:2 127:24 converts [4] 122:20 123:20 125:13 126:13 convince [1] 417:13 Cook [44] 9:17 22:11 30:7 50:2,7 52:18 57:15 64:10 68:14,19,21 71:19 82:25 84:1 89:23 100:1 100:20,23 106:6,19 119:10 123:11,12 124:6 130:16 189:13 191:5 217:25 218:4,25 223:7 223:10 224:23 226:5 227:4,12,18,24 228:10 229:8 248:7,23 249:14 249:17 Cook's [6] 9:11,25 130:12 131:12 188:8 248:11 cooperation [1] 273:11 coordination [1] 21:23 coordinator [2] 129:5 129:15 copied [2] 100:20 195:20 copies [2] 38:7 39:5 copy [15] 6:16 7:22 22:11 35:23,25 36:12,13,22 37:12,16,22,24 50:21 64:13 196:23 copying [1] 187:10 Corner [4] 192:20,24 193:2 194:11 Corporation [9] 35:1 206:20,22 219:17 227:1 366:25 397:7,16 402:19 correct [20] 38:22 96:20 117:20 189:17 192:13</p>	<p>198:13,21 238:5 240:5 261:9 283:14 284:1,9 320:13 363:14 373:7 374:12,14 397:18 420:3 correction [1] 44:1 corrective [7] 43:21,24 117:15,20 336:21 390:9 396:24 correctly [2] 261:14 280:24 correspondence [1] 189:12 corresponding [2] 196:13 231:1 Council [1] 402:19 country [9] 66:6 98:12 98:22 100:4,15 195:11 225:14,17 226:5 couple [29] 33:2 67:19 98:21 124:16,23 125:2 126:12 150:15 158:10 186:18 202:24 203:6 206:10 215:10 220:18,20 230:12 232:25 234:11 238:5 265:18 266:12 299:5 337:7 342:13 346:7 346:9 410:11 413:19 coupled [1] 408:21 courier [14] 139:18,19 139:22 141:6,6 145:4 149:7,13,14,18,19 151:3 151:7 383:8 course [31] 20:14 39:19 46:9 289:25 321:4 330:16 331:15 343:17 346:12,17 346:22 347:1,10,17,22 348:10 349:5 351:3,14 351:17,21,25 352:2,7,16 353:1 354:10,25 358:11 359:3,7 courses [13] 214:20 215:13,14 216:1 343:24 344:4,14 346:9,12 351:6 354:17 357:15 359:10 Court [1] 176:3 cover [1] 299:13 covered [4] 202:5 286:5 328:2 335:24 create [2] 59:18 192:16 created [11] 51:2 59:2,3 134:24 136:23 180:19 269:4 408:12 409:6 412:22 413:1 creates [1] 310:18 creating [1] 218:1 criteria [1] 389:24 critical [2] 367:7 407:1 criticism [1] 39:13 critique [3] 195:13,14 313:14 critiqued [2] 195:10,12 cross-referenced [1] 180:15 cross-referencing [1] 196:24 cross-reporting [1]</p>
---	---	--	--	---

65:10 CSLI [1] 137:21 CSMLS [6] 345:15 346:18 347:3 349:15,24 357:19 curiosity [1] 178:9 curious [3] 234:20 256:13 273:22 current [16] 43:3 63:6,6 63:11,13,24 73:2 87:10 298:10,16 331:3 343:17 352:21 375:14 407:11 408:5 curriculum [7] 321:3 326:7 330:5 331:14 332:20,23 334:12 cursor [1] 346:16 customized [1] 352:25 cut [5] 146:14 194:9,10 210:18 289:21 cutoff [2] 9:15,19 cutting [2] 259:15 293:3 cyclin [1] 391:17 cytology [4] 265:22 268:15,17 269:24 cytoplasmic [21] 75:14 76:12,16 305:10,15 306:2 306:17,24 307:7,10,18 308:4,13 310:20 311:5 311:13,17 312:15,19 314:12 324:20	206:19 215:2 265:6 367:16 368:5 374:5 389:11 dealing [5] 116:3 351:6 383:16 385:4 388:21 deals [8] 333:23 383:13 383:23 385:24 386:15 389:8 393:23 395:1 dealt [5] 111:25 288:9 363:23 369:3 396:13 debate [1] 213:17 Deborah [2] 86:18 132:20 deceased [8] 180:24 181:11,14 182:1,13,23 182:24 183:6 deceased/ [1] 182:8 December [12] 82:3,4 82:10 100:18 101:10,14 103:19 106:9 107:1 109:9 111:11 155:5 decided [6] 119:23 120:13,15 189:9 204:16 289:12 deciphered [1] 134:24 decision [18] 37:8 65:7 111:24 112:5 120:11 153:24,25 154:17 193:13 248:10 345:11 381:14 382:19 383:2 393:3,8,9 418:12 Decker [1] 130:21 dedicated [9] 51:20,24 52:4,5,9,20 401:24 408:6 409:2 deem [2] 278:10 388:16 deemed [1] 308:5 deep [2] 149:11 150:16 deeply [1] 184:4 defense [1] 32:22 deficient [2] 333:25 335:12 definite [1] 279:12 definitely [17] 31:6 42:14 69:5 74:19 94:18 163:16 207:17 222:15 264:12 293:5 294:15 295:23 354:3,8 356:18 401:12 407:13 degraded [2] 292:15,24 degree [5] 21:25 37:19 47:21 215:8 251:12 delay [4] 58:11 104:24 149:17 151:2 delays [4] 55:2 142:23 143:1,3 delegated [1] 133:4 delivered [1] 297:25 delivery [2] 144:12 229:4 demand [1] 398:4 demands [3] 163:8 295:6 402:11 demonstrate [1] 355:14 demonstrated [2] 406:13 409:15	Denic [21] 69:17 82:22 99:20,24 113:19 129:2 130:16 131:8 161:11 164:10,11,14,17 165:6 165:25 166:2 179:1,2 180:11 186:24,24 department [4] 20:16 86:17 363:18 408:11 departmental [2] 230:20,21 depended [1] 139:16 dependent [1] 26:12 depending [3] 46:1 117:1 193:19 Deputy [4] 204:1,6,11 205:11 describe [6] 352:10,11 355:7,9,16 368:22 described [2] 259:22 351:11 description [3] 264:22 346:24 376:20 designate [3] 385:11,13 385:15 designated [2] 40:20 393:15 designed [2] 56:25 402:3 desk [1] 204:15 despair [1] 406:10 detail [5] 107:22 202:8 316:14 354:24 357:18 detailed [4] 43:16 44:11 405:5,19 details [7] 87:8 89:5 132:23 176:19 184:4,7,7 detected [5] 84:6 86:24 90:8 94:24 355:17 detection [4] 40:25 72:11 73:7 355:15 determine [14] 84:3 86:22 87:8 89:5 197:6 198:3 257:1 258:25 302:9 307:17 341:18 377:5 380:11 416:14 determined [2] 55:20 304:7 determining [1] 306:16 develop [2] 99:7 345:18 developed [3] 302:23 320:18 396:1 developing [1] 321:25 development [8] 17:21 18:13 83:3 375:15 376:21 408:10 409:10 416:7 deviation [1] 187:11 devote [1] 402:13 diagnose [1] 264:1 diagnosis [1] 10:20 diagnostic [1] 118:22 dictionaries [1] 18:8 difference [6] 11:3 17:20 74:13 194:1 335:10 411:18 differences [2] 74:18	210:10 different [34] 4:13 9:6 13:20 17:25 67:22,22 68:15 149:3 210:2,3,6 218:24 288:15 290:14 295:13 298:23 300:21 303:9 324:17 325:20,24 328:24 329:23 340:17 342:19 346:6 362:23 371:9 382:18 383:17 386:24 391:5,5 402:8 differently [1] 382:17 difficult [2] 114:25 412:4 difficulty [3] 68:3,6 69:7 digital [1] 388:25 dilution [1] 184:7 dilutions [2] 313:18 330:8 dinner [1] 220:8 direct [4] 68:13 110:23 379:4 385:2 directed [6] 13:15,16 282:1,2 356:6,9 direction [4] 148:24 216:22 297:18 408:14 directly [9] 17:1 57:18 140:1 163:13 167:19 184:17 196:22 285:19 356:6 director [16] 65:1,6,15 86:16 112:4 166:13 189:9 224:9 327:3,6 378:2,3 385:8 407:23 409:16 417:22 directors [1] 98:22 disadvantages [1] 352:19 disciplinary [2] 84:7 86:25 disclosure [1] 368:18 disconnect [3] 64:25 66:16 411:13 discontinuing [1] 147:20 discordance [1] 264:8 discordant [4] 264:2,9 264:21 265:12 discrepancy [1] 189:24 discretion [1] 51:23 discuss [17] 20:1 22:9 66:3,4,21 131:13,22 158:20 221:14 222:24 223:9 309:6,22 352:8 377:15,20 379:7 discussed [41] 23:15 27:10 30:15,18 48:11 62:21 66:24 67:15 74:3 74:5,8,10 84:23 89:12 90:19,22 92:16,22 131:3 131:19 133:16 174:23 213:3 217:21 223:3,10 228:8 256:16 257:21 259:25 277:5 315:12,15 329:1,3,12 334:1 413:7 417:7,9,14 discussing [9] 22:18	25:2 74:6,8 92:23 159:17 224:24 304:3 360:16 discussion [29] 98:7 65:25 80:13 98:7 129:4 136:19 164:25 165:4 207:8 209:8 212:20 220:6 220:7 223:22 227:4,18 228:3 252:14 257:10 258:21 259:17,21 260:12 262:15,19 283:8 306:22 392:3 412:23 discussions [7] 61:25 90:19 91:5 217:25 218:4 227:23 357:4 distance [5] 343:14,15 343:23 345:6 357:15 distinction [1] 321:23 distinguish [1] 321:20 distinguished [1] 320:1 distribution [3] 82:24 173:14 355:12 divided [1] 351:17 division [10] 1:15 65:1,2 65:14 231:10,11 266:8 299:13 407:12 409:21 divisional [1] 213:22 divisions [6] 234:23 265:20 266:14 267:5 268:10 269:18 Doctor [1] 99:22 Doctors [1] 1:9 document [25] 122:8 129:3 132:13,21 135:1,8 135:10 140:2 155:20,22 156:9,12,13,15 187:22 212:16 237:7 242:6 300:14 303:13 336:9,16 377:25 378:1,6 documentation [37] 31:2 32:18 33:3 34:13 34:18,21 35:4 41:1 43:8 43:12 58:19 59:22 134:20 136:24 163:21 177:19 187:25 188:3,12 234:2 253:17 312:8 333:23,24 335:19 336:12 374:8 381:18 386:14 388:23 389:1,3,18 401:13,14 404:18 415:17 documented [9] 32:21 43:22 140:2 180:18 182:21 196:11 236:2 371:17 405:9 documenting [8] 33:1,2 39:16 188:10 233:19 333:7 335:23 389:9 documents [3] 265:18 378:5 404:14 doesn't [16] 17:11,12 77:9,10 102:11 111:17 171:19 172:2 205:8 231:9 273:22 288:3 318:10 323:7 336:2 350:23 Don [4] 30:7 82:25 100:22 189:13 done [88] 12:23 16:7 19:1 34:20 38:10 43:10 55:21 56:4,7 57:8,12 59:1,9
-D-				
d [1] 164:18 D'Mello [1] 118:17 D1 [1] 391:17 DAB [1] 184:8 daily [6] 40:18,22 45:25 334:10 336:4 392:2 DAKO [16] 43:12 72:6,8 73:1 74:14 77:10 78:21 127:7 184:11 299:22,22 306:5 307:20 311:15,20 311:25 damning [1] 101:3 Dan [2] 84:23 372:8 dangerous [1] 108:16 Daniel [2] 1:10 2:8 data [10] 11:10,11,16 17:15 196:7 200:21 334:9 355:13 369:19 394:17 database [2] 16:3 271:23 databases [1] 196:16 date [10] 82:21,22 160:3 177:16 191:23 196:4 240:7 299:4 356:21 401:6 Dated [1] 420:11 dawned [1] 154:11 day-to-day [2] 113:21 409:1 daycare [1] 364:2 days [10] 5:7,8,22 7:6,22 11:7 12:19 33:3 292:5,5 deal [10] 17:1 55:5 117:16				

Inquiry on Hormone Receptor Testing

<p>60:14 61:9 85:24 88:10 88:12,19 110:19,24 114:9 116:21 121:1 136:20,25 140:11 146:19,20 148:19 148:20 149:3 152:2 162:16,22,24 163:2 164:2 200:21 222:4 225:21 227:13 247:20,21,22 280:5 285:9,18 287:8 289:5,7,8,11,11,17 290:1 291:7,18,20 300:24 302:9 305:5 312:22 320:21 322:8,16 325:13 327:18 330:24 333:17 344:4,14 375:1 376:23 377:6,13 377:23 378:4,6 380:2,5 381:18 391:22 393:21 394:18 402:21 404:5,20</p> <p>door [2] 57:5,7 door [4] 78:23 91:8 112:18 218:15</p> <p>down [57] 9:14 17:3,11 17:13 22:6 45:24 52:6 57:4,19 58:15,16 61:16 63:5 81:21 84:21,22,22 109:20 118:16 135:1 139:17,20 140:6,15 141:1 143:20 152:15 155:25 161:2 189:5 212:15 216:18 218:25 223:16,19 242:5 254:18 255:1 260:3 277:15 278:19 280:3 290:5,6,19 291:5,23 303:7 304:14 341:17 346:25 349:5 353:2 355:4 404:16 412:11,17</p> <p>downgrading [2] 242:9 242:11</p> <p>Dr [219] 9:11,17,25 13:10 14:18,20 22:11 38:5 39:21,24 46:9 47:14,17 50:2,7,11 52:18 55:20 57:15 59:16,17 61:13 62:12,21 64:10,11,24 65:25 66:21 68:14,16,19 68:21,21 69:17 70:15 71:19 74:22 75:19 76:1 77:4,8 79:21 80:1 81:20 82:7 83:25 84:23 85:3 86:4 89:7,23 90:2,18 91:5 94:12 97:16,24 99:24 100:1,8,9,18,19 100:20,21,22 101:4,9 102:6,11 103:16 104:11 106:6,19 107:8,21 108:23 109:4 113:19 119:10,10 119:15,16,20 120:17,21 121:1 123:11,11,12 124:5 129:3,5,11,13 130:11,16 130:16 131:8,8,9,10,10 131:12 133:16 134:19 135:2,11 141:20 143:17 160:6,12 161:4,8,11 163:11 164:8,9,10,11 164:13,16,17 165:6,6,24 166:2,9,17,20 167:4,4,5 179:1,2,2 180:11 186:23 186:24 187:10 188:8 189:12 190:8,18 191:5 191:17 217:25 218:4,5 218:25 223:7,10 224:23 226:5 227:4,12,18,24</p>	<p>228:10 229:8 248:7,11 248:20,23,23 249:14,15 249:17 250:1,13,23 251:3 252:19 255:15,20 257:10 258:9,21 259:4,5 262:3 262:10 263:23 264:5 265:10 273:4,21 274:15 281:11 294:11,22 302:23 304:4 305:23 306:22 307:25 310:11 314:20 317:11 318:10 320:14 321:17 327:3,6 360:8 364:7 365:16 369:5 375:20 379:23 384:21 385:8 390:24 392:9 393:18 406:13 416:4</p> <p>draft [4] 156:9,12,12 375:25</p> <p>drafted [1] 156:9</p> <p>drain [2] 139:23 149:15</p> <p>drained [12] 141:12,14 144:5 145:4 149:8 150:3 150:9,18 151:12 152:16 154:22,23</p> <p>drawn [4] 81:8,10 308:9 405:14</p> <p>drew [2] 72:4 307:22</p> <p>Drs [1] 129:1</p> <p>dry [1] 57:20</p> <p>due [7] 65:20 72:9 73:5 73:18 78:4 273:9 369:8</p> <p>during [5] 64:5 107:11 238:11 275:14 306:11</p> <p>duties [8] 52:10 113:10 162:20,21 233:13 235:14 295:14 296:2</p> <p>Dyer [1315] 2:2 4:3,7,8 4:11,15,23 5:4,13 6:1,18 6:22 7:8,13,24 8:7,14,22 9:1,13 10:3,9,19,24 11:9 11:14,22 12:2,6,10,20 13:2,6,18 14:4,10,17 15:2,6,22 16:12,18,23 17:4,9 18:4,15,23 19:10 19:18,23 20:3,7,11 21:19 21:24 22:23 23:11,16 24:3,7,12,24 25:4,21 26:1,6,14,20 27:1,8,21 28:6,13,17 29:1,10,14 29:21 30:5,11,17 31:5 31:12,25 32:4,13,20 33:10,15,19,24 34:4,9 34:12,14 35:2,8,15,20 36:1,7,8,15,19,23 37:3,9 37:13,18,23 38:4,9,16 38:21 39:1,6,11,25 40:8 41:5,14 42:13,25 43:7 43:25 44:6,13,20,23 45:3 45:9 46:11,23 47:12,18 48:3,9,17,24 49:16 50:3 50:8,12,18,25 51:7,12 52:2,25 53:12,17,18,22 54:5,12,18 55:3 56:8,14 56:19 57:14 58:12 59:13 60:4,8,13,19,24 61:3,10 61:15,21 62:1,9,14,18 62:23 63:12,18 64:2,6 64:14,20 65:3 66:2,12 66:23 67:13 68:4 69:4 69:11,16,25 70:7,12,18</p>	<p>70:22 71:1,13,20 72:1 72:17,24 73:10,15,21 74:4 75:4,16 76:3,7,13 76:21 77:16 78:1,6,13 79:1,8,12,19 80:5,10,18 81:2,9,15 82:6,16 83:5 83:11,16 84:13,18 85:6 85:15,23 86:2,10 87:16 87:18 88:1,5,14,20,24 89:8,13,17,21 90:9,21 91:7,25 92:1,8 93:1,13 93:22 94:1,8,13,17 95:2 95:6,10,17,21 96:2,16 96:25 97:7,18 98:1,6,19 98:25 99:10,15,21,25 100:7,12,24 101:11,17 101:24 102:4,13,17,22 103:3,8,22 104:3,25 105:4,10,18,24 106:4,12 106:18,22 107:5,18 108:1 108:6,10,18,22 109:12 109:19 110:6,20 111:3,8 111:14,19 112:12,16,23 113:5,11,16,25 114:13 114:23 115:4,9,15 116:13 116:19 117:3,7,12,18 118:5,11 119:1,7 120:5 120:9,14,19 121:2,15,21 122:1,5,14,23 123:4,17 123:22 124:2,14,21 125:3 125:8,15,21 126:11,18 126:24 127:5,15,22 128:2 128:8,16 129:6,12,21 130:3,7,13,18,22 131:5 131:15 132:15 133:15,18 134:9,14 135:16,21,25 136:8,17 137:11,17 138:11,15,22 139:6,11 139:15 140:8,13,21 141:3 141:8,13,18,25 142:5,11 142:17,25 143:9 144:8 144:18,25 145:8,13,20 146:1,7,12,21 147:1,12 147:17,25 148:5,15,22 149:10,16 150:4,12,19 150:24 151:5,13,17 152:3 152:11,18,24 153:7,19 154:3,7,14 155:1,7,16 155:23,24 156:4,11,16 156:22 157:3,12,16,23 160:4,13,18,24 161:5,10 161:24 162:7,14 163:7 163:15,19 164:17,22 165:3 166:1,8,12,16,21 166:25 167:18,23 168:5 168:16 169:2,12,25 170:7 170:12,16,25 171:6,18 171:25 172:11,16 173:2 173:9,17 174:1,14,19 175:1,7,12,18,25 176:4 176:8,16,21 177:6,15,18 177:25 178:11,17,22 179:7,15 180:1,6,13 181:10,15,21 182:5,9,15 182:25 183:8,17 184:16 184:22 185:9,15,20 186:2 186:7,15 187:15,20 188:23 189:17,20 190:2 190:10,14 191:2,10,15 192:2,5,8,12,18 193:1 193:11,16,24 194:7,21 195:3,8,22 197:8,13,19 197:25 198:8,12,16,20</p>	<p>199:1,6,12 200:3,7,16 200:20,25 201:7,12,17 201:22 202:2,7,19,21,25 203:8,12,16,23 204:3,19 204:23 205:2,7,15,20,24 206:4,6,15,23 207:7,11 207:16,21,25 208:5,10 208:15,21 209:1,12,23 210:5,12,20 211:1,7,12 211:19 212:2,10,14,25 213:10,15,23 214:6,11 214:17 215:9,15,19,23 216:3,8,13,19,25 217:6 217:12,17,22 218:3,10 218:14,20 219:8,15,22 220:5,13,21 221:7,11,16 221:20 222:2,9,14,23 223:2,8,18 224:1,10,20 225:1,12 226:6,12,20 227:5,9,14,20 228:2,7 228:12,18 229:9,13,18 229:25 230:7,16,23 231:4 231:12,18 232:7,8,21,22 233:5,9,16,22 234:5,10 234:14 235:1,7,13,22 236:6,14,20,25 237:4,12 237:18 238:2,8,15,19,25 239:6,12,18,22 240:3,8 240:12,18,22 241:8,13 241:19,24 242:13,22 243:2,12,22 244:1,5,9 244:17 245:1,5,12,17,21 245:25 246:8,17,20 247:4 247:8,12,18 248:4,9,17 249:3,8,12,20,25 250:3 250:9,15,22 251:2,7,11 251:20 252:3,9,15,22 253:1,5,14,20,25 254:4 254:9,14,24 255:5,10,17 255:21,25 256:4,9,15,19 256:24 257:7,14 258:10 258:15,23 259:9,16,20 260:9,15,22 261:1,8,15 261:20,25 262:4,13 263:1 263:7,12,18 264:11,15 264:23 265:4,13,18,25 266:4,9,16,20,24 267:6 267:11,16,20 268:2,6,12 268:15,16,23 269:5,9,13 269:19,23 270:3,10,12 270:14,19,23 271:2,7,12 271:25 272:10,14,21,25 273:16,23 274:3,11,21 275:2,5,10,16,20,25 276:6,12,18 277:3,10,17 277:22 278:5,9,16,21 279:2,7,11,16 280:7,11 281:1,6,13,18,25 282:8 282:12,17,21,23 283:2,4 283:15,25 284:5,14,18 284:25 285:4,11,15,21 286:2,10,18,25 287:10 287:15,25 288:12,20 289:4,10,19 290:2,11,20 291:3,14,21 292:7,17,25 293:16,24 294:7,14,25 295:3,10,16,22 296:4,10 296:19,25 297:13,19 298:2,6,9,13,21 299:3,8 299:10,23 300:2,10,15 300:19 301:3,11,16,22 302:5,12,20 303:12,17 303:25 304:10,23 305:7</p>	<p>305:18,22 306:6,14 307:2 307:11,21 308:8,19,23 309:5,10,16,20 310:2,7 310:24 311:8,21 312:5 312:10,16,24 313:5,12 313:22 314:3,15,23 315:5 315:9,14,22 316:4,15 317:6,12,16,22 318:1,6 318:14,20 319:4,9,15,19 320:6,17,24 321:5,10,24 322:5,17 323:4,16,25 324:8,15 325:3,8,19 326:2,10,25 327:8,19,23 328:6,13,17,22 329:4,14 329:25 330:6,22 331:5 331:10,16,24 332:3,11 332:16,21 333:3,8,14,19 334:13,24 335:7,13,18 336:1,6,15,22 337:1,11 337:17 338:5,10,14 339:1 339:7,14,21 340:1,7,12 340:18,24 341:7,14,22 342:4,8,12,16,25 343:4 343:8,20,25 344:6,10,15 344:19,25 345:23 346:2 347:13,19,25 348:5,11 348:17,21 349:2,8,13,21 350:2,8,12,17,25 353:14 353:20 354:2,7,14,19 355:22 356:2,11,17,24 357:10,16,22 358:8,14 358:21 359:1,11,15,21 360:4,13,19,23 361:4,9 361:13,18,24 362:8,13 362:19,24 363:7,11,21 364:12,17,23 365:7,14 365:24 366:10,14,18 367:2,12,17,23 368:2,9 368:13 369:1,11,17,24 370:4,10,20 371:2,6,12 371:19,21 372:8,10,20 373:1,6,12,17 374:13,17 374:21 375:4,11,19 376:8 376:15,25 378:17 379:2 379:14,22 380:4,8,20,24 381:25 382:9,21 383:10 383:20 384:8,12,18 385:10,14,21 386:4,10 387:1,12,18,24 388:14 389:5,14,20 390:1,5,11 390:18,23 391:4,15,21 392:5,10,17,23 393:7,17 394:2,10,15 395:5,13,19 395:24 396:4,17,21 397:2 397:5,11,19,25 398:6,11 398:16,20 399:1,9,16,20 399:25 400:5,12,20 401:8 401:18 402:7,15 403:1 403:11,19,24 404:3 405:21,25 406:4 410:6 410:14,16,24 411:15 413:3,12,18,25 414:8,16 414:21 415:1,6,11,19,23 416:3,11,15,20 417:1,6 417:16,23 418:11,19,25 419:8,12</p> <p>Dymond's [1] 37:7</p> <hr/> <p style="text-align: center;">-E-</p> <hr/> <p>e [3] 164:18,18 218:24 e-mail [17] 22:3,11 83:20</p>
--	--	--	---	--

<p>84:12 85:20 86:15 118:15 118:15 167:9 168:9 179:6 180:10 183:25 185:2 187:10 188:14 195:20</p> <p>e-mails [1] 177:22</p> <p>earliest [2] 103:13,17</p> <p>early [4] 138:24 139:17 144:10 328:5</p> <p>easier [2] 161:17 401:9</p> <p>Eastern [37] 1:10 15:19 34:25 91:15 99:4 111:12 116:12 117:11 121:14 160:19 179:5 189:8,15 192:5 193:7 194:20 200:13 296:2,18 337:6 344:14,16 349:22 350:15 368:1 370:22 372:13 374:12 376:24 387:3,9 387:23 397:7 403:18 407:12 409:10,20</p> <p>easy [1] 59:3</p> <p>edge [2] 345:11 409:5</p> <p>EDTA [1] 74:16</p> <p>education [11] 236:1 338:7,11 343:14,15,24 345:6,13,20 407:17 408:9</p> <p>effect [9] 14:14 116:9 141:24 169:7 222:20 225:8 266:15 401:3 402:10</p> <p>effective [2] 82:21 345:13</p> <p>effectively [1] 149:8</p> <p>efficiency [4] 210:17 213:9,13 228:5</p> <p>efficient [1] 243:9</p> <p>efforts [2] 31:19 65:17</p> <p>eight [11] 20:20 36:13 104:10,21 117:25 195:15 246:22 400:13,17 408:4 412:14</p> <p>Eighteen [1] 390:14</p> <p>either [12] 18:3 32:19 37:16 54:21 143:25 177:7 190:22 214:20 284:4 307:19 366:3 393:14</p> <p>Ejeckam [25] 47:14,17 55:20 100:21 108:23 109:4 165:7 166:17,20 167:3 250:2,24 251:3 252:19 255:16,20 257:11 258:9,22 259:5,5 262:3 262:11 294:12 307:25</p> <p>Ejeckam's [1] 46:9</p> <p>electronically [1] 43:19</p> <p>eliminate [1] 78:20</p> <p>eliminating [1] 243:4</p> <p>Elms [23] 77:5 120:21 130:17 131:8 134:19 135:2,11 143:17 160:6 160:12 161:4,8 163:11 164:17 166:9 167:5 302:23 327:3,6 384:21 385:9 390:24 392:9</p> <p>embed [1] 146:13</p> <p>embedder [1] 229:2</p>	<p>embedding [1] 29:4</p> <p>emerg [1] 405:14</p> <p>emphasis [3] 101:6 210:16 213:13</p> <p>employed [1] 271:21</p> <p>enclosing [1] 64:10</p> <p>encounter [1] 330:17</p> <p>encountered [2] 246:6 370:25</p> <p>encounters [1] 275:15</p> <p>end [14] 16:7 29:22 142:14 166:18 167:5 174:5 208:1 271:21,24 276:24 326:11 355:5 406:24 415:12</p> <p>ended [1] 205:18</p> <p>endogenous [1] 390:17</p> <p>engage [2] 14:24 409:3</p> <p>engineering [2] 245:22 247:21</p> <p>enhance [1] 408:2</p> <p>enhanced [1] 384:1</p> <p>enrolment [1] 58:5</p> <p>ensure [10] 5:10 84:8 87:14 91:12 194:13 339:3 384:1 389:9 393:20 396:11</p> <p>ensuring [3] 65:23 142:15 338:20</p> <p>enter [3] 165:17 201:11 288:22</p> <p>entered [9] 8:20 132:7,8 165:11,21,22 270:12 343:13 405:6</p> <p>enthusiastic [3] 65:15 216:6,7</p> <p>entire [6] 10:17,23,25 39:3 158:6 212:16</p> <p>entry [4] 17:16 200:22 360:8 369:19</p> <p>envelope [1] 204:14</p> <p>environment [3] 220:10 286:13 406:21</p> <p>enzymatic [4] 321:6,18 322:8 325:22</p> <p>enzymes [1] 321:7</p> <p>epitope [1] 74:19</p> <p>equal [1] 15:21</p> <p>equipment [28] 32:7 40:23 60:2 66:11 77:15 78:19 115:19 117:1 299:16 304:7 305:4 306:4 306:5,9 307:20,20 310:23 328:11,21,24 329:10 330:17,20 334:10 336:5 336:12 389:23 390:2</p> <p>equivocal [2] 9:10 50:16</p> <p>ER [6] 9:24 19:8 75:21 158:24 289:17 308:3</p> <p>ER/PR [35] 46:21 79:22 98:24 99:1 101:16 118:19 119:5,11 131:1,14 134:7 135:19 136:2 147:9 153:14 159:20,22 163:23 164:11 167:11,17 182:8</p>	<p>189:7,8 192:11,15 193:7 290:6 307:5 319:18 320:1 320:9 321:22 330:3 391:17</p> <p>ER/PRs [5] 63:7 77:1 122:18 190:19 191:18</p> <p>error [2] 336:20 355:15</p> <p>errors [3] 24:16,16 355:16</p> <p>ERs [1] 13:13</p> <p>Es [1] 411:20</p> <p>escape [1] 176:19</p> <p>especially [3] 59:22 304:20 359:14</p> <p>essence [3] 284:11 288:17 290:9</p> <p>essential [3] 351:19 352:10,24</p> <p>essentially [1] 284:22</p> <p>establishing [2] 395:16 396:10</p> <p>estimate [2] 28:5 244:10</p> <p>estimates [1] 243:23</p> <p>estrogen [3] 5:21 100:25 304:21</p> <p>et [2] 1:9 82:25</p> <p>etc [2] 201:16,16</p> <p>ethical [1] 348:18</p> <p>ethics [5] 346:13,22,24 347:4,6</p> <p>evaluate [1] 347:5</p> <p>evaluated [1] 51:22</p> <p>evaluation [2] 41:1 389:9</p> <p>Evening [1] 158:15</p> <p>evenings [2] 188:2 406:17</p> <p>event [17] 7:5 70:4,6 106:17 232:15 311:18 360:18 361:16,17,23 362:3,6,18 363:3,6,14 368:23</p> <p>events [2] 363:20 368:19</p> <p>eventually [4] 228:10 229:21 377:23 417:20</p> <p>everybody [8] 20:24 21:3 41:22 96:7 157:8 158:3 162:20 249:6</p> <p>everybody's [1] 249:2</p> <p>everyday [1] 402:12</p> <p>evidence [16] 41:2 75:12 170:24 181:3 206:9 273:13 275:6 283:9 286:6 287:19 292:12 297:6 305:1 310:17 320:11 405:24</p> <p>evolve [2] 345:8 359:14</p> <p>exact [6] 87:8 89:5 96:11 107:11 156:5 361:10</p> <p>exactly [12] 34:8 55:21 55:24 98:20 99:1 117:4 135:9 167:2 239:23 300:4 331:11 369:25</p> <p>Examination [13] 2:3,4</p>	<p>2:5,6,7,8 4:3 202:19 206:4 283:2 299:8 372:8 410:14</p> <p>examine [1] 347:3</p> <p>example [24] 12:13 15:11 19:4 20:24 40:11 41:7 55:10 56:1 58:19 65:19 68:17 90:7 138:21 182:19 218:21 289:9 296:24 363:23 377:10 403:12 405:11,14 410:22 411:17</p> <p>excellence [1] 409:14</p> <p>excellent [2] 345:16 401:20</p> <p>except [1] 150:9</p> <p>excerpt [1] 358:4</p> <p>excess [1] 139:23</p> <p>exchange [5] 22:3 118:16 132:18 167:8 186:21</p> <p>excisioning [1] 374:6</p> <p>Excuse [2] 165:10 260:10</p> <p>executive [1] 189:2</p> <p>exhibit [28] 3:2,3 51:18 64:12,23 132:8 165:10 165:15,22 166:5 228:16 234:9 240:1 270:11 273:3 280:14 304:13 309:1 333:12 343:12 346:11 350:22 359:25,25 366:23 367:6 374:3 383:15</p> <p>exhibits [3] 3:1 132:6 230:12</p> <p>exist [2] 45:6 273:22</p> <p>existed [4] 210:18 212:8 255:7,13</p> <p>existing [1] 388:10</p> <p>exit [4] 29:23 35:13,18 62:7</p> <p>expanding [1] 246:25</p> <p>expect [7] 7:4 77:9 287:5 290:23 293:15,21 326:8</p> <p>expectation [3] 293:12 294:3 392:20</p> <p>expectations [1] 22:17</p> <p>expected [2] 292:22 294:23</p> <p>expecting [1] 400:22</p> <p>experience [6] 206:12 210:9 215:8 220:3,24 302:16</p> <p>experienced [1] 406:7</p> <p>experiences [1] 233:3</p> <p>expert [1] 381:3</p> <p>expertise [8] 133:11 284:12,24 286:16 287:5 287:14 316:13 345:19</p> <p>expired [1] 43:17</p> <p>explain [8] 6:3 15:25 17:12 197:15 316:14 360:22 411:25 412:7</p> <p>explained [8] 17:18 23:18 59:3 74:15 135:9 170:17 188:16 224:13</p>	<p>explanation [2] 163:5 305:3</p> <p>explore [1] 328:1</p> <p>exposed [2] 193:21 262:7</p> <p>express [10] 65:20 66:4 66:25 67:1,3,4,6 222:6 226:15,16</p> <p>expressed [4] 67:6 157:1 162:5 319:23</p> <p>expression [1] 222:20</p> <p>extent [2] 28:25 378:23</p> <p>externa [1] 45:1</p> <p>external [26] 20:2 21:14 42:5,6,11 43:4 45:7 58:6 87:20 93:20 122:10 154:24 155:2 159:5,8 319:17,25 320:5 321:22 322:14,19,20 323:21 325:2 332:10 392:1</p> <p>extra [3] 183:4 402:13 411:14</p> <p>extremely [4] 34:19 160:7 161:1 405:19</p> <p>eye [1] 76:20</p> <p>eyes [1] 406:10</p> <hr/> <p style="text-align: center;">-F-</p> <hr/> <p>f [1] 164:18</p> <p>face [7] 101:3 109:21 121:19,19,22,22 137:19</p> <p>facilitate [2] 129:6,10</p> <p>Facilities [1] 57:8</p> <p>fact [40] 10:2 12:24 23:8 24:13 31:22 36:12 52:23 54:3 66:17 74:25 77:14 79:7 91:20 94:4,21 96:12 108:20 121:5 137:15 150:2 169:10 175:21 190:16 191:3 201:15 213:5 224:24 226:9,16 228:11 229:17 248:7 251:12 257:16 274:19 278:14 280:2,4 291:4 392:21</p> <p>factors [2] 74:25 101:7</p> <p>Faculty [1] 215:18</p> <p>failed [3] 65:20 72:14,18</p> <p>failure [5] 72:5,9 73:4 73:13 310:15</p> <p>faintly [1] 9:16</p> <p>fair [8] 58:7 264:22 295:5 295:8,11,25 297:12,14</p> <p>fairly [8] 40:5 41:3 56:1 101:3 103:15 297:7 318:19 354:11</p> <p>fairness [2] 72:22 249:1</p> <p>fall [8] 38:11 62:13 63:16 105:22 187:21 277:8 278:20 404:21</p> <p>false [5] 72:14,18 310:18 355:15 390:16</p> <p>familiar [19] 34:24,25 61:17 171:19 172:2 234:4 283:21 330:19 332:9 336:2 337:8,15 343:18</p>
---	---	--	--	---

Inquiry on Hormone Receptor Testing

<p>343:23 354:6 358:19 368:8,10 369:15 families [1] 406:11 fantastic [1] 401:19 far [12] 41:25 109:9,14 114:12 123:9 136:5,12 151:14 153:21 298:1 315:16 347:24 fast [2] 159:4 345:9 fatty [1] 75:7 faulty [1] 72:6 favour [1] 315:2 fear [1] 207:14 February [19] 36:24 37:2 38:25 63:21 64:16 70:16,25 73:24 111:2 121:10 123:7,14,14 134:8 137:14 144:22 175:23 221:4 372:16 fee [1] 349:6 feed [1] 416:24 feedback [6] 155:20 159:5 237:16 303:8 417:4 417:12 feeling [2] 159:19 406:24 fees [3] 348:10 349:5 354:10 felt [29] 15:20 16:5 38:11 39:13 42:8 45:13,14 57:22 58:7 84:21 100:24 101:15,20,23,25 107:7 119:21 159:3 273:9 281:23 282:4 286:7,11 292:23 295:14 303:19 316:16 319:7 364:18 few [17] 7:22 40:12 66:6 84:24 133:8 229:7 268:18 283:7 299:13 307:23 310:12 333:25 351:6 372:10 375:22,25 406:22 fifth [1] 336:11 figure [3] 29:8 85:10 361:12 fill [4] 369:2,19,21 371:13 filled [8] 369:7 370:6,8 370:14,18,24 400:18 404:17 filling [3] 363:25 365:1 404:14 final [10] 322:21 323:20 325:1 326:8 376:22 378:12,16 383:3 393:9 416:7 finalized [3] 110:5 114:6 180:14 finalizing [1] 181:9 finally [6] 83:10 114:6 378:23 393:5 409:24 413:16 finding [1] 160:22 findings [3] 31:23 32:16 98:14 fine [6] 69:9,12 118:9 196:1 274:7 330:21 finger [1] 49:10</p>	<p>finish [2] 98:11 405:24 first [56] 7:19 21:18 30:19 35:23 36:12 38:20 40:3 47:13,20 48:7,10 51:18 53:7,21 58:2 60:7 62:13,22 64:11 71:6 72:5 85:11 91:21 94:5,22 96:13 104:2,11 114:8 138:14 147:8 179:8 183:15 189:11,17 206:11 220:16 250:6 253:19 255:11 262:11 264:25 299:14 308:11 312:23 315:12,16 345:5 347:2 355:6 373:25 386:15 396:7 397:14 398:22 404:8 fiscal [1] 234:22 fit [2] 19:14 311:4 five [11] 84:5 85:11 86:24 90:8 219:3 360:7 400:22 400:25 412:16,17 419:15 fix [2] 79:18 382:5 fixation [23] 26:11,23 58:16 71:10 80:16,16,22 81:1,24 82:19 83:3 105:17 106:10 111:6 116:15 117:10 143:19 289:1 290:15 360:11 374:2,7 381:11 fixed [3] 288:14 293:5 381:5 flag [2] 257:12,19 flagged [1] 257:17 flagging [2] 258:5,8 flaws [1] 64:24 floor [2] 56:25 57:4 flooring [1] 57:2 flow [1] 68:24 flows [1] 122:9 focus [15] 18:25 49:2,17 134:15 264:6,10,20 265:10 271:23 283:20 313:3 315:17 334:2 351:15 406:17 focused [1] 312:14 focusing [2] 249:19 332:2 follow [7] 58:17 196:1 205:21 330:21 385:19 386:23 396:16 followed [3] 384:5 388:9 405:9 following [3] 82:25 183:20 189:15 Fontaine [15] 50:11 84:23 85:3 86:4 89:7 90:19 91:5 94:12 97:16 97:24 100:8,9 133:17 141:20 167:4 foot [1] 74:22 Ford [8] 77:5 120:21 135:11 143:17 162:15 327:3 384:21 390:24 forefront [1] 409:17 foregoing [1] 420:2</p>	<p>form [7] 190:4 287:22 330:9 370:18,19,21 371:15 formal [10] 59:11 69:1 81:18 352:5,17 361:17 362:12 364:11 377:25 378:1 formalin [36] 139:20,23 140:7 141:2,12 142:4,16 142:18 144:5,5,11,17,24 145:3,3 149:8,25 150:2 150:6,7,9 151:11,25 152:2,15 154:22,23 288:14 298:10,11,14,16 381:5,8,13,22 formalized [3] 70:10 81:22 417:25 format [10] 44:1 60:22 83:8 110:8,11 152:19 334:25 335:17 387:4,16 formatting [1] 335:21 formed [2] 315:21 317:19 forms [2] 136:23,23 forth [3] 169:24 244:15 246:7 forward [5] 40:5 85:5 295:15 382:13 413:11 forwarded [1] 168:3 forwarding [1] 4:22 found [8] 132:24 180:18 182:21 204:16 255:6 294:16,20 381:17 four [21] 11:7 30:1 35:25 36:13 117:23 196:15 216:21 240:8 241:5 257:22 310:13 340:4 374:10,22 383:6 400:6 400:22 407:18 412:12,15 412:16 frame [1] 253:11 frames [2] 24:6 190:1 framework [2] 387:8 387:21 free [1] 402:10 frequent [2] 113:23 114:1 Friday [5] 180:14,24 291:6 341:25 343:10 fridge [8] 56:9,13,18 57:10 380:17 381:5,11 381:15 frozen [7] 56:20 218:23 225:25 259:6,14 260:7 260:18 frozens [1] 260:3 fruition [1] 316:21 frustrated [1] 67:9 frustration [6] 65:12 66:18,24 67:10,11,21 FT [1] 242:9 full [10] 56:22 129:23 162:2 184:4,6,7 242:15 242:23 243:16 372:15 fully [2] 290:23 294:23 function [5] 129:7,11</p>	<p>351:23 375:7 379:15 functions [1] 376:5 fundamental [2] 318:19 355:11 funding [2] 82:8 340:20 funds [3] 59:17 129:15 348:7 Furthermore [1] 91:17 future [6] 229:1 279:18 309:25 347:12 382:8 394:3 <hr/>-G-<hr/>Gamberg's [1] 392:15 game [2] 225:11 345:9 gap [2] 191:21 353:7 Gaussian [1] 355:12 gears [1] 295:3 gee [1] 11:6 general [12] 72:13 98:7 124:24 187:5 228:23 246:11 283:18 333:24 350:24 351:1 370:21 390:7 generally [13] 327:5 328:20 330:3,4,15 332:25 334:1 335:8,22 343:19 343:21 389:11 399:15 generate [1] 6:23 generated [8] 6:8,10 10:16 44:5 235:21 243:20 245:11,13 generates [2] 6:5 108:15 gentlemen [1] 239:4 George [2] 179:3 204:13 given [20] 31:19 92:5 93:20 98:18 129:14 180:14,24 193:6 196:19 286:22 287:5 341:25 363:2 368:21 378:5 400:13,24 407:14 408:24 416:23 giving [3] 297:17 342:19 409:25 glad [1] 118:22 gloss [1] 293:21 goal [6] 34:19 44:21 114:7 271:10,13 317:20 goals [8] 114:7 240:15 240:16 248:14,16,18,19 408:7 God [1] 246:9 goes [10] 16:24 17:3 22:13 101:8 107:21 179:2 179:3 184:6 187:2 407:11 gone [8] 4:21 90:4,25 161:18 179:4 194:3,20 344:1 good [38] 4:6,6,9 34:15 39:13,13,17 42:8 46:20 47:1 107:14 117:19 131:21 136:18 172:12 185:21 189:6 202:8,21 206:6 214:24,24 215:1 220:10 231:23 232:6,9</p>	<p>273:17 283:4 299:10 317:20 324:10 337:23 379:23 388:3,20 402:8 407:25 government [2] 172:10 407:7 GP2 [1] 386:19 Grace [5] 208:13,23 209:7,10 220:23 grade [2] 118:21 303:16 grading [1] 272:5 great [7] 30:20,20,20 31:9,9 47:6 409:9 Green [4] 238:12,20 300:23 301:1 Grenfell [1] 283:6 grid [5] 118:20 119:8,13 119:13 303:4 grievances [1] 233:15 gross [7] 145:16 153:2 258:19 289:12 323:8,9 407:20 grossed [4] 143:14 145:7 288:23 291:6 grossing [23] 25:10 53:2 138:20 139:2 145:14,18 148:9,11,18 153:10 288:24 289:2 374:2,7,23 374:25 375:7,23,24 377:10 378:18,19 379:7 group [42] 13:17 41:25 53:2 55:12 59:18 112:17 129:25 138:25 143:14,15 145:15 146:24 147:3 151:22 154:25 155:2 159:7,8 234:21 245:22 246:10 248:19 276:23 342:5 357:1 366:6,19 377:4 382:23 393:14 395:12,21 404:12 414:15 414:17,18,20,24 415:8 415:17 416:1,10 groups [4] 59:21 115:22 404:10 415:15 growth [2] 398:3,9 guarantee [1] 407:18 guaranteeing [1] 388:24 guess [90] 6:12 16:3 23:3 24:14,18 26:19 27:2 40:15 41:16 44:23 45:10 45:13 67:6 70:10 91:19 95:3,7,11 108:25 115:8 123:21 127:8,10 137:5 143:15 151:6 159:6,13 159:21 160:5 162:17,22 162:25 163:22 164:1 177:19 182:6 183:19 207:3 209:9 210:9 221:4 224:4 225:7 233:12 235:10,17,23,24 236:15 237:9 243:19 244:21 245:24 252:4 265:21 267:9 271:14 278:24 281:7 283:10 287:21 292:11 296:13 298:22,23 300:13 301:4 302:15 305:2,2 306:11,21 314:6 317:7,20 321:14 326:16</p>
--	---	---	---	--

<p>328:4 329:8 334:1 335:21 348:12 356:23 400:8 412:8 418:2,12,21 419:2 guidance [1] 378:14 guide [2] 58:25 388:12 guided [1] 87:5 guideline [1] 368:18 guidelines [4] 326:15,19 380:16 386:19 Gulliver [66] 9:8 13:15 14:21 15:13 30:6 49:18 49:25 51:1 63:4 68:9,14 68:18,22 69:19 70:3 98:21 99:13,17 100:21 105:12 112:2,4 119:24 121:11 129:2 164:10 168:10,19,24 169:14 170:18 174:12,17 178:23 178:25,25 180:3,10,12 185:2 189:21 190:8 195:21 209:13 212:19 216:22,24 217:4,21 224:14 227:15 231:5 234:19 240:24 248:20,21 254:17,19 274:2 309:11 319:10 349:16 372:17 413:13 415:24 419:3 Gulliver's [2] 14:7 115:20 gut [1] 303:22</p> <hr/> <p style="text-align: center;">-H-</p> <hr/> <p>h [3] 164:18 218:24 411:20 H&E [3] 289:9,11,13 H&Es [2] 146:14 289:11 half [4] 242:10,23 243:4 343:9 hand [3] 115:24,24 404:17 handed [3] 55:19 251:3 306:18 handle [1] 399:7 handled [1] 264:3 handling [2] 46:12 273:10 hands [2] 290:18 338:19 hands-on [2] 215:7 285:18 handwritten [1] 138:2 happening [34] 5:16 28:18,24 33:7,13 34:8 67:16 96:23 98:18 138:10 144:15,21 147:8,10,24 153:15 155:5 158:12,22 159:3,4,8,13 176:10 204:20 239:9 242:14 302:24 365:6 366:8,15 366:17 412:18 413:2 happy [1] 108:9 hard [6] 6:16 57:3 157:4 161:1 196:23 408:5 HAY [13] 210:25 211:10 211:16 212:21,22 213:2 213:2,13 214:3 236:3,19 240:17 241:4</p>	<p>hazardous [1] 298:14 headed [1] 374:1 heading [3] 64:24 389:1 391:1 headings [1] 12:9 health [98] 1:11,17 15:19 21:5 29:4 34:25 35:1 83:22 84:10 86:17 91:14 91:15 99:4 111:12 116:12 117:11 121:14 132:12 138:7,9,16 139:4 140:12 140:17 144:23 145:23,24 146:6,10 147:10 148:19 148:20 153:17 154:21 160:17,19,20 161:9,15 161:23 172:17 179:5 189:8,15 192:5 193:8 194:20 196:20 197:1 200:13 203:21 204:2 206:20,22 208:19,25 209:2,17 210:10,23 219:16,20 226:25 238:1 238:22 239:11 243:21 244:8 246:24 280:5 282:5 285:12 296:3 301:15,17 337:6 344:14,16 345:8 349:23 366:25 368:1 370:22 372:13 374:12 376:24 387:4,10,23 397:7 397:8,15,17 402:18,19 403:18 406:6 407:12 Health's [4] 296:18 350:15 409:11,21 heaped [1] 295:15 hear [8] 46:19 77:8,12 77:24 78:25 79:6 94:12 97:24 heard [20] 20:17 71:15 71:19 77:17 89:7,12 127:23 170:24 172:8 173:14 203:20 205:10,19 207:1 210:15 235:19 238:12 276:20 386:1 420:5 hearing [2] 14:13 204:18 heart [1] 406:9 heart's [1] 232:16 Heather [2] 130:25 180:11 held [2] 122:11 155:25 help [11] 55:7,10 59:22 161:2 180:3 217:19 300:24 318:18 319:2 401:10 411:6 helped [1] 300:24 helpful [1] 186:11 hematology [3] 265:23 269:14 332:6 Hennebury [1] 1:9 HER2 [2] 164:11,15 HER2/neu [1] 101:1 hereby [1] 420:2 Hewlett [1] 381:2 hey [1] 274:6 Hi [6] 22:8 83:21 118:17 167:10 168:11 186:23 high [6] 42:11 46:21,24</p>	<p>168:11 177:15 345:12 higher [3] 67:23 74:17 277:23 highlight [3] 11:11,13 346:8 highlighted [4] 11:17 11:20 12:15 246:23 highlights [2] 333:25 346:23 highly [1] 91:18 himself [4] 67:7 107:9 120:22 294:13 hire [3] 129:15,15,23 hired [13] 120:21 213:4 214:19 283:17 286:19 337:7 349:22 353:23 356:25 357:1,3 407:19 409:6 hires [1] 399:10 histochemistry [5] 320:16,18,23 321:2,19 histology [1] 358:23 history [4] 28:20 45:23 257:2,25 histotechnology [5] 339:13 341:6 357:24 358:3,15 honest [4] 18:24 26:9 177:20 237:19 honestly [8] 49:17 101:18 106:23,23 175:13 186:16,17 262:14 Honourable [2] 1:3 420:6 hoped [1] 247:16 hopefully [1] 7:4 hoping [1] 316:24 Hormone [2] 1:2 420:4 horrible [1] 158:3 Hospital [1] 228:23 hospitals [7] 196:13 206:21 225:14,17 226:11 246:4,5 hot [1] 346:22 hour [4] 57:20 61:16 343:9,9 hours [10] 158:11 168:12 220:19,20 238:5 241:7 242:24 243:16 404:14 406:17 house [4] 15:18 83:24 371:3,15 Howell [5] 164:8 179:2 180:12 189:14 190:8 HSC [1] 197:20 huge [2] 55:5 222:16</p> <hr/> <p style="text-align: center;">-I-</p> <hr/> <p>i.e [1] 189:9 ID [7] 196:10 197:4,22 197:22,24 198:1,19 idea [25] 42:17 49:20 51:23 60:1 70:4 71:4 73:4 89:6 94:4,7 97:13</p>	<p>100:3 120:2 126:15 261:21,24 316:3,6,7 324:11 332:19 333:1 336:20 337:4 413:10 ideas [9] 30:25 210:3,4 216:11 217:15,18 246:1 337:16 404:18 identified [23] 20:15 45:16 49:21,22 71:4,9 79:18 91:21 94:5,21 95:13,24 96:13,22 97:2 119:13 183:2 199:19 257:25 258:17 287:16 293:6 396:12 identifies [3] 197:2,20 396:15 identify [12] 14:22 38:10 45:2,8 119:22 120:23 143:23 199:10 200:11,14 293:2 353:5 identifying [3] 71:16 189:19 408:15 identity [1] 198:24 IHC [39] 33:7,9 40:7 45:25 51:20 52:7,9 92:20 92:25 93:4 145:25 146:16 146:17,20 158:16,23 160:16 163:11 165:2 192:6 322:25 327:3,7 333:23 334:16 339:9 340:20 341:4 356:10 357:25 358:9 383:23 384:4 385:7 386:9,14 400:9 414:6,6 II [2] 352:1,15 III [2] 220:23 408:25 imagine [11] 9:18 29:2 63:19 184:23 195:11 222:17 262:6 264:16 310:25 364:2,6 immediate [6] 87:13 212:19 366:2 386:7 394:3 402:11 immediately [8] 33:4 81:23 137:3 140:3,14 142:15,18 264:6 immuno [9] 23:5 52:6 53:2 135:9 156:6 158:19 159:14 160:7 407:24 immunofluorescence [3] 52:8,9 391:2 immunogenetics [1] 265:22 immunohistochemical [5] 163:12 344:23 351:5 355:25 391:3 immunohistochemistry [15] 23:1 101:5 108:12 108:24 109:7 155:20 164:19 271:20 272:20 338:20 339:17,20 342:24 385:8 386:22 immunos [3] 26:25,25 27:2 impact [7] 17:11 109:22 110:12,14,23 365:12 407:10 impacted [2] 158:1</p>	<p>361:1 impacts [2] 109:22 383:2 impasse [1] 318:13 impede [1] 31:17 impeding [1] 381:11 implement [7] 102:7 110:4 216:12 352:5 354:5 384:6 394:1 implementation [15] 38:15 53:6 65:20 83:2 129:7,11 131:1,4,22 133:7 353:7,9 373:10,16 408:10 implemented [8] 59:12 65:19 108:21 109:17 137:16 383:9 390:14 394:9 implementing [5] 51:10 54:25 109:10 136:6,13 implication [1] 292:3 implied [1] 95:1 importance [10] 91:22 94:6,18,23 96:1,14 168:11 177:15 179:11 236:13 important [14] 110:18 178:2,3 179:16 277:14 278:2,6,11,13 306:25 346:17 366:2 401:13 408:17 impossible [3] 87:8 89:4 401:15 impressed [2] 66:5,8 impression [8] 30:23 68:10 78:22 174:8 226:21 291:19 292:9 359:19 impressions [1] 39:9 improper [1] 370:2 improved [2] 271:20 272:19 improvement [5] 105:16 395:9 396:9,12 396:15 improvements [1] 104:22 improving [1] 247:1 in-house [1] 118:21 inaccurate [2] 84:5 86:23 inaudible [3] 165:12 202:16 335:4 incident [6] 234:6 252:18 256:1 274:17 277:9 367:7 incidents [2] 233:20 234:3 inclined [1] 274:24 include [5] 82:21 184:5 184:8 328:10 346:23 included [5] 185:1 191:9 332:19 336:14 358:4 includes [3] 73:19 272:3 352:16 including [5] 72:10 73:6 233:15 267:4 347:9 inconsistent [5] 23:10</p>
--	---	---	--	---

<p>47:9,13,17 251:15 incorrect [1] 273:10 increase [7] 241:6 399:2 399:6 401:3 407:15 410:22 412:5 increased [6] 81:13 400:2 411:19 412:1,2 413:6 increases [1] 412:19 increasing [2] 410:17 411:13 incubation [1] 329:23 incubations [1] 313:18 indeed [2] 40:3 286:9 independent [3] 320:21 321:16,21 index [1] 119:18 indicate [2] 27:17 65:8 indicated [13] 4:18 23:9 28:23 35:24 58:2 171:3 291:11 292:19 301:8 315:1 320:2,12 416:8 indicates [2] 75:11 164:11 indicating [2] 27:6 292:16 indication [2] 80:15 229:7 indicators [5] 315:17 395:16,25 396:10 408:17 individual [4] 133:3 197:5 198:3 216:7 individuals [8] 133:3,5 133:8,11 252:1 294:11 364:16,22 inexpensive [1] 356:23 info [2] 180:20 185:12 inform [1] 293:7 informal [1] 221:2 information [37] 14:25 16:4,24 27:19 99:14 124:1 137:2 167:12,14 167:25 184:15,21 196:4 196:6 197:9 204:18 211:2 236:13 240:10 241:3 253:8 256:18,20,25 259:1 271:18 272:18 280:20 300:9,11 345:4,16 380:12 382:12 394:17 404:7,9 informed [11] 48:5 122:17 159:6 164:12,14 169:15 177:11 227:15 234:21 237:9 293:7 infusion [1] 407:16 initiate [3] 384:22 385:1 385:17 initiated [1] 248:7 initiative [1] 261:13 initiatives [5] 224:25 227:13 229:24 248:1 395:2 innovation [1] 70:4 input [3] 210:24 248:23 297:18 inquire [1] 337:13</p>	<p>inquired [2] 337:5,8 inquiries [3] 16:10 19:16 190:7 inquiring [2] 7:17 296:16 inquiry [10] 1:1 20:17 157:15,17 204:10 206:9 283:11 409:25 420:4,7 insisted [2] 219:2,3 insofar [1] 116:10 instance [2] 259:22 289:16 instead [4] 182:12 258:2 260:2 412:17 institute [1] 386:19 institution [5] 22:10 284:21 291:2 296:24 298:1 institutions [2] 295:20 296:18 instructed [1] 174:9 instruction [1] 328:10 instrument [1] 184:5 instrumentation [1] 389:23 insufficient [1] 261:7 Integrated [2] 1:10,17 intended [1] 147:21 intent [2] 343:1 393:10 intention [4] 109:16 193:7,9 225:25 inter [1] 408:22 interaction [2] 293:19 338:22 interactions [1] 78:16 interdisciplinary [2] 346:8,12 interested [2] 263:14 358:5 interesting [2] 62:24 157:5 interim [3] 57:13 218:17 388:9 internal [8] 71:10,11 72:13,18 90:6 91:4 196:15 201:20 interpret [5] 135:4 268:21 313:6 322:6 323:13 interpretation [30] 68:19 76:14,22 93:14 96:19,20 97:9 132:25 133:1,6,10,13,20,21 134:25 159:18 266:14,23 279:20 289:25 305:6 307:9,18 308:13 310:9 311:23 323:12,21 327:16 356:14 interpreted [7] 93:4 95:3 188:18 267:1 311:6 312:18 393:16 interpreting [3] 40:1 46:16 322:24 interprets [1] 200:2 interview [6] 29:24</p>	<p>35:13,18 62:7 169:6,10 Interviews [1] 122:10 intra [1] 408:21 introduce [1] 346:19 introduced [4] 43:17 114:17 326:6,18 introduction [5] 227:25 346:13 351:13,14,18 investigate [1] 99:7 investigated [1] 356:22 investigating [1] 380:10 investigation [2] 87:1 307:17 invited [5] 230:13,14,20 231:3 314:19 inviting [1] 248:1 involve [1] 55:8 involved [51] 21:22 37:19 38:14 51:3 53:5 55:14 67:2,20 68:8 117:24 129:16 133:4 134:12 137:5 158:16 169:5 181:9 183:5 205:1 208:22 210:24 213:17 214:25 215:3 227:1,3 240:9,13,13 245:8 278:24 300:8 301:9 314:13,16 315:3 316:1 337:19 361:23 362:22 364:18 373:10 377:9 378:25 382:20 394:11 395:9 396:8 403:22 416:21 417:15 involvement [2] 168:9 395:4 involves [1] 162:3 involving [2] 289:24 368:23 iron [2] 325:11,12 irrespective [1] 205:10 ISO [2] 347:5 352:20 issue [56] 6:13 24:15 31:22 32:18 39:10 40:14 41:9 44:10 45:22 52:24 59:25 66:1,3,15 74:23 77:15 82:21 90:6,10 91:4 93:17 109:3 133:23 134:6 160:25 163:18,20 185:18 186:13 190:9,13 205:18 212:18 226:23,24 236:7 259:25 294:16,17 297:10 305:5 306:25 307:15,19 312:14 315:12 316:11 319:8 322:18 324:3,5 362:1 370:13 379:4 384:20 385:6 issues [30] 41:4 43:21 45:8,17,20 46:18 47:23 66:21 67:24 71:9 115:16 115:18,25 116:2 127:10 133:25 143:19,24 214:2 214:4 248:2 294:6,19,20 317:25 334:3,11 353:5 380:16 386:8 italics [1] 132:23 item [4] 129:3 228:17 310:14,15</p>	<p>items [1] 389:17 itself [10] 8:23 99:2 105:15 109:3 129:14 303:2 313:10 334:15 384:14 411:24</p> <hr/> <p style="text-align: center;">-J-</p> <p>Jackie [2] 2:4 202:19 Jacqueline [1] 202:22 jams [1] 143:4 Janeway [17] 34:24 206:14,18,20 208:8 209:16,17 210:3 214:19 215:11 222:11,18 233:6 320:14 322:2,7 406:6 January [10] 20:25 63:20 118:15 189:10,16,18,22 190:21 191:9 192:1 Jennifer [4] 1:15 2:7 299:8,11 Jennings [1] 355:13 Jewish [1] 124:24 job [21] 42:8 47:1,6 112:11 113:9 208:1,3 217:5 249:2 296:8 320:15 321:15,21 330:23 331:2 338:15,16 350:1,3,15 379:10 jobs [2] 111:21 112:6 jog [1] 180:5 John [2] 204:10 219:9 John's [31] 22:19 24:23 26:24,25 35:7,9 41:23 112:22 189:9 191:25 193:23 196:16 206:21,22 283:14 284:22 286:16,23 287:13 290:1,17 292:6 293:20 294:3 295:20 296:2,14 297:24 367:1 420:8,11 joined [1] 397:15 joining [1] 121:20 Jones [1] 204:16 Judge [1] 37:7 judgment [1] 220:4 Judy [2] 420:2,13 July [9] 1:4 5:19 181:7 181:20 183:5 186:1 343:17 420:5,12 jump [1] 49:9 June [5] 130:11 131:1 147:16 247:3 250:2 Justice [2] 1:3 420:6</p> <hr/> <p style="text-align: center;">-K-</p> <p>Kara [1] 1:9 keen [1] 65:15 keep [10] 8:9 21:8 76:20 137:20 276:3 294:12 336:4 341:10 401:6 409:4 keeping [11] 40:21,22 149:25 160:2 334:8,10 334:15 336:7,8,11 389:3 Ken [4] 119:14,18 137:1</p>	<p>300:23 kept [6] 76:20 116:5 164:3 188:19 381:24 419:8 key [2] 31:23 355:9 Khalifa [2] 190:18 191:17 kidney [1] 52:13 kind [14] 18:13 78:10 176:9 228:3 263:8,13 269:24 270:5 286:16,17 296:22 348:12 359:3 377:24 Kingston [2] 226:10,11 knew [14] 24:17 59:15 59:15 71:4 90:5,12 172:4 179:20 212:8 255:12 256:20 277:21 279:5 301:24 knowing [2] 61:8 297:24 knowledge [20] 5:10 15:10,20 19:5 33:6 90:6 123:3 159:4,12,25 163:6 163:21,24 183:4 205:6 205:13 308:24 311:19 351:22 377:17 known [9] 14:9 72:15,19 73:25 301:23 329:11,15 329:19 359:6 knows [3] 7:21 195:1 326:22</p> <hr/> <p style="text-align: center;">-L-</p> <p>L [1] 164:18 lab [104] 16:25 23:19 25:7 25:12 30:10,20 31:9 33:7 33:9 34:17,23,24 35:1 35:19 40:7 45:8 46:3 52:14 57:18 62:25 66:6 66:10 79:16 85:14 92:7 92:20 93:7,15 108:24 109:1,7 112:21 115:23 118:19 129:14 132:24 136:1 139:12 144:24 145:25 146:20 157:25 158:20 164:12,19 165:2 185:7,10,18 214:5 220:10 231:3 237:10 265:21 267:1 276:14 277:16 278:4 280:5 281:5 284:6 285:9 288:18 290:5,24 291:7 292:8,13 293:9 297:8 298:20 299:1 308:16 325:5 326:16 330:15 337:15,19 346:17 346:20 360:7 367:19,22 372:13 389:4,19 397:17 398:10 401:5,19 402:22 402:22 403:3,7,10,14 404:15,22,23 405:6,18 407:24 414:6,7 labelling [2] 301:24 369:23 labels [1] 370:2 laboratories [9] 42:1 72:7 98:13 100:4 195:15 351:16 352:13 407:4 415:20</p>
---	---	---	---	---

<p>laboratory [63] 18:17 41:20,22 65:1,6,16 69:19 70:5 74:23 101:6 108:12 108:14 114:10 121:10,13 121:24 128:25 158:6 159:7 328:3 343:16 345:15,22 347:8,12 351:3 351:9,13,23 352:1,7,10 352:18,22 353:1,11 355:3 355:7 359:8,16 363:19 384:4 386:18,20 387:3 387:15 396:11 399:15 400:14 405:13 406:5,25 407:9 408:22,25 409:6,9 409:12,13,22 410:23 412:24 414:24</p> <p>laboratory's [2] 352:22 395:17</p> <p>Labrador [26] 98:15 183:1,7 283:6,13,18,18 283:22 284:8,12 286:15 287:5,9,21 288:9 289:25 290:19 292:24 294:5 296:23 297:23 299:12 407:4,8 420:8,11</p> <p>Labrador-Grenfell [1] 1:16</p> <p>Labradorians [1] 108:17</p> <p>labs [12] 20:21 35:5 47:4 66:6 98:16 114:22 133:13 262:22 263:3 297:1 344:20 403:5</p> <p>lack [12] 31:24 65:13,13 65:14,21 66:19,19,20 72:10 73:5 273:11 287:21</p> <p>lacked [1] 316:12</p> <p>Laing [1] 1:9</p> <p>land [1] 25:6</p> <p>language [1] 281:11</p> <p>large [2] 57:16 252:25</p> <p>larger [2] 116:14 117:10</p> <p>Larkin [1] 375:21</p> <p>last [13] 54:1,17 117:25 152:5 156:18 166:4 241:5 280:17 336:11 347:7 381:1 398:21 413:19</p> <p>Lastly [1] 184:9</p> <p>late [5] 151:20 152:5 302:23 413:20 419:16</p> <p>lawsuit [3] 157:18 163:23 174:2</p> <p>lawyer [4] 171:11,13 176:24 177:1</p> <p>lay [1] 25:6</p> <p>lead [6] 46:15 113:17 246:12 392:25 393:2 407:23</p> <p>leader [2] 375:20 400:8</p> <p>leaders [1] 217:23</p> <p>leadership [6] 65:11,24 214:21 233:2 407:24 409:13</p> <p>leading [6] 23:9 345:11 376:21 378:11 409:5,7</p> <p>leads [2] 65:11 66:18</p>	<p>learn [9] 135:24 320:22 321:15 323:13 324:1,4 330:14,23 352:3</p> <p>learned [17] 97:8 124:24 124:25 125:4 137:8 261:16 262:17 305:15,17 305:19 312:23 321:6 323:23 330:8,10 331:2 406:8</p> <p>learner [5] 347:2 351:22 352:8 353:2 355:5</p> <p>learner's [1] 353:4</p> <p>learning [6] 90:14 321:22 322:25 330:13 345:10,16</p> <p>learnings [2] 99:4,16</p> <p>least [11] 19:7 210:17 239:3 256:13 273:21 277:2 280:18 339:9 393:25 402:10 410:19</p> <p>leave [4] 52:14 84:1 149:11 325:4</p> <p>leaves [2] 47:2 266:25</p> <p>leaving [1] 167:3</p> <p>lecture [3] 214:23 342:18 342:19</p> <p>lectures [4] 339:17 341:25 342:20 381:2</p> <p>led [3] 96:21 177:4 259:21</p> <p>left [10] 29:22 140:17 141:15 142:4 150:22 165:7 198:15 204:15 273:4 375:2</p> <p>less [4] 263:8 264:10,19 304:21</p> <p>lesser [1] 28:25</p> <p>letter [15] 47:19 52:18 64:10 82:24 100:18,20 101:10 108:4 167:1 224:12 274:16 281:19,20 281:23 314:21</p> <p>letting [1] 242:17</p> <p>level [6] 358:22,22 382:19 385:25 399:19 417:7</p> <p>levels [2] 397:10 399:24</p> <p>Levey [1] 355:12</p> <p>Levey-Jennings [1] 356:12</p> <p>licensed [1] 407:3</p> <p>life [1] 114:25</p> <p>light [4] 98:14 278:4,13 315:21</p> <p>likely [4] 72:9 73:5 306:3 307:8</p> <p>likewise [1] 115:7</p> <p>limit [1] 418:8</p> <p>limitations [1] 87:5</p> <p>line [4] 81:8,10 82:22 186:25</p> <p>lines [4] 77:25 97:25 369:15 383:25</p> <p>link [1] 407:1</p> <p>linkages [1] 65:23</p> <p>linked [6] 81:6,7 184:17</p>	<p>196:20,22 282:19</p> <p>linking [2] 80:16 81:5</p> <p>list [11] 3:1 83:22 180:14 180:23,24 181:5,9 185:3 185:6 196:6,22</p> <p>listening [1] 171:1</p> <p>literature [1] 87:4</p> <p>litigation [3] 88:13 157:7 157:11</p> <p>lived [1] 406:10</p> <p>lives [1] 406:18</p> <p>loafed [1] 140:16</p> <p>loafing [1] 140:11</p> <p>located [1] 346:16</p> <p>locked [1] 188:9</p> <p>log [3] 336:20 360:7 390:9</p> <p>logged [1] 43:24</p> <p>logistically [1] 58:11</p> <p>logistics [1] 22:5</p> <p>logs [1] 396:25</p> <p>longer [2] 202:3 419:9</p> <p>look [45] 5:1 9:9 11:6 22:2 25:14 40:11,20 44:24,24 56:24 63:9 82:1 83:19 85:18 102:21 118:3 150:13 164:10 198:24 211:23,24,25 234:8,9,12 240:1 241:4 244:21,24 249:6 264:21 265:11 274:14 278:3 290:14 304:13 307:6 346:14 373:20 378:14,18 383:4 388:4,11 389:11</p> <p>looked [10] 49:1 51:13 167:3,4 245:6,7,18,18 348:25 412:22</p> <p>looking [45] 11:25 13:22 20:19 21:14 36:5 40:17 49:8 59:6,6 62:5 74:12 75:1 98:13,17,24 100:4 167:16 172:9,10 175:10 183:14 187:13 197:14 237:22 242:7,8,11 256:18 256:20,21,25 263:5 264:7 265:22 267:15 273:7 277:15 302:2 303:7 305:24 307:5 346:21 354:10 358:5 414:9</p> <p>looks [3] 171:8 247:2 356:6</p> <p>loop [1] 164:3</p> <p>losses [1] 208:3</p> <p>Louise [1] 204:16</p> <p>LUNCH [1] 232:2</p> <p>Lynn [8] 82:25 353:15 364:7 365:16 369:5 375:20 379:23 387:25</p>	<p>406:15</p> <p>maintain [1] 133:11</p> <p>maintained [1] 162:21</p> <p>maintaining [1] 408:16</p> <p>maintenance [6] 40:18 40:23 334:11 336:5 388:23 405:3</p> <p>Majesty [2] 1:8 202:23</p> <p>major [9] 46:14 68:6 113:18 117:22 207:22 399:2 404:4,4 409:3</p> <p>majority [1] 39:22</p> <p>Makarla [4] 130:17,19 131:10 167:4</p> <p>makes [1] 25:18</p> <p>manage [2] 113:14 220:1</p> <p>management [45] 14:25 16:24 33:25 41:25 57:9 59:18 68:1 69:8,15 82:2 111:21 112:17 114:18 129:25 189:3 215:7 342:5 351:18 355:9 357:1 366:6 377:4 382:23 395:2,8,12 395:21 396:8,11,14 399:19 400:7 406:20 408:11 410:20,21 413:4 414:15,18,20 415:8,15 415:17 416:2,10</p> <p>manager [40] 31:20 65:2 65:2,14 79:16 111:12,13 112:21 114:3 116:2 162:19,20 163:6,22,25 189:10 194:13 209:15 211:6 212:3 214:10,16 216:2 219:7,13,16 220:1 230:15 231:3 233:3,24 293:12 297:23 397:6,15 399:5,12 409:7,9 413:10</p> <p>manager's [3] 51:23 121:25 217:10</p> <p>managerial [2] 65:24 353:5</p> <p>managers [12] 113:20 116:4 121:10,14 189:16 213:3 219:19 266:8 352:4 352:4 353:13 355:20</p> <p>mandate [1] 202:6</p> <p>mandatory [4] 349:15 387:2 407:5 409:8</p> <p>manger [1] 295:7</p> <p>manners [1] 196:15</p> <p>manual [13] 58:24,25 152:23 153:1 270:12,15 270:18,20 271:1 386:16 386:21 388:5 402:3</p> <p>manually [1] 184:12</p> <p>manuals [2] 334:7 386:21</p> <p>manufacturer's [1] 334:8</p> <p>mapped [1] 65:19</p> <p>March [11] 63:21 82:12 211:6 214:9 237:24 239:17 240:4,8 247:3,15 380:16</p> <p>Margaret [1] 420:6</p>	<p>Maria [4] 167:9,14 183:25 186:21</p> <p>Mark [1] 1:14</p> <p>marked [2] 7:11 165:22</p> <p>markers [1] 18:7</p> <p>Mary [5] 118:23,24 119:25 137:1 188:1</p> <p>master [1] 180:16</p> <p>match [1] 124:23</p> <p>material [4] 184:2 298:14 355:10 359:3</p> <p>matrix [1] 65:10</p> <p>matter [7] 92:21 179:11 291:4 297:11 353:13 355:21 420:3</p> <p>matters [2] 233:19 394:25</p> <p>may [93] 25:25 27:10,10 27:12 29:8 35:24 38:11 41:6 44:9 48:11 49:10 51:4 52:18 58:8 66:24 77:14,20 84:24 86:5 87:19,23 88:15 97:8 100:13 110:2 114:2 115:19 133:5,25 147:16 148:23 150:10 155:21 157:5 168:10,12,21,25 169:7,11,11,15 170:20 174:8,12 177:9 178:6 182:16,16 183:9,20,21 185:22 189:14 190:5,25 190:25 191:23 192:1 193:21 194:19 196:6,9 196:17 203:2,5,21 207:4 207:5 212:21 221:21 222:3,3,7,21 225:9 228:5 228:8 241:25 242:3,5 244:24 250:2,16 258:5 259:24 262:5 280:17,20 310:5 338:8 352:4 394:11</p> <p>May/June [1] 228:21</p> <p>MCP [1] 369:23</p> <p>mean [50] 5:8,14 11:25 18:2 27:24 30:19 45:20 49:17,19 52:4 69:21 77:8 78:17 80:19 93:6 100:8 108:23 109:1 113:9 121:3 129:9 135:17 143:1 173:24 196:25 212:19 214:18 218:8 222:17 231:8 235:6 242:19 249:1 259:10 288:3 291:17 293:5 297:1 308:20 319:10 321:6 324:16 350:23 361:16 363:13,14 393:9 410:25 413:5 415:20</p> <p>meaningful [1] 287:7</p> <p>means [4] 42:7 273:25 345:13 420:10</p> <p>meant [5] 127:14 135:10 159:22 274:9 360:22</p> <p>meantime [5] 87:6 89:2 388:17 393:12 394:1</p> <p>measurement [1] 234:13</p> <p>measures [1] 411:12</p> <p>mechanical [1] 329:21</p>
<p>-M-</p>				
<p>MAC [2] 229:12,14</p> <p>Madam [1] 7:14</p> <p>mail [1] 273:4</p> <p>main [8] 59:21 134:15 271:10,13,17,21 272:17</p>	<p>196:20,22 282:19</p>	<p>406:15</p>	<p>Maria [4] 167:9,14 183:25 186:21</p>	

<p>mechanism [2] 318:17 318:21 meddling [1] 296:16 media [2] 174:6 277:9 medical [20] 1:14 65:11 65:24 323:7 328:3 338:6 343:16 345:14,21 346:14 351:3,16 352:13 359:8 359:16 363:19 406:5,25 407:9,17 medicine [11] 35:19 69:19 114:10 128:25 265:21 409:6,12,14,22 412:24 414:25 Meditec [15] 8:19 15:9 15:16 16:2,10,21 17:1,3 18:2,5,16,21 200:10,14 201:11 meet [6] 21:17 29:19 61:13,20 62:17 276:23 meeting [41] 13:10,10 22:16 25:16,19,25 26:5 29:18 30:3,16 31:7 48:11 62:12 82:14 121:10 122:22 128:24 130:11 131:3 155:25 156:3,5 157:2 158:5,9 164:6,7 164:16,21,23 189:3 196:2 224:11,12,16 234:18 235:25 237:8 253:19 273:9 274:12 meetings [22] 116:4 121:25 213:22 218:5 221:1,2,5,14 230:14,15 230:17,20,21 231:3,9,11 231:11 235:10 264:3,4 276:3 413:5 member [3] 349:15,18 349:22 members [9] 1:12 233:14 316:11 349:6,7 349:11,14 354:22,23 membership [1] 350:6 membraneous [1] 324:21 memo [14] 57:16 250:2,6 250:6,8,14,21 251:1,4 253:11,12 307:25 314:21 393:19 Memorial [1] 215:16 memory [2] 180:5 360:2 memos [1] 250:1 Mendes [4] 167:9,14 184:1 186:21 mention [2] 221:24 276:16 mentioned [22] 67:10 173:4,8 186:24 210:1 215:13 219:6,25 220:18 233:1,2 246:4 247:24 252:18 261:11 262:21 266:12 276:16 333:1 360:9 367:10 409:20 merged [1] 206:21 merger [2] 207:5 226:10 mergers [1] 295:19 message [4] 273:4 304:3</p>	<p>304:14,22 met [10] 24:22 25:5 29:22 29:25 62:15 135:8 136:21 246:12 276:22 393:19 method [4] 72:11 73:6 73:20 331:22 methods [5] 84:9 85:14 91:13 271:19 272:18 microbiology [1] 265:23 microns [2] 194:9,10 microscope [2] 339:2 388:23 microtomy [1] 51:22 mid [2] 123:14 185:14 midst [1] 112:10 might [58] 11:2,6 15:13 19:14,17 23:18,20 27:9 29:16 44:10 48:25 49:1 49:18 63:4 74:11 80:19 81:10 89:22 90:22 92:16 99:13 105:5 112:5 116:25 119:24 126:2,3 156:15 157:18 169:1 170:1,8 171:4 173:3 174:20 180:3 180:5 186:9 190:15 191:4 191:5 205:12 261:21 262:5 276:23 288:5 300:5 301:4 307:8 309:11 319:24 329:15 341:11 361:8 365:15 387:25 398:22 414:2 mind [7] 18:25 24:6 263:20 308:12 314:10 362:18 363:2 mini [1] 35:18 minimal [1] 40:22 minister [20] 83:22 84:8 85:12 91:12 92:22 132:12 172:12,17 173:1,4,4,8 203:20,21 204:1,6,7,11 205:11,11 minute [3] 175:19 178:12 249:25 minutes [10] 82:2 84:24 142:7,9 149:20 151:4,8 229:12,14 403:13 misinterpreted [1] 307:1 missed [9] 19:6,7 21:11 165:25 166:4 183:15 186:6,17,17 missing [1] 196:7 mistake [1] 24:20 misunderstanding [2] 242:4,6 misunderstood [2] 266:19 268:1 mixed [1] 284:7 MLAs [1] 352:2 MLTs [1] 352:2 mode [1] 298:23 model [1] 353:4 models [2] 351:20 352:12 modernizing [1] 65:16</p>	<p>modules [1] 351:18 moment [2] 405:5,6 Monday [8] 22:15 83:24 206:10 237:8 273:9 274:12 319:22 320:12 money [4] 129:23 242:16 243:6 339:8 monitor [5] 316:17 317:5 317:9,21 395:17 monitored [7] 42:18 76:15 133:2 144:1 311:24 366:5 396:20 monitoring [13] 34:1 91:17 92:6,9,11,24 93:2 93:5,12 316:17 376:17 396:25 408:18 month [9] 58:10 114:1,2 114:21,22 115:13 122:2 122:4 381:1 monthly [4] 40:23 116:4 334:10 336:5 months [7] 49:13 58:2 117:25 191:4,6,7 257:22 morale [2] 222:21 223:4 morning [18] 4:6,6,9 6:8 7:2,12 128:22 131:25 196:2 206:6 233:1 237:24 238:6 280:21 310:14 333:21 379:6 419:18 mornings [1] 343:10 Morris [1] 375:20 Morris-Larkin [7] 82:25 130:16 360:8 365:16 369:5 379:23 393:18 Morris-Larkin's [1] 364:8 Moss [2] 420:2,13 most [22] 5:1 22:4 40:2 45:23 46:4 72:9 73:4 100:22 141:14 181:16 213:1 222:15 237:25 291:5 304:20 353:4 357:23 358:15 376:16 403:2,7 408:17 mostly [5] 20:18 297:2 300:22,23 338:16 Mount [22] 118:17,24 119:5 120:18 122:19 124:9 125:5,7 127:1,18 167:15 185:5 187:23 196:8,18 277:15 279:1 280:1 304:8,16,19 305:5 mouse [3] 189:4 195:25 232:14 move [9] 30:21 209:2,13 209:18 222:17,21 249:24 346:21 411:6 moved [11] 206:12 208:9 209:5,7 210:10,16 239:11 239:13,13 397:16 406:11 moving [2] 54:22 279:17 Ms [318] 4:2,9 22:3 25:15 27:7 29:19 31:14 35:13 39:22,24,25 50:22 52:21 56:5 57:25 58:21 61:19 64:18 80:21 83:20 84:16</p>	<p>85:21 86:3 96:8 98:3 100:6,9 121:12 128:21 130:4 132:3,19,20 143:7 143:11 149:6 156:7,15 158:5 165:10 168:4 170:23 177:5 180:13 184:20 190:8 202:15,18 202:19,20,25 203:3,10 203:18,25 204:8,21,25 205:4,9,17,23 206:1 234:10 248:13 261:11 275:5 276:4 278:19 280:21 283:8 291:9 298:9 299:7,8,9,25 300:7,12 300:17,25 301:7,13,18 302:1,7,14 303:6,14,21 304:2,12,25 305:13,20 305:25 306:12,20 307:4 307:14 308:6,10,21,25 309:8,13,18,23 310:4,10 311:3,10 312:3,7,12,20 313:1,9,20 314:1,5,17 314:25 315:7,11,18,24 316:9 317:1,10,14,18,24 318:3,8,16,25 319:6,14 319:21 320:8,20 321:1,8 321:13 322:3,10 323:2 323:14,19 324:2,13,24 325:6,17,25 326:4,14 327:4,17,21,25 328:8,15 328:19 329:2,7,20 330:2 330:12,25 331:8,12,21 332:1,8,13,18,24 333:5 333:10,17 334:3,21 335:5 335:9,11,15,20 336:3,10 336:19,24 337:3,14,22 338:3,4,12,24 339:5,11 339:18,23 340:5,10,14 340:22 341:3,9,20 342:2 342:6,10,14,22 343:2,6 343:11,22 344:3,8,12,17 344:22 345:2,25 346:4 347:15,21 348:2,8,15,19 348:23 349:4,10,19,25 350:4,10,14,19 351:2 353:18,22 354:4,9,16,21 355:24 356:8,15,20 357:2 357:3,6,13,20 358:1,10 358:18,24 359:5,13,18 359:23 360:6,15,21 361:2 361:6,11,15,21 362:4,10 362:16,21 363:1,9,16 364:10,14,20 365:4,9,19 366:7,12,16,21 367:4,14 367:20,25 368:6,11,15 369:6,13,22 370:1,7,16 370:23 371:4,8,18,22,24 371:24,25 372:11 381:16 392:15 394:23 410:9 multi-productivity [1] 236:11 multiple [9] 21:4 119:14 119:14 196:14 302:25 303:4 360:25 361:1 381:17 Mundon [1] 86:15 Murphy [2] 219:9 220:6 muscle [5] 320:15,18,22 321:2,19 must [19] 26:15 27:25 42:22 43:22 61:22 123:11</p>	<p>123:24 124:5 127:14 156:17 185:21 229:19,20 266:19 345:8 365:2 375:5 406:23 407:8 <hr/>-N-<hr/>n [3] 82:22 164:18,18 naïl [1] 161:1 naïve [1] 244:23 name [9] 83:1 88:9 202:21 206:6 219:9 220:16 283:4 370:2 392:15 national [4] 87:5 99:7 339:12 341:5 naturally [1] 291:24 nature [10] 55:9 214:23 274:17 326:1,3 370:14 371:1,3,14 383:1 necessarily [8] 5:23 110:5 297:17 345:21 356:9 363:17 368:20 412:1 necessary [3] 316:13 351:4,24 need [26] 18:20 45:14 76:20 84:2 94:18 99:7 149:3 162:21,24 171:10 171:12 176:24 177:1,10 180:22 181:2 184:9 244:13 296:8 304:9 317:8 333:6 336:4 377:7 384:1 413:8 needed [7] 38:10 59:23 289:18 303:15 379:19 403:6 407:22 needs [5] 76:14,19 91:16 311:24 401:6 negative [20] 5:3,21 23:2 71:10 72:14,19 124:20 127:17 304:8,17,19 308:5 324:18,18 365:12 391:10 391:12,14,16 392:2 negativity [1] 324:16 negotiate [1] 215:2 neither [1] 249:14 NEQAS [7] 55:12,13,13 271:1,6 272:1 408:20 never [30] 15:7 32:21 46:24 47:10 48:4,4,7 81:8 109:6 119:22,22 160:9 188:22 212:8,9 225:25 226:22,22 228:13 229:16,19 257:1 273:13 275:24 288:2 315:15 316:21 337:4 370:24 392:15 Nevertheless [1] 282:4 new [58] 6:17 12:25 43:2 46:19 52:1 70:13 77:19 82:7 114:7 115:18 129:7 129:11,13 132:5 135:6 161:22 162:3 180:19 212:3 217:7 228:25 237:1 302:18 303:10 321:17 326:16,16 327:10,11 330:17,17 337:5,7,15</p>
--	--	--	---	---

<p>345:16 346:20 350:6 357:2 367:15 369:9 382:12 384:14 386:2 389:23 392:14 399:10 400:7,8,21,22 401:1 407:16 408:4,12 409:7 413:15,16 416:1</p> <p>Newbury [238] 1:15 2:7 298:9 299:7,8,9,11,25 300:7,12,17,25 301:7,13 301:18 302:1,7,14 303:6 303:14,21 304:2,12,25 305:13,20,25 306:12,20 307:4,14 308:6,10,21,25 309:8,13,18,23 310:4,10 311:3,10 312:3,7,12,20 313:1,9,20 314:1,5,17 314:25 315:7,11,18,24 316:9 317:1,10,14,18,24 318:3,8,16,25 319:6,14 319:21 320:8,20 321:1,8 321:13 322:3,10 323:2 323:14,19 324:2,13,24 325:6,17,25 326:4,14 327:4,17,21,25 328:8,15 328:19 329:2,7,20 330:2 330:12,25 331:8,12,21 332:1,8,13,18,24 333:5 333:10,17 334:21 335:5 335:9,15,20 336:3,10,19 336:24 337:3,14,22 338:3 338:4,12,24 339:5,11,18 339:23 340:5,10,14,22 341:3,9,20 342:2,6,10 342:14,22 343:2,6,11,22 344:3,8,12,17,22 345:2 345:25 346:4 347:15,21 348:2,8,15,19,23 349:4 349:10,19,25 350:4,10 350:14,19 351:2 353:18 353:22 354:4,9,16,21 355:24 356:8,15,20 357:6 357:13,20 358:1,10,18 358:24 359:5,13,18,23 360:6,15,21 361:2,6,11 361:15,21 362:4,10,16 362:21 363:1,9,16 364:10 364:14,20 365:4,9,19 366:7,12,16,21 367:4,14 367:20,25 368:6,11,15 369:6,13,22 370:1,7,16 370:23 371:4,8,18,22,24</p> <p>Newfoundland [9] 20:21 98:15 169:22 225:16 299:12 407:4,8 420:8,11</p> <p>Newfoundlanders [1] 108:16</p> <p>newly [1] 400:19</p> <p>news [3] 46:20 158:13,15</p> <p>next [21] 6:8 7:2,12 10:16 77:3 140:18 179:2 229:7 234:22 236:10 252:5 355:2 383:13,23 386:14 388:20 389:8 394:6 404:23 412:21 419:17</p> <p>nice [1] 22:9</p> <p>nightmare [2] 20:13 21:8</p> <p>nights [1] 406:18</p>	<p>nine [3] 20:21 117:25 244:6</p> <p>NIST [1] 41:18</p> <p>NL [3] 1:8,14,15</p> <p>NLCHI [1] 197:9</p> <p>nobody [1] 249:13</p> <p>non [5] 310:20 312:14 349:6 354:22 390:15</p> <p>non-patient [3] 234:25 235:8,9</p> <p>non-quantitative [1] 159:1</p> <p>non-specific [7] 75:13 76:12,16 311:1,12,17 314:12</p> <p>none [7] 15:12 26:7 42:1 143:24 298:3 321:12 357:24</p> <p>nor [1] 306:16</p> <p>normal [2] 199:25 289:1</p> <p>normally [3] 199:24 296:20 384:19</p> <p>North [2] 339:15,22</p> <p>note [7] 15:23 26:7,11 27:4,16 219:25 304:5</p> <p>noted [3] 360:10,10 377:8</p> <p>notes [12] 8:12 25:16,19 25:25 26:4,9 84:25 130:12 131:12 276:3,7 333:24</p> <p>nothing [12] 11:4 45:15 45:19 58:18 131:11,19 158:15 186:12 251:13 257:17 293:9 308:9</p> <p>noticed [2] 48:23 230:12</p> <p>noticing [1] 188:12</p> <p>notified [3] 57:18 168:12 232:14</p> <p>noting [1] 177:16</p> <p>notion [5] 89:2 218:18 230:4 234:2 235:19</p> <p>November [13] 36:5,11 50:22 83:21 86:14 89:20 92:5,24 132:13,19 186:22 187:19 189:3</p> <p>now [148] 14:9,13 20:1 22:21 23:2 33:25 34:5,7 35:10 43:1,24 44:2 70:11 75:24 76:24 79:18 82:10 82:13 88:16 96:6,19 103:20 109:4 111:1 116:8 116:22 117:11 118:7 123:3 126:5 128:4 135:6 136:2,15 144:15,15 146:5 147:10 148:8,11 152:2 153:18 154:4,9 158:12 159:16 161:14,25 162:1 163:1 169:21 170:23 175:13 176:20 180:13,21 181:7,8 184:14,15 185:14 186:8 192:11,16,19 202:2 204:17 214:9 219:6 226:15 227:12 228:16 232:11,14,25 234:8,8,17 235:4 237:16,22 240:7 243:9 249:24 252:18</p>	<p>263:24 265:16 270:11 273:12,20 277:20,20 278:14 280:4,23 303:23 322:1 327:5 332:14,19 334:2 338:7 340:2,19 341:24 342:17,17 351:5 353:10,17,23 355:19 357:4 358:2 365:20 367:9 367:15 371:7,10,13 374:10 375:1,23 376:24 377:3 379:10 380:3 382:3 383:18 384:4 386:14,21 386:22,24 388:3 389:2 389:18 391:11 392:2 395:18 396:13 401:9,24 406:24 408:7 412:16 413:1 419:15</p> <p>nowhere [1] 319:7</p> <p>NSH [3] 338:17 339:12 340:16</p> <p>nuclear [5] 306:17 307:6 308:4 312:19 324:21</p> <p>nuclei [1] 360:11</p> <p>number [60] 7:7,11,25 8:2,3 20:19 27:24 42:21 43:16 46:21,24 54:8 72:4 84:2,7 182:19 184:9 185:6 196:20,21 197:2 197:20 198:6 199:10,17 199:17 201:6,8,21,23 206:7 304:14 310:14,16 325:10,14,16 346:6 347:5 347:7 361:7,10,14,22 362:22 367:5 373:22 378:6 388:21 391:10,24 394:11,25 397:23 399:7 410:17 411:22 412:2,5 416:23</p> <p>numbers [9] 8:10 10:7 43:9 125:23 196:11,12 196:17 356:13 369:23</p> <p>numerous [1] 162:9</p> <hr/> <p style="text-align: center;">-O-</p> <hr/> <p>o [4] 164:18,18 182:12 358:4</p> <p>o'clock [1] 140:16</p> <p>objectives [7] 114:7 240:19 248:15,16,18,19 408:7</p> <p>obligation [1] 393:5</p> <p>observation [1] 317:3</p> <p>observe [1] 343:3</p> <p>observed [2] 64:24 294:24</p> <p>obtain [1] 184:20</p> <p>obtained [1] 87:7</p> <p>obviously [8] 92:21 113:2 122:25 123:24 153:14 186:1 278:17 335:10</p> <p>occupying [1] 392:14</p> <p>occur [5] 60:18 222:1 244:25 305:11 376:11</p> <p>occurred [10] 84:3 85:10 86:21 108:11 132:22 148:8 157:22 159:16</p>	<p>226:11 253:4</p> <p>occurrence [14] 307:10 362:11 367:7,9,10 369:7 369:12 370:12,15,18,21 371:7,14,15</p> <p>occurrences [9] 143:25 215:4 363:20 365:25 366:1,5 367:16 370:6,8</p> <p>occurring [1] 25:10</p> <p>October [8] 64:12 75:24 76:4,8 185:1,14,14 276:5</p> <p>odd [1] 45:22</p> <p>of1997 [1] 191:1</p> <p>off [46] 55:19 75:8 82:23 83:10,13 110:10,16 111:7 111:9 129:8 137:22,25 139:23 141:21 149:9 150:9,18 151:25 153:3 158:22,23 159:23 198:25 306:18 322:21 323:18 325:2 326:9 335:1 376:6 376:9,22 378:12,23 383:19 388:7,8,18 390:4 390:6 393:5 402:1 416:8 418:1,2,3</p> <p>offence [1] 281:11</p> <p>offer [2] 315:25 407:24</p> <p>offered [3] 343:24 357:15 358:20</p> <p>offering [1] 346:19</p> <p>offerings [1] 358:11</p> <p>offers [1] 345:15</p> <p>office [9] 25:5 29:25 30:8 160:9,10 161:25 168:20 177:8 188:9</p> <p>offices [3] 161:14 162:1 162:3</p> <p>official [4] 58:19 83:7 111:9 134:4</p> <p>officially [2] 137:24 230:8</p> <p>officials [1] 286:15</p> <p>offset [2] 410:20,21</p> <p>often [2] 121:24 297:10</p> <p>old [4] 28:9,14,16 292:14</p> <p>once [21] 33:20 114:5,20 114:22 115:13 122:4 161:15 261:22 276:22 289:7 333:17 376:2,4,9 377:13,22,25 378:3 384:3 384:11 404:22</p> <p>oncologist [2] 5:17,24</p> <p>oncologists [2] 14:2,2</p> <p>one [176] 4:12 5:19 7:25 8:2 9:10,23,24 13:9 15:11 19:7 20:4,16 29:18 31:1,23 32:8 35:25 36:6 36:13 37:14 40:15 52:10 54:2,2 55:10 59:21 60:3 74:25 81:20 82:7 83:7 84:2 85:1 88:16 91:16 102:6 103:24 104:5 105:5 109:2 111:9 115:23 117:23 118:3 120:20 127:23 133:3,23 136:1,1 137:5,9 142:9 145:15 149:6 151:8,18 168:8</p>	<p>170:1,8 178:1 181:2 185:8,24 186:5 188:1,1 188:2 197:15 216:16 219:1,2,20,20 220:6 224:11,12 229:7 233:2 236:15 239:13,13 242:9 242:10,18,18 243:5 244:18,22,25 245:8 246:2 246:20 255:12 257:18 258:2,16 259:15,15,17 260:4,13 261:3,16 265:17 266:7,13 267:21,22,25 270:2 272:13,15 288:5 292:1,19,19 301:1 302:23 304:14 308:2 314:11,20 316:19,25 320:11 328:4 330:9 337:20 339:9,15 339:19 340:15,20 341:4 343:9,9 344:1 346:11 347:8 351:7,10,12 358:22 359:25 361:5 365:1 368:16,20,25 370:24 371:13 372:25 374:5 375:9 380:9 381:7 382:4 387:5 390:4,6,15 395:18 396:11 404:10,11,11 406:14 409:14,22 411:5 411:8 412:6,8,12,15</p> <p>ones [11] 4:21 54:19,22 121:18 140:25 148:19 153:16 158:24,25,25 369:15</p> <p>ongoing [4] 76:19 87:1 345:14 378:11</p> <p>online [1] 101:16</p> <p>Ontario [2] 41:16 246:10</p> <p>onto [1] 271:23</p> <p>open [5] 30:24,24 31:14 288:18,21</p> <p>opening [1] 83:24</p> <p>operating [26] 40:12 58:24 69:3,10,12 315:4 315:20 316:2 317:4 318:5 334:7,22 335:23 374:6 375:15 376:22 378:12,22 380:1 381:23 382:3 383:16 384:7 385:19 386:17 388:5</p> <p>operations [3] 113:21 114:4 409:2</p> <p>opinion [5] 28:4 73:13 97:2,11 286:22</p> <p>opportunities [3] 345:17 396:12,15</p> <p>opportunity [3] 108:5 402:14 410:1</p> <p>opposed [4] 228:24 306:4 345:20 371:1</p> <p>optimization [13] 51:21 72:10 73:5,18,22 75:13 75:25 76:11 310:20 311:12,22 313:10,13</p> <p>optimized [2] 313:16,16</p> <p>optimized [3] 311:16 312:1,1</p> <p>optimizing [4] 313:19 313:24,25 314:8</p> <p>options [1] 382:5</p>
---	---	---	--	--

<p>order [7] 146:16,17 187:10 198:23 200:21 382:16 384:6</p> <p>ordered [7] 19:8 198:7 198:11 199:21 200:11,14 289:18</p> <p>ordering [5] 197:3,21 199:11,18,19</p> <p>orders [2] 146:16 199:25</p> <p>organization [16] 44:14 91:23 94:6,19 96:15,17 96:24 97:6 114:10 347:18 349:12 350:7 353:5 387:11,17 395:10</p> <p>organizational [4] 20:13 21:8 65:7 68:25</p> <p>organizations [1] 26:24</p> <p>organized [2] 21:9 334:9</p> <p>original [23] 103:2 105:6 105:11 122:19 123:16 125:11 126:16 150:15 151:18,19 180:16,21,23 196:8,12,17,20,22 197:1 197:6 198:3 199:2 304:17</p> <p>originally [1] 144:16</p> <p>originals [1] 180:20</p> <p>originated [1] 60:1</p> <p>originator [1] 82:21</p> <p>ORs [2] 56:3 380:14</p> <p>Oscar [2] 180:11 189:14</p> <p>otherwise [2] 12:14 50:23</p> <p>Ottawa [1] 246:11</p> <p>ought [1] 359:6</p> <p>out-of-town [3] 196:19 196:23,24</p> <p>outcomes [4] 65:22 159:7,11 396:18</p> <p>outline [4] 22:16 25:6 152:10,14</p> <p>outlining [1] 386:16</p> <p>outside [6] 17:7 26:18 53:2 200:13 245:15 278:3</p> <p>over-stain [1] 311:1</p> <p>over-staining [2] 75:20 305:10</p> <p>overall [8] 17:17 39:9 128:7,15 159:12,19,25 276:13</p> <p>overcome [1] 229:6</p> <p>overlooked [1] 186:14</p> <p>overnight [1] 218:9</p> <p>oversee [1] 379:12</p> <p>overseeing [1] 133:9</p> <p>overtime [7] 241:15,16 241:18,22 243:10,13,14</p> <p>own [23] 55:16 61:5 84:25 192:16,25 201:21 210:4 210:6 217:18 249:18 291:2 296:8 320:22 350:15 352:22,25 353:4 367:18 371:15 387:4 414:13 415:2,8</p>	<p style="text-align: center;">-P-</p> <p>P [3] 164:18 182:12 406:13</p> <p>P-0046 [2] 64:9 309:1</p> <p>P-0047 [2] 36:6 333:12</p> <p>P-0048 [2] 35:12 372:13</p> <p>P-0056 [1] 366:23</p> <p>P-0101 [1] 100:17</p> <p>P-0114 [1] 155:19</p> <p>P-0154 [2] 85:19 280:14</p> <p>P-0277 [1] 53:15</p> <p>P-0455 [1] 168:2</p> <p>P-0488 [1] 189:1</p> <p>P-1745 [1] 25:14</p> <p>P-1746 [1] 22:2</p> <p>P-1831 [1] 167:7</p> <p>P-1919 [1] 263:22</p> <p>P-1927 [1] 228:16</p> <p>P-2110 [1] 82:1</p> <p>P-2157 [1] 116:8</p> <p>P-2304 [3] 3:3 164:5 165:22</p> <p>P-2311 [1] 270:11</p> <p>P-2317 [1] 265:16</p> <p>P-2356 [1] 360:1</p> <p>P-2361 [2] 273:3 304:13</p> <p>P-2362 [1] 83:19</p> <p>P-2380 [1] 195:19</p> <p>P-2409 [3] 3:2 132:7,8</p> <p>P-2429 [3] 3:2 132:7,8</p> <p>p.m [2] 179:1,1</p> <p>PA's [1] 400:6</p> <p>package [2] 288:19,22</p> <p>page [42] 22:6 40:21 51:18 64:12,23 86:21 104:15,17,21 122:8,10 129:2 132:20 164:10 168:8 189:2 240:8 241:5 242:4 246:22 263:24 310:13 345:3 346:5,11 350:21 351:7,11,12 352:14 355:1,2 358:5 360:7 367:6,8 368:18 374:3,4 383:15 388:20 389:8</p> <p>paid [1] 48:18</p> <p>pain [1] 406:8</p> <p>Pam [1] 130:21</p> <p>Pamela [1] 1:12</p> <p>Pandora's [1] 23:22</p> <p>paper [5] 58:18 69:24 70:1,10 158:14</p> <p>para [1] 281:11</p> <p>paragraph [4] 236:11 263:25 345:5 346:15</p> <p>paragraphs [1] 134:22</p> <p>Parai [4] 218:5 248:24 249:15 250:13</p> <p>parallel [4] 299:18,20 299:21 302:10</p> <p>parallels [1] 307:23</p>	<p>parameters [1] 191:9</p> <p>paraprofessional [1] 281:20</p> <p>paraprofessionals [1] 281:17</p> <p>Pardon [3] 95:18 227:21 255:18</p> <p>Parnell [4] 130:4,6 220:22 357:2</p> <p>Parnell's [1] 82:23</p> <p>part [37] 22:4 73:22 88:23 129:24 151:16 166:4 181:16 213:24 225:10 233:20 242:15 245:9 274:20 291:5,7 295:21 304:14 321:3 326:6 329:13 330:5 331:14 334:5,12 351:8 351:10,13 352:1,15 354:25 376:16 379:10 384:7 395:20 402:10 403:7 408:17</p> <p>participants [2] 271:22 352:18</p> <p>participating [1] 314:8</p> <p>participation [1] 408:20</p> <p>particular [27] 5:7 13:17 24:10 35:25 57:17 58:5 73:8 82:14 158:19 273:6 289:17,24 294:10 302:3 315:2 316:7 318:9 350:7 350:21 351:15 370:9,11 385:7 386:23 390:22 399:19 402:23</p> <p>particularly [3] 71:24 228:25 362:22</p> <p>parts [5] 37:25 38:2 51:14 100:15 356:5</p> <p>party [1] 205:5</p> <p>PAs [6] 148:9,14,20 374:22 412:23 413:21</p> <p>passed [4] 59:12 152:10 178:20 418:16</p> <p>past [3] 108:7 152:4 307:23</p> <p>Pat [2] 180:10 189:14</p> <p>Path [1] 92:10</p> <p>Pathological [1] 256:8</p> <p>pathologist [41] 6:13 7:18 30:12 50:2 52:4 57:21 122:12 147:4 148:25 153:18 154:13 160:8 197:3,21 198:11 199:11,18,19,20,25 200:1 200:11 250:7 264:1 267:2 267:15 268:19 283:24 285:25 308:15 322:16 323:22 324:7 325:13 326:8 327:15 374:8 375:17 378:24 379:3 382:24</p> <p>pathologist's [1] 198:23</p> <p>pathologists [64] 14:16 46:13 52:5 55:17 65:18 67:2,19 92:13 99:6 115:24 143:18 146:15 147:2 161:23 197:1</p>	<p>208:20 220:2,12,14 223:20 225:19 229:5 231:2,10 252:8,11 257:11 260:2,6,13,18 262:6 268:21 269:1,12 273:11 273:14 280:25 282:16 288:6 289:22 292:20 293:20 294:2 300:21 301:9,14,19 303:9 304:18 308:2 324:10,11 326:21 342:21 375:2 378:19,24 380:21,23 393:4,14,20 407:23</p> <p>pathology [92] 4:12 8:23 20:14 42:3,14 45:11,21 47:5 48:15 49:9 51:22 60:23 82:2 87:11 92:7 112:21 113:6,7 122:9 123:5 129:5,14,25 148:10 151:22 182:6 198:25 209:15 225:7,10,15 228:22 237:10 246:25 253:18 257:5 265:23 266:13 267:1 268:10 280:22 283:12 284:4,6 284:12,23,24 285:8 287:7 289:8 290:17 329:17 331:17 332:2,4 342:9 355:23 356:19 363:18 367:22 374:11,12 375:1 375:9 376:24 378:21 379:1,12,20 386:23 397:6 397:10,17,24 398:5 399:24 400:1 401:4 402:22 403:12 406:12 407:12,19 408:6,12,19 409:4,21 415:3,5,7 416:2</p> <p>patience [1] 202:3</p> <p>patient [27] 10:13 19:7 48:12 52:12 180:17 181:3 182:6,20 185:7 186:6 188:13 234:24 235:5 262:18 355:16 391:13,13 391:16 392:2 393:16 395:18 401:11 405:16 406:16,23 407:2,10</p> <p>patient's [1] 97:10</p> <p>patients [48] 14:23 19:13 48:1,15 49:21 71:17 89:3 91:16 101:8 119:13 120:23 126:25 180:16,20 180:23,25 181:5,12,14 182:13,17,24 183:2,4,6 183:9,14,15,18,19 185:4 185:13,22 186:1,18,18 189:19 191:11,13,21 196:5,19,23 199:14 301:5 360:25 406:14 412:2</p> <p>pattern [1] 293:22</p> <p>pay [2] 12:16 118:22</p> <p>payroll [1] 116:2</p> <p>PD [1] 363:24</p> <p>pediatrics [1] 209:24</p> <p>peer [3] 121:6 276:16,21</p> <p>Pennell [1] 86:19</p> <p>people [36] 15:15 18:1,1 18:12,12 19:4 30:1,10 30:20 31:10,11 35:19 63:24 85:13 118:9 121:6 121:13 162:16 190:22</p>	<p>286:7,23 287:9 308:16 337:5,7 353:23 354:17 377:16,21,21 378:13 397:23 402:11 413:23 417:11,15</p> <p>people's [1] 24:6</p> <p>per [2] 184:1 196:2</p> <p>perceives [1] 274:20</p> <p>perceiving [1] 274:19</p> <p>percent [23] 9:19,20 10:13 27:5,5,17,20,22 28:1 29:8 122:19 123:15 123:21 125:11 126:15,19 127:20 324:11 375:5 398:12,23 400:2 407:16</p> <p>perception [3] 66:22 78:18 210:17</p> <p>perfect [1] 46:2</p> <p>perform [4] 51:20 235:16 355:6 401:5</p> <p>performance [2] 133:9 249:18</p> <p>performed [5] 23:5 160:20 283:14 408:3,19</p> <p>performing [8] 32:23 52:13 104:22 105:15 106:1 107:8 264:7 321:25</p> <p>perhaps [11] 17:25 49:25 77:13 88:12 96:19 97:4 131:20 333:11,17 347:11 366:22</p> <p>period [24] 9:7 13:12,13 58:10 84:5 86:23 90:7 136:22 149:24 210:15 233:12 237:22 238:1,11 247:2 283:10,11 285:7 294:18 295:7 398:3 410:16,23 418:7</p> <p>permanent [4] 129:17 129:23 242:18 243:5</p> <p>permission [4] 37:4 64:15 188:9 400:24</p> <p>person [26] 7:21 16:25 45:1 123:10 124:3 125:18 167:5 186:13 240:24 252:5 319:1 373:23 374:23 379:5,18,23 387:25 392:14,21 393:15 408:1 409:10 411:8,8,9 414:1</p> <p>personal [2] 215:24 406:18</p> <p>personally [1] 19:24</p> <p>personnel [3] 209:10 288:10 410:18</p> <p>perspective [2] 274:8 278:1</p> <p>pertinent [4] 256:11 259:1 334:16 357:25</p> <p>Peter [4] 1:9 2:5 206:4,6</p> <p>Pg [2] 3:2,3</p> <p>Pgs [7] 2:3,4,5,6,7,8,9</p> <p>pH [3] 42:18 74:15,17</p> <p>pH's [1] 32:24</p> <p>PhD [1] 408:2</p> <p>philosophy [1] 406:19</p>
--	---	---	--	---

<p>phone [20] 36:24 63:2,4 85:24 86:1,6 98:21 100:14 115:16 139:18,21 168:18 176:11,15 177:4 178:5 186:24 274:9,25 304:3</p> <p>phoned [6] 57:21 140:3 170:11,13 175:3 364:3</p> <p>phonetic [1] 363:25</p> <p>phoning [3] 182:17 183:18 185:22</p> <p>photocopy [1] 258:2</p> <p>photos [1] 323:10</p> <p>physically [2] 161:22 397:16</p> <p>physician [25] 5:11,18 5:25 6:12,25 7:5 11:2 12:15,18 47:3 74:9 93:4 93:8,16 153:23,23 219:2 264:16 306:19 322:9,23 327:9 338:23 341:17 377:17</p> <p>physician's [1] 88:9</p> <p>physicians [17] 92:11 153:8 162:1,23 206:7 272:4 292:19 313:6 314:13,16 323:6 326:12 342:1 364:5 365:15 377:11 416:18</p> <p>pick [6] 74:1 119:20 120:11 218:22 274:9,24</p> <p>picked [2] 97:5 114:16</p> <p>picking [2] 300:5 303:19</p> <p>picks [1] 107:19</p> <p>pictures [1] 158:14</p> <p>piece [2] 115:18 320:11</p> <p>Pike [3] 1:14 372:3,4</p> <p>pile [1] 4:21</p> <p>Pilgrim [4] 180:11,13 189:14 190:8</p> <p>PIP [1] 92:12</p> <p>pipette [7] 40:23 41:8,10 41:10,24 42:2 388:24</p> <p>place [68] 5:9 20:2 30:8 34:1,7 44:17,19 57:6 58:5 60:2 75:25 85:11 87:10 91:2,18,21 92:6 92:23 93:23,25 94:5,22 96:13 121:25 131:21 133:2 137:1,4 138:6,7 138:21 139:4,19 159:20 164:21,23 225:23 269:25 286:19 296:17 299:16 317:9 318:17 325:9 326:15,19 327:2 342:15 345:12 362:7 363:4 364:11 365:20,22 366:24 367:15 369:9 371:10 384:25 390:10,12 393:13 396:13,25 402:24 414:5 416:1 418:5</p> <p>placed [4] 150:14 204:14 295:6 381:22</p> <p>places [2] 296:9,11</p> <p>plan [18] 63:1,3 154:16 154:16 160:1 225:6,7,11 225:23 257:16 265:6</p>	<p>340:8,13 352:5,25 353:9 392:24 393:25</p> <p>plane [1] 298:19</p> <p>planned [1] 162:2</p> <p>planning [10] 65:21 213:22 214:5 225:3 237:24 239:16 297:4 352:17 385:25 386:8</p> <p>plans [3] 237:10,17 244:18</p> <p>plate [3] 55:5 58:14 407:13</p> <p>platform [3] 104:21 105:15 184:10</p> <p>pleased [2] 58:4 346:18</p> <p>plus [1] 180:15</p> <p>point [67] 6:4,6 24:11 30:19 49:6 59:20 61:24 63:25 67:1,11 68:5 69:9 75:10 90:5 92:13 93:19 102:3,5 106:11 111:7,13 119:6 136:15 137:16 138:6 143:25 144:12 145:5 147:20 164:9 170:24 173:16 179:24 182:14 185:21 212:13 220:3 221:3 224:6 225:4 230:21,24 231:23 238:16 241:15 243:9 269:3 270:9 273:21 276:22 278:24 286:5 288:4 294:17 303:15,23 313:14 316:19 317:7 326:5 348:9 350:22 363:3 365:5 375:17 376:4 412:8</p> <p>pointed [1] 49:11</p> <p>points [1] 203:6</p> <p>policies [24] 59:11 62:3 62:4 110:16,21 113:18 114:15 116:8,12,14,20 117:10,22 152:9 264:20 317:8 347:6 362:6 363:4 363:19 366:23 368:8 369:9 375:16</p> <p>policy [35] 80:22 81:1,14 81:18 82:24 83:2,3,10 111:6 117:17,22 152:8 152:22,25 153:5 260:17 260:20 261:2 363:12 367:6,8,11,15 368:1,16 370:9,12 371:10 382:4 387:8,22 388:11 390:2,7 418:2</p> <p>poor [1] 71:10</p> <p>poorly [1] 360:12</p> <p>portion [9] 12:16 13:1 39:10 87:16 91:25 92:20 100:6 374:25 414:7</p> <p>portions [3] 38:19 343:14 372:17</p> <p>pose [2] 309:9 317:11</p> <p>position [28] 31:20 111:12 112:20 113:2,3 115:1 129:17,20 130:2 204:15 217:11 219:11,13 238:22 242:9,10,19 247:15 390:21 392:14,16 394:8 400:7,8 406:20</p>	<p>408:12 409:1,7</p> <p>positions [16] 111:23 114:5 122:11,13 242:11 243:4,14 400:4,18,25 401:1 408:4 412:21,25 413:15,16</p> <p>positive [20] 5:2 9:16,19 9:20 13:13 23:3 72:12 300:6 303:5 304:6,18 307:3,5 308:14 310:18 311:6 390:16 392:1,22 393:13</p> <p>positively [1] 194:11</p> <p>positives [2] 13:12 124:19</p> <p>positivity [3] 4:20 5:21 324:16</p> <p>possession [1] 270:17</p> <p>possibility [5] 168:21 168:25 264:9 305:15 312:23</p> <p>possible [12] 118:18 184:3 195:17 223:24 224:4 250:13 252:1,4 305:3 306:2 308:12 356:22</p> <p>possibly [1] 368:24</p> <p>post [2] 76:6 400:24</p> <p>posted [2] 112:7 153:2</p> <p>potential [5] 242:7,8 244:24 352:4 353:6</p> <p>potentially [2] 81:6 262:3</p> <p>PR [4] 9:24 75:22 158:24 289:17</p> <p>practical [1] 117:6</p> <p>practice [8] 96:23 200:4 200:6 319:24 347:4 377:5 380:12 388:15</p> <p>practices [8] 94:25 95:14 261:3 407:22 408:16,18 412:9 416:14</p> <p>practising [2] 206:19 283:23</p> <p>pre-diluted [1] 42:20</p> <p>precipitate [1] 381:13</p> <p>precipitation [1] 381:12</p> <p>predates [1] 164:6</p> <p>predefined [1] 42:18</p> <p>Predham [14] 83:20 84:16 85:22 86:3 98:3 100:6,9 130:25 132:19 156:7 158:5 168:4 180:11 184:20</p> <p>Predham's [1] 156:15</p> <p>predictive [1] 101:7</p> <p>Premier [9] 171:4,20 172:3,5,9,20,22 173:6 203:5</p> <p>preparation [1] 290:16</p> <p>prepare [2] 352:24 353:8</p> <p>prepared [6] 39:20 141:9 204:13 230:6 316:2 372:24</p> <p>preparing [1] 315:3</p>	<p>prerequisite [1] 351:24</p> <p>present [2] 130:16 375:18</p> <p>presentation [2] 108:10 108:19</p> <p>preserved [1] 360:12</p> <p>pressure [8] 111:21 170:19 173:18,24,25 174:5 175:11 176:10</p> <p>presumably [7] 5:17 274:2 289:7 310:21 348:3 358:11 365:5</p> <p>pretty [12] 25:11 35:21 71:3 171:7,13 202:8 220:24 222:10 296:1 369:18,20 401:15</p> <p>previous [4] 10:20 42:24 43:2 219:6</p> <p>previously [3] 209:9 299:22 306:5</p> <p>primary [3] 42:19 114:7 406:16</p> <p>print [4] 7:1 8:1 10:25 346:15</p> <p>printed [8] 10:21 43:15 58:23,24 110:10 137:22 335:1 380:15</p> <p>Pritchard [2] 202:13,14</p> <p>Pritchard/Jackie [1] 1:8</p> <p>Pritchett [53] 1:16 2:6 283:1,2,3,5,19 284:2,10 284:16,20 285:2,6,13,17 285:23 286:4,12,21 287:2 287:12,18 288:7,16,25 289:6,15,23 290:8,13,22 291:8,16 292:2,10,21 293:10,18 294:1,9,21 295:2,12,18,24 296:6,12 296:21 297:5,15,21 298:4 298:7</p> <p>Pritzker [1] 187:10</p> <p>privy [1] 249:22</p> <p>probability [1] 355:15</p> <p>problem [20] 77:11 79:7 79:17 80:4 87:9 89:6 229:6 292:16,18 293:22 294:24 306:3,3 308:12 308:18 318:19 322:11,12 365:13,21</p> <p>problems [15] 16:21 17:24 80:15 132:25 229:3 244:24 246:6 273:14 287:7 293:12,23 347:8 369:8,23 370:25</p> <p>procedure [35] 42:7 87:10 95:25 117:1 141:17 141:19,22,24 142:14 143:7 151:16 152:8,14 152:23 153:1,6 154:20 155:15 303:1 322:1 323:24 326:6 334:7 365:20,22 376:23 378:9 378:13 382:4 386:16,20 387:9,22 388:5,11</p> <p>procedures [46] 32:23 40:7,13 58:20,22 59:7 98:14,18 100:5 110:17</p>	<p>110:22 113:19 114:15 116:21 118:20 119:15 152:9 194:18 314:9 315:4 315:20 316:2 317:4,8 318:5 326:16 328:12 333:7 334:8,17,18,20,23 335:17,23 374:6,7 375:16 378:23 383:16 384:7 385:20 386:17 388:6 398:10 405:2</p> <p>proceeded [1] 44:16</p> <p>process [50] 9:8 18:20 27:11 31:17 33:4 58:16 71:16 76:24 91:1 97:6 99:8 114:5,12 120:24 135:11 147:23 148:4,6,8 149:19 161:16 187:5 194:4,6 195:15 209:20 216:21 218:11 290:15 292:14 294:5 295:21 299:15 314:8 327:13 330:4,19 364:11 376:2 376:18,21 378:11,16 382:6 384:5 389:12,13 403:9,23 416:12</p> <p>processed [6] 28:20 138:10 194:23 195:7 287:23 288:1</p> <p>processes [3] 31:21 405:17 411:2</p> <p>processing [13] 40:16 60:2 146:2,3,10,13 193:20,22 194:4,18 289:2 383:14,17</p> <p>processor [3] 146:5 229:1 393:24</p> <p>processors [1] 40:19</p> <p>produce [1] 145:18</p> <p>produced [6] 7:12 93:3 185:4 302:4 303:2 307:19</p> <p>profession [4] 345:12 346:22 406:25 407:3</p> <p>professional [4] 280:18 282:4,9 345:10</p> <p>professionalism [3] 291:1 346:13,24</p> <p>professionals [8] 91:19 280:23 281:12 282:7 286:9 292:13 345:8 346:18</p> <p>proficiency [15] 55:11 55:19,21 58:6 92:15,16 93:20 159:5,8 270:6,9 270:24 332:10 394:24 408:21</p> <p>progesterone [2] 100:25 304:21</p> <p>program [36] 33:25 35:19 47:3 55:16 65:1 65:15 92:12 93:6 111:25 128:25 129:13 133:2 134:2,4 213:24 224:8 236:12 265:21 269:25 271:6 320:19 328:3,10 342:3 343:19 351:8 352:16 356:22 363:19 378:3 409:8,11,16,16 412:25 414:25</p> <p>programs [13] 17:21</p>
--	--	--	---	---

<p>18:13 58:6 91:18 92:6,9 92:24 93:2 331:3 346:7 351:20 352:12 354:5</p> <p>progress [2] 54:21 214:24</p> <p>progressive [1] 66:10</p> <p>project [4] 75:21 162:8 258:3 273:8</p> <p>projects [1] 409:3</p> <p>prominent [1] 306:3</p> <p>promotes [1] 407:21</p> <p>proper [1] 335:17</p> <p>properly [1] 329:11</p> <p>proportion [1] 374:16</p> <p>proposals [1] 315:25</p> <p>proposed [1] 52:1</p> <p>prospective [1] 309:25</p> <p>prostate [1] 412:11</p> <p>prostates [2] 412:7,12</p> <p>protected [2] 235:19,24</p> <p>protocol [29] 42:7 105:17 106:10 120:11,15 134:18 135:7 140:23 152:20 153:2 159:22 187:12 188:17 195:14 219:3 231:1 302:22 303:24 335:1 377:10 384:3,6,11,13,15,24,25 385:18 418:17</p> <p>protocols [33] 78:15 110:7,8 119:15,21,23 137:20 210:7 218:1,8,19 218:24 263:17 299:17 302:19,25 303:10 314:9 321:12 323:9 326:17 328:11,14 330:20 375:16 375:23 376:6,12 377:2 384:3 402:1 416:8 418:3</p> <p>provide [11] 39:5 84:16 100:5 204:13 210:24 211:2 271:18 272:17 284:23 351:21 416:24</p> <p>provided [12] 27:18 85:21 87:17,19 91:24 97:14,15,17 133:12 134:19 281:4 398:4</p> <p>provider [1] 407:2</p> <p>provides [2] 407:22 408:14</p> <p>province [10] 17:8 20:25 84:10 85:13 91:14 190:19 191:14,18,22 202:23</p> <p>proving [1] 108:10</p> <p>proximity [1] 306:24</p> <p>prudent [2] 244:24 259:13</p> <p>public [25] 84:8 91:12 168:13,21 169:1,8,15,19 170:21 171:9 173:15 174:6,8,13,23 175:20,23 177:10,13 178:6 179:13 179:18,18,24 409:20</p> <p>pull [3] 14:23 281:20 388:3</p> <p>pulled [1] 63:9</p> <p>pulling [1] 180:21</p>	<p>purpose [12] 75:6 118:21 145:15 212:5 276:10,13 288:4 345:6 356:4 364:21 365:8 370:19</p> <p>purposes [3] 88:13 118:22 379:16</p> <p>pursued [1] 309:15</p> <p>push [1] 61:8</p> <p>pushed [1] 318:23</p> <p>Pushpanathan [2] 320:14 321:18</p> <p>put [48] 7:25 8:8 9:10,24 16:3 44:17 56:9 57:5,7,9 58:18 59:7 81:16,21 83:6 83:8 84:21 119:19 138:25 142:16,18 143:13 144:6 144:11,17 145:11 162:25 194:10 244:18,25 281:8 298:19 325:11 330:9 335:17,19 377:24,25 378:7 381:10,23 404:6 404:10 405:10 409:16 413:11 416:1 418:8</p> <p>putting [13] 44:19 91:1 110:7 145:5 151:21 175:11 244:22 262:15,17 380:17 381:5,15 406:18</p> <p>puzzled [1] 292:12</p> <hr/> <p style="text-align: center;">-Q-</p> <hr/> <p>Q.C [592] 1:6,7 2:3,9 4:4 4:5,10,17,25 5:6,15 6:15 6:20 7:3 8:18,24 9:4,21 10:6,15,22 11:1,19,24 12:4,8,12,22 13:4,8,25 14:6,15,19 15:4,17 16:9 16:14 18:18 19:3,12,20 19:25 20:5,9 21:13,21 22:1 23:7,13,25 24:5,9 24:21 25:1,13,23 26:3 26:10,16,22 27:3,15 28:3 28:11,15,22 29:7,12,17 30:2,9,14 31:3,8,18 32:2 32:10,15 33:5,12,17,22 34:2,6,11,22 35:6,11,17 35:22 36:3,10,17,21 37:1 37:6,11,15,21 38:1,6,13 38:18,23 39:4,8,18 40:10 41:12 42:10,16 43:5,20 44:3,8,18,22 45:5 46:8 46:17 47:7,16,24 48:6 48:13,22 49:5,23 50:5 50:10,15,20 51:5,9,17 52:16 53:4,14,20,24 54:7 54:15,24 55:25 56:11,16 57:11,24 59:10,24 60:6 60:10,16,21 61:1,7,12 61:18,23 62:6,11,16,20 63:10,15,23 64:4,8,17 64:22 65:5 66:9,14 67:8 67:25 68:23 69:6,13,23 70:2,9,14,20,24 71:8,18 71:22 72:3,21 73:3,12 73:17 74:2,21 75:9,23 76:5,10,18 77:7,23 78:3 78:11,24 79:5,10,15,25 80:8,14,24 81:4,12,25 82:9,18 83:9,14,18 84:15 85:2,8,17,25 86:8,12 87:24 88:3,11,17,22 89:1</p>	<p>89:11,15,19,25 90:17 91:3,10 92:3,19 93:9,18 93:24 94:3,11,15,20 95:4 95:8,12 96:10,18 97:3 97:12,23 98:4,9,23 99:3 99:12,19,23 100:2,10,16 101:13,22 102:2,10,15 102:20,25 103:6,10 104:1 104:7,12,16,20 105:2,8 105:13,20 106:2,8,14,20 106:25 107:16,20 108:3 108:8 109:8,15 110:1,15 110:25 111:5,10,16 112:8 112:14,19,25 113:8,13 113:22 114:11,19 115:2 115:6,11 116:7,17,24 117:5,9,14 118:2,8,13 119:3 120:3,7,12,16,25 121:8,17,23 122:3,7,16 123:1,6,8,13,19,25 124:11,18 125:1,6,10,17 126:7,14,22 127:3,12,19 127:25 128:5,12,18,23 129:18 130:1,5,9,15,20 130:24 131:7,17 132:4,9 132:17 134:5,11 135:13 135:18,23 136:4,10 137:6 137:13 138:4,13,19 139:3 139:8,13 140:5,10,19,24 141:5,11,16,23 142:2,8 142:13,21 143:6 144:2 144:14,20 145:2,10,17 145:22 146:4,9,18 147:7 147:14,19 148:2,13,17 149:23 150:8,17,21 151:1 151:10,15,23 152:7,13 152:21 153:4,12 154:1,5 154:10,19 155:3,12,18 156:2,8,14,19,24 157:10 157:14,20 159:24 160:11 160:15,21 161:3,7,21 162:4,12 163:4,10,17 164:4,24 165:16,23 166:3 166:10,14,19,23 167:6 167:21 168:1,7,23 169:9 169:20 170:4,10,14,22 171:2,15,22 172:7,14,24 173:7,13,23 174:11,16 174:24 175:4,9,16,22 176:2,6,13,18 177:3,14 177:21 178:7,14,19,24 179:10,22 180:4,8 181:13 181:19,23 182:3,7,11,18 183:3,12,23 184:19,24 185:11,17,25 186:4,10 186:19 187:18 188:21,25 189:23 190:6,12,24 191:8 191:12,19 192:4,10,14 192:23 193:4,14,18 194:5 194:16,24 195:6,18,24 197:11,16,23 198:5,10 198:14,18,22 199:4,8,23 200:5,9,18,23 201:2 202:1,9,410:10,14,15 411:11 412:20 413:9,14 413:22 414:4,12,19,23 415:4,9,13,21,25 416:6 416:13,17,22 417:3,8,19 418:4,14,22 419:4</p> <p>QA [7] 129:5,13,17 133:2 134:2,4 159:19</p> <p>QC [5] 325:9,10,14,15</p>	<p>355:13</p> <p>QMPLS [2] 155:4,8</p> <p>QS [2] 353:7,7</p> <p>qualified [8] 84:20 90:11 90:14 91:18 93:8 280:23 288:10 306:16</p> <p>qualities [1] 409:15</p> <p>quality [138] 33:25 59:18 82:2 87:14 91:17,22 92:5 92:9,11,24 93:2,5,12,17 93:20 94:6,18,19,23,24 95:14,25 96:3,14,23 97:5 114:18 129:25 132:25 133:20,25 224:25 227:13 229:24 247:1 248:1,2,15 249:1,7,19 264:4,8 267:10,14 269:18,25 271:13,15,20 272:19 286:22,23 301:10 302:2 303:16 308:16 314:18,22 317:21,25 331:13,17,22 332:25 342:5 347:6 350:20 351:6,8,12,14,18 351:19,20,23,25 352:3,6 352:9,11,11,17,20,22,23 352:24,25 353:3,8,10,24 353:25 354:25 355:1,7,8 355:8,10,13,17 356:4 357:1 366:6,19 377:4 382:23 392:1 394:21 395:2,8,9,11,16,21 396:8 396:9,10,14 400:7 401:13 402:2 408:3,11 409:7,11 409:17 413:10,23 414:1 414:15,17,20 415:8,15 415:17 416:2,9</p> <p>quandary [1] 162:25</p> <p>quantitative [2] 158:25 391:17</p> <p>questioned [1] 202:25</p> <p>questions [22] 27:13 83:22 84:17,19 132:11 149:6 202:11,24 205:24 234:12 283:7 298:5 371:20 372:1,5,10 373:22 373:24 403:6 404:15 405:22 419:6</p> <p>quick [4] 40:14 63:8 202:24 380:1</p> <p>quickly [2] 406:7 410:11</p> <p>quit [1] 223:21</p> <p>quite [7] 101:2 170:2 192:22 234:3 286:7 357:19 375:22</p> <hr/> <p style="text-align: center;">-R-</p> <hr/> <p>r [2] 164:18,18</p> <p>raise [2] 251:18 294:6</p> <p>raised [4] 23:4 224:16 334:4 385:6</p> <p>raising [1] 292:15</p> <p>ran [6] 32:25 42:5 119:14 189:21 332:4,5</p> <p>random [3] 63:9 107:13 107:19</p> <p>randomly [2] 300:1,3</p> <p>range [2] 215:5 398:9</p>	<p>rapid [2] 345:14 359:20</p> <p>rather [1] 295:5</p> <p>raw [1] 287:22</p> <p>re [4] 77:2,5 130:25 186:22</p> <p>re-done [1] 57:4</p> <p>Re-examination [1] 2:9</p> <p>re-read [1] 305:9</p> <p>re-validate [2] 75:21 79:23</p> <p>re-validating [1] 310:22</p> <p>re-validation [2] 309:21 309:24</p> <p>reached [4] 303:23 375:17 418:7,10</p> <p>reaches [2] 376:2,4</p> <p>reaching [1] 418:9</p> <p>react [1] 345:14</p> <p>reacted [2] 222:10,11</p> <p>reaction [4] 250:20 251:6 303:22 325:22</p> <p>reactions [1] 325:24</p> <p>reacts [1] 381:8</p> <p>read [68] 7:22 10:11 37:4 37:5 38:24 39:2,2 46:13 48:20 55:13,23 70:15,19 70:21 71:2,12 93:8,15 95:20 105:6 108:4,5 109:5 119:16 120:8,10 121:3 134:23 156:20 159:15,17 171:4,5,20 172:3,5 197:4,5 198:1,2 198:19 199:2,22 203:5 203:21 205:12,14 212:9 212:13,16 228:13 230:1 236:23 281:7,21 306:10 306:15 321:22 325:5,16 326:23 332:22,23 348:14 357:23 368:14 372:17 378:9</p> <p>reader [1] 96:21</p> <p>reading [23] 107:10,10 108:23 124:8 172:22 190:19 191:17 212:4,6 281:2 300:21 307:24 311:23 320:5,22 321:16 321:21 322:13,19 323:20 350:5 401:25 402:2</p> <p>readings [1] 388:25</p> <p>ready [4] 105:21 106:21 131:13 180:21</p> <p>reagent [2] 40:25 43:11</p> <p>reagents [4] 32:25 42:17 271:19 272:18</p> <p>real [6] 115:25 148:7 244:14 381:7,14 397:22</p> <p>realistically [1] 49:19</p> <p>reality [2] 69:2,5</p> <p>realize [2] 192:11 194:25</p> <p>realized [1] 363:23</p> <p>really [21] 15:15 16:5 18:11 20:12 23:23 46:25 47:1 49:6 90:11 117:25 169:17 172:19 173:11 204:4,5 227:8 240:23</p>
--	--	--	--	--

<p>297:11,24 315:15 374:22 reapply [1] 111:23 reapplying [1] 113:1 reason [21] 29:24 72:9 73:4,8,13 77:13 104:23 105:19 154:2 172:13 176:9 178:3 180:2 187:3 292:11 306:1 309:14 312:21 313:2 320:4 406:15 reasonable [8] 28:5 285:3,5 286:14,24 287:4 287:11 317:7 reasons [5] 72:5 153:22 189:15 215:24 310:15 reassured [1] 409:20 recalled [1] 280:21 receipt [3] 142:16 290:15 383:7 receive [10] 36:13 37:12 37:16,24 50:21 64:13 84:12 188:22 288:18,21 received [20] 5:18,20 7:6 7:7 12:25 36:22 37:22 38:25 46:5 56:4 63:2 64:18 83:21 98:21 100:14 144:4 225:13 304:4 364:25 372:18 receiving [4] 7:21 45:11 294:4 304:22 recent [5] 4:19 5:1 129:4 152:9 388:4 recently [6] 100:22 124:25 156:17 157:22 305:14 380:16 receptor [4] 1:2 100:25 101:1 420:4 receptors [2] 5:22 164:11 recognize [2] 272:8 407:8 recollect [1] 254:16 recollection [4] 172:25 254:12 259:4 293:11 recommend [1] 102:11 recommendation [20] 41:9 51:19 52:22 80:9 80:11 103:5,13,15,18 104:10 109:21 257:23 379:25 383:6,25 385:4 385:24 386:15 389:8 393:23 recommendations [42] 30:22 38:15 39:21 40:4 44:4 51:6,11 53:6,8,25 54:3 55:1,11 87:12 91:2 102:6 104:6 107:24 108:20 109:10,17 110:5 136:6,14 137:15 170:2,6 246:2 373:5,11,21 374:1 374:3,5 376:7 383:14,24 388:21 389:2 391:9 394:7 395:1 recommended [12] 44:16 55:12 92:17 102:14 102:19 143:8 159:14 257:19 303:1,1 381:16</p>	<p>382:17 recommending [3] 31:23 40:15 197:14 record [6] 40:21,22 188:6 334:9,14 389:3 recorded [4] 144:3,7,13 151:12 recording [5] 144:10,16 151:24 294:18 364:8 records [5] 311:19 336:4 336:7,8,13 reduce [3] 241:6,16,18 reducing [1] 241:22 reduction [2] 213:6 242:10 reductions [2] 399:14 410:19 redundant [1] 111:22 refer [3] 248:20 333:20 359:25 reference [12] 25:7,18 104:19 193:25 196:7 201:8 263:22 280:15,18 414:15 415:14,16 referenced [2] 189:13 414:2 referral [4] 199:16,17 283:17 287:17 referred [10] 26:18 132:13 197:2,20 198:6 199:9 200:13 360:17 395:12 414:14 referring [10] 22:20 26:12,17 53:17 235:12 235:14 236:5 275:7 311:13 367:11 refers [2] 104:10 235:8 reflective [9] 84:9 91:13 91:22,24 94:5,22 96:1 96:13 97:14 refresh [1] 360:2 refresher [1] 359:10 refrigeration [1] 381:24 refrigerator [2] 40:13 380:1 refrigerators [2] 56:2 380:14 regard [1] 58:9 regarding [7] 32:16 71:9 162:5 166:5 234:3 363:20 375:15 regardless [3] 153:13 323:22 353:23 regards [3] 129:4 187:2 374:8 region [1] 118:4 regional [8] 1:10,17 111:13 112:1,6 113:2 116:12 117:17 regions [4] 191:1,22 192:7 193:8 Registrar [9] 103:12 165:9,18 189:6 228:16 234:9 270:11 273:3 280:14</p>	<p>regrettable [2] 91:20 96:12 regular [5] 115:14 163:3 258:4 286:1 296:23 Regularly [1] 221:12 regulations [2] 349:17 349:20 reinforce [1] 164:2 reinstated [1] 164:13 reinstating [1] 134:7 reinstated [1] 134:16 reinstating [1] 134:12 rejection [1] 355:16 relate [3] 243:10 281:4 414:6 related [7] 167:19 280:25 281:24 319:17 355:23 358:6 360:9 relates [1] 355:8 relating [2] 240:16 390:15 relation [2] 267:9 280:3 relationship [2] 273:18 355:11 relative [1] 352:19 relatively [5] 9:6 356:23 388:4 400:19,21 relayed [1] 224:17 relevance [1] 352:9 relevant [2] 283:11 289:8 reliable [1] 108:15 reliance [1] 42:11 relied [2] 33:20 114:3 relief [1] 116:1 relieve [1] 393:4 reluctance [1] 315:19 rely [4] 286:15 314:13,16 324:11 relying [3] 33:13 284:22 287:6 remain [1] 378:24 remained [1] 393:12 remaining [1] 159:21 remember [48] 14:5 28:1 30:13 50:13 63:7 78:2 80:20 88:8,16 98:20 106:24 107:11 112:17 131:6,18 157:4 167:1 169:18 171:9,12,23 176:23 177:2,7 186:8 204:4,5 211:20,21 212:15 213:5 231:13 237:19 246:9 250:17 251:21,22 254:15,17,19 262:14 277:4,5 300:4 307:22 341:24 392:15 403:2 reminded [1] 406:22 remove [1] 225:25 reorganize [1] 25:18 repeat [1] 324:19 repeated [2] 5:22 291:12 repeats [2] 46:21 47:8</p>	<p>rephrase [3] 95:7 230:19 362:14 replace [4] 165:25 166:15 247:15 386:3 replaced [3] 164:9 166:7 166:17 replacing [1] 164:8 report [136] 5:12,18 6:5 6:7,24,25 7:1,18,19,20 8:1,12 9:2,24 10:2,5,8 10:16,17,23,25 11:3,18 12:17,19,25 35:23 36:5 36:11,12,14 37:4,5,20 38:20,20,24 39:13,15,17 40:3,4 43:16 44:24,25 48:25 50:22,24 51:4,18 53:7,10,11 60:5,7,11 64:11,11 68:9 70:15 71:12 90:2 103:2,4,17 104:11 105:22 168:13,21 169:1,7,19 171:4,5,8,20 172:4,6,9,10,23 173:15 174:8,12 177:12 178:6 179:12,14,19,21 186:8 196:18 197:1,5,6 198:2 198:3,19,25 199:3 203:5 203:22 210:25 211:10,16 212:21,22 213:2,3,14 214:3 236:3,19,23 240:17 241:4 245:11,13 246:15 247:21 253:7 290:10 294:6 310:11 333:13,22 369:14 370:15 372:12,15 372:18 373:5,21 401:21 405:6,16 reported [7] 19:9 68:15 68:16 196:14 224:13 287:8 293:14 reporting [10] 60:22 65:8 68:15 69:1 70:3 234:23 362:11,12 367:9 367:16 reports [33] 4:12 9:6 14:23 37:17 38:8 43:15 48:16,21 49:9,24 60:23 69:19 90:1 101:3 124:9 169:15 170:20 173:20 175:10 177:9 180:17 182:20 196:9 204:12,14 204:16 205:12,14 257:22 368:25 369:8,18 394:6 represent [1] 206:7 representative [1] 29:9 reprocessed [3] 27:6,18 28:2 reprocessing [3] 27:14 28:24 29:6 reproducibility [1] 87:14 request [9] 165:12 167:22,24 178:2,9 181:6 196:3 201:5,15 requested [5] 184:2 196:4 201:16 204:12 398:10 requesting [1] 184:15 requests [2] 162:8 163:20 require [3] 118:20</p>	<p>167:10 319:24 required [10] 50:4 115:20 133:5,6 235:16 266:14 311:18 351:22 352:5 409:4 requirement [2] 350:1 350:3 requirements [6] 302:17 337:9 350:16 355:9 362:11,12 requires [7] 75:13 76:11 163:11 310:19 311:12,22 350:6 requiring [2] 167:13 182:14 requisition [2] 199:16 229:1 requisitions [2] 252:21 252:25 research [4] 377:5,6 380:11 409:3 resentment [2] 65:12 66:18 resident's [1] 156:1 residents [2] 225:18 342:21 resolve [2] 318:18 319:8 resource [2] 408:1 409:10 resources [1] 316:11 respect [9] 32:17 33:7 75:25 164:15 189:7 203:7 203:11 352:23 385:6 respond [4] 90:20,23 91:6 363:5 responded [2] 85:1 364:15 responds [1] 91:15 response [9] 14:7,11 85:19 171:11 259:19 261:5 317:15,17 397:1 responsibilities [3] 165:1 324:6 379:11 responsibility [4] 38:12 113:12 133:4 326:20 responsible [6] 113:4 133:9 160:2,16 285:10 326:23 rest [2] 121:12 418:23 restarted [1] 163:24 rests [1] 418:17 result [13] 4:19 49:12 50:17 95:24 181:1 196:8 199:22 311:7 325:16 329:19 365:12 383:3 385:18 resulted [1] 47:9 results [50] 4:14 23:10 42:23 43:1 47:9,14,17 48:2,12 49:14 77:14 79:11 80:17 81:7 87:7 87:15 89:3,23 90:1 108:14 122:20 123:10,16 124:4,4,7 125:12,19,20 125:22 126:16 127:7 128:7,10,14,15 159:9,10</p>
---	--	---	---	--

<p>188:13 196:14,24 229:23 301:5 302:9 305:4 310:18 329:12,15 389:10 408:23</p> <p>resume [1] 136:16</p> <p>resumed [6] 104:24 135:15,19 137:7 144:21 193:7</p> <p>resumes [3] 2:2 4:3 148:3</p> <p>resuming [1] 109:18</p> <p>retain [1] 150:6</p> <p>retest [9] 4:22 10:14 50:4 128:7 180:19,22,25 181:2 182:22</p> <p>retested [9] 48:1 127:1 127:18 181:1,4 182:17 183:22 189:16 196:8</p> <p>retesting [11] 48:20 49:3 49:3 87:7 89:3 122:18 126:1 185:6 187:24 189:8 189:19</p> <p>retests [7] 23:8 163:24 182:8,10,14 183:11,14</p> <p>retire [1] 386:2</p> <p>retired [1] 357:2</p> <p>retirement [1] 220:8</p> <p>retrieval [13] 72:11 73:6 73:16,19,23,24 74:13,14 74:24 75:2,6 184:5 313:17</p> <p>retro [3] 124:17,20 125:2</p> <p>retrospective [3] 186:22 187:1,7</p> <p>return [1] 372:12</p> <p>revalidated [1] 120:21</p> <p>revalidation [2] 119:11 385:20</p> <p>revealing [1] 71:24</p> <p>review [48] 20:8,14 24:2 55:15,18 58:1,2 63:5 72:25 84:3 85:9 86:21 88:8,10 101:5 107:13 108:12 118:19 119:5,16 132:22 164:17 180:22 185:3 196:9 224:25 227:13 229:24 253:18 256:8 257:5 276:16,21 277:21,21 278:14 279:1 279:6,25,25 280:4 308:18 367:7 382:7,10,11 393:15 403:10</p> <p>reviewed [12] 47:3 63:19 72:23 107:13 135:2 180:17 182:20 267:1 268:19,25 269:8,12</p> <p>reviewer [1] 45:7</p> <p>reviewers [2] 44:5 90:3</p> <p>reviewing [2] 306:23 308:20</p> <p>reviews [11] 20:2 21:15 87:9,20,23,25 88:19 90:25 107:25 121:7 136:7</p> <p>rewards [1] 406:22</p> <p>Reza [2] 48:16 195:20</p> <p>rhetoric [1] 223:17</p> <p>right [116] 1:8 13:22 19:1</p>	<p>28:10 36:5,6 76:22 88:6 96:6 105:21 116:21 117:8 118:4,7 119:8 125:9 128:4 131:25 147:11 148:8 153:18 154:4,9 156:5 161:14,25 162:1 163:20 171:10 175:13,19 176:19 177:8 178:12 190:4 192:11,19 194:8 202:18 204:9 205:24 206:14 214:2 217:9 218:13 219:14,19 222:13 223:13 227:17 231:1 233:4,21 238:18 241:12 243:1 244:21 245:20,24 246:23 249:1,11 251:6 251:10 256:13,23 260:20 261:5,19 263:24 265:7 265:22 267:24 268:5,21 269:14 270:4 271:17 273:15,20 274:19 278:1 299:7 300:16 306:21 308:7 312:6 313:21 314:2 317:2 320:7 321:9 326:1 339:19 340:2,19 357:7 359:6,19 361:3 365:8,20 370:5 372:19 375:23 376:14 379:18 382:14,16 390:4 399:5 404:16 405:15 406:24 416:14,23</p> <p>rise [1] 320:10</p> <p>role [7] 113:17 296:22 297:16 313:11 322:14 326:19 392:21</p> <p>roles [3] 164:17 165:1 324:5</p> <p>Rolf [1] 1:8</p> <p>room [12] 56:21,21 156:1 259:15 260:7,18 380:1,2 381:9,23,24 404:24</p> <p>rooms [2] 40:14 153:2</p> <p>rough [2] 243:23 244:10</p> <p>round [1] 183:16</p> <p>rounds [1] 379:6</p> <p>routine [8] 41:4,6,20 158:25 320:1,3 324:25 355:17</p> <p>Rowe [1] 357:3</p> <p>rule [1] 9:23</p> <p>run [19] 40:7 42:3 43:3 45:17 55:1 63:13 115:24 115:25 299:17,18,20,22 302:25 303:10 331:18,19 342:5 391:12,16</p> <p>running [9] 101:21,25 106:7 109:25 137:9 255:4 255:12 267:21 333:1</p> <p>runs [1] 342:3</p> <hr/> <p style="text-align: center;">-S-</p> <hr/> <p>s [2] 164:18,18</p> <p>safe [2] 84:11 91:15</p> <p>safety [2] 402:2 409:17</p> <p>Sakura [2] 65:20 393:24</p> <p>sample [1] 298:11</p> <p>samples [13] 26:18 187:1 287:20 290:18,25 291:1</p>	<p>291:11 292:15,24 293:22 293:23 294:4 355:16</p> <p>Sandra [5] 1:7 2:3,9 4:3 410:14</p> <p>sat [5] 61:16 73:1 135:1 212:15 319:2</p> <p>sausage [1] 391:22</p> <p>savings [2] 242:7,8</p> <p>saw [6] 9:7 190:3 237:7 251:1 273:14 335:11</p> <p>says [25] 22:8 27:25 42:19 73:19 95:25 96:11 122:17 123:20,23 129:8 163:5 182:19 185:2 189:7 196:1 228:21 234:21 240:4 273:8 304:14 310:16 325:14 345:7 346:16 355:2</p> <p>scenario [1] 10:14</p> <p>schedule [1] 55:4</p> <p>schedules [1] 40:18</p> <p>scheme [2] 271:18 272:17</p> <p>school [7] 323:7 330:11 331:19 332:12 334:16 336:17,23</p> <p>Science [20] 21:6 29:5 138:16 140:17 144:23 145:23,25 146:6 148:19 148:20 153:17 154:21 160:20 161:15 197:2 209:18 238:22 301:17 343:16 397:17</p> <p>Sciences [25] 138:7,9 139:5 140:12 146:11 147:10 160:17 161:9,23 196:21 208:19,25 209:2 210:11,23 219:20 238:1 239:11 243:21 244:8 246:24 280:5 282:6 285:12 301:15</p> <p>screen [1] 241:5</p> <p>scroll [3] 189:5 232:15 242:5</p> <p>sealed [3] 140:1 141:15 145:5</p> <p>search [4] 17:15 18:7 63:8 190:18</p> <p>searched [1] 104:4</p> <p>searches [1] 189:21</p> <p>seated [1] 4:2</p> <p>second [34] 5:11 7:20,22 10:2,7 12:14 37:20,22 38:19 40:4 44:24 58:1 60:11,17 62:17 75:10 97:10 103:16 196:10 246:20 261:6 265:17 315:6,8,13,21 340:6 341:2 346:15 351:25 372:12 394:23 396:9 406:18</p> <p>secondary [2] 322:23 323:17</p> <p>secondly [1] 85:12</p> <p>secretarial [1] 257:13</p> <p>secretaries [1] 400:15</p>	<p>secretary [1] 254:18</p> <p>section [27] 11:10,11,17 40:14 46:3 56:20 218:23 226:1 259:15 260:7,18 333:22 346:8,25 350:20 353:2 358:2,3 373:25 374:1 380:2 383:13,23 386:14 391:6,8 394:6</p> <p>sections [2] 259:6 394:17</p> <p>see [74] 5:2 7:14 8:2,3 10:1 11:15 12:5 15:25 16:2 18:20 20:19,23 29:25 30:6 31:16,16 37:25 45:23 51:13 52:20 53:21 54:8 55:14 63:3 68:10 76:24 85:4 86:9 86:20 87:22 91:11 109:21 110:13 114:2 116:4 132:22 143:18,21 162:18 173:21 178:20 196:3 211:25 228:17 234:13,18 234:23 236:15 240:7 248:1 262:22 263:6,8,25 265:20 270:11 271:5,17 273:24 304:9,11 305:9 308:18 331:7 347:14 348:25 358:6 365:11 372:14 377:18 388:6 404:15 405:1 415:16</p> <p>seeing [2] 12:18 49:14</p> <p>seek [1] 18:21</p> <p>seem [3] 18:2 41:2 231:9</p> <p>select [2] 301:2 353:3</p> <p>selected [2] 365:2 405:12</p> <p>selection [2] 389:24 390:2</p> <p>semester [2] 358:12,12</p> <p>seminar [1] 380:25</p> <p>seminars [2] 236:1 341:11</p> <p>send [20] 20:23 49:3,22 57:19 145:23 146:14,25 184:3 187:5,6 192:15,16 193:9,9 204:17 259:24 340:15,21 341:5 357:5</p> <p>sending [10] 119:4 148:25 154:20 182:22,23 193:2,15 194:12 339:9 340:3</p> <p>sends [2] 192:20,21</p> <p>senior [8] 239:4,10 330:24 337:21 374:18,20 375:9 408:25</p> <p>sense [7] 137:5,18 264:5 271:8 277:18 296:11 401:20</p> <p>sensitive [5] 75:11 77:12 77:20,22 310:17</p> <p>sensitivity [1] 389:10</p> <p>sent [59] 6:11,16 10:13 15:12 22:11 57:16 86:7 97:10 101:4 116:16 119:17,19,20 125:5 126:1 126:1,3,4 127:16 139:2 140:1,14 141:10 142:20 144:24 145:3,5 147:5 152:1 153:16 156:17 177:22 178:23,25 179:1</p>	<p>180:18 182:21 185:5 187:8 188:14 194:1,2,8 196:5 229:10 270:15 272:4 289:21 304:16 308:1 338:21 377:8,11 378:1,4 404:19 405:7 416:18 417:21</p> <p>separate [2] 21:9 404:6</p> <p>separation [1] 65:8</p> <p>September [9] 21:16,16 22:12 25:17 52:21 247:11 247:13,16 400:23</p> <p>series [3] 53:16 351:25 355:3</p> <p>serious [3] 293:21,22 294:24</p> <p>seriously [1] 24:15</p> <p>service [11] 18:3,12 104:23 110:19 111:1 142:6 147:21 151:3,7 160:16 286:17</p> <p>services [23] 86:18 87:11 87:12 91:24 97:14 207:6 208:18 209:17 211:17,24 225:9 228:23 246:25 280:19,19,22 281:4 282:5 283:13 284:23 297:25 398:4 402:20</p> <p>servicing [2] 16:17,19</p> <p>session [1] 343:7</p> <p>sessions [1] 343:9</p> <p>set [13] 15:14 40:2 59:1 59:19 159:11 162:19 302:22 316:8 325:10 345:5 346:23 384:15 404:24</p> <p>seven [3] 36:12 233:10 346:11</p> <p>Several [1] 181:4</p> <p>shall [1] 396:11</p> <p>shapes [1] 288:15</p> <p>share [1] 223:6</p> <p>shared [2] 99:4 275:24</p> <p>sharing [2] 99:16 395:2</p> <p>sheet [7] 103:5,13,15,18 180:16 185:12 327:14</p> <p>sheets [4] 80:7,11 334:9 388:22</p> <p>shifting [1] 295:3</p> <p>ship [2] 298:15,16</p> <p>shipped [2] 152:16 292:5</p> <p>shop [6] 215:3 233:4,6,8 233:12,20</p> <p>short [2] 9:6 294:18</p> <p>show [6] 20:12 333:12 360:1 367:5 368:16,17</p> <p>showed [7] 4:19 52:18 68:25 72:12 139:22 141:6 304:16</p> <p>showing [1] 334:2</p> <p>shown [11] 38:2,7,19 158:14 234:10 250:1 273:5 310:13 333:21 360:2 372:25</p> <p>shows [1] 103:16</p>
---	---	---	---	---

<p>shuts [1] 17:13 sic [1] 68:21 side [8] 9:10,25 52:13 151:8 207:4 285:25 297:8 297:9 sides [2] 65:12 66:19 sign [10] 6:24 40:17 82:23 133:8 322:21 323:17 325:1 326:9 393:5 418:3 signage [1] 378:3 signature [1] 82:22 signed [27] 6:10 8:21 9:2 64:7 83:10,13 110:16 111:7 137:25 141:21 153:3 158:22,23 159:23 198:25 376:6,9 378:23 383:19 388:7,8,18 390:4 390:6 405:4 418:1,2 significance [2] 54:10 279:12 significant [3] 295:5 302:11 363:2 signing [3] 376:22 402:1 416:8 signs [1] 6:25 Simmons [106] 2:8 95:15 95:19,23 104:9,14,18 105:3 372:7,8,9,22 373:3 373:8,14,19 374:15,19 374:24 375:6,13 376:1 376:13,19 378:10,20 379:9,17,24 380:6,18,22 381:19 382:2,15 383:5 383:12,22 384:10,16 385:3,12,16,23 386:6,13 387:7,14,20 388:2,19 389:7,16,22 390:3,8,13 390:20,25 391:7,19,23 392:7,12,19 393:1,11,22 394:5,13,20 395:7,15,22 396:2,6,19,23 397:4,13 397:21 398:2,8,14,18,24 399:4,11,18,22 400:3,10 400:16 401:2,16 402:5,9 402:17 403:8,16,21 404:1 405:20 406:2 410:5,8 Simmons/Beth [1] 1:10 Simms [2] 238:13 239:1 simply [2] 242:6 294:5 Sinai [22] 118:17,25 119:5 120:18 122:19 124:10 125:5,7 127:2,18 167:15 185:5 187:23 196:8,18 277:15 279:1 280:1 304:8,16,19 305:5 single [14] 6:19 46:3 93:15 187:22 188:6 257:24 268:24 269:15 325:12 338:23 342:15,24 371:16 405:7 sit [5] 63:5 72:25 314:20 314:22 341:16 site [21] 26:11 32:8 40:16 60:3 65:6 77:5 113:20 116:3,22 117:2 142:9 160:9 161:13,16 218:5 230:13 231:2 301:17 366:4 382:24,25</p>	<p>sites [13] 74:20 112:22 113:4 148:14 196:15 210:3 211:18 212:24 216:22 218:2 219:14 380:2 411:20 sitting [2] 292:5 303:7 situate [1] 161:4 situated [1] 284:12 situation [18] 9:5 22:15 22:22 23:6 51:25 87:2 91:21 94:4,21 95:13 96:12,22 139:16 200:1 205:5 257:21 362:1 375:14 six [8] 6:9 7:1 58:1,10 104:15 147:2 180:23 233:10 Sixteen [1] 389:23 sizes [1] 288:15 skills [2] 345:18 351:22 skin [1] 411:21 slash [1] 182:1 slide [26] 46:3 47:2 75:8 93:7,15 119:19 187:22 194:2,9,11 261:12 262:16 262:18 266:25 267:15 268:3,24 269:15 301:21 302:3,4 307:6 325:12,14 383:3 384:20 slides [60] 45:21 46:13 55:16,18 63:6,9 93:3 107:11,12,17 118:19 119:5,17 120:1,8,10,20 125:5 146:19,25 147:5 180:22 187:4,6,8,14 188:4,13,20,22 192:17 192:21,25 193:3,10,15 193:22 194:12,14 229:4 266:23 268:22 269:3 272:2 278:25 280:1 289:9 289:21 300:22 301:10 303:16 305:6,24 306:10 306:15,23 307:19 308:20 327:15 412:16 slowly [2] 225:23 391:8 small [2] 115:22 346:15 smaller [1] 116:20 smalls [2] 360:10 364:2 smithed [1] 83:4 soaked [1] 150:6 Society [7] 1:15 299:12 339:12 341:6 343:16,19 343:21 soft [4] 293:3,4,6,13 softness [1] 143:23 solely [2] 314:13,16 solve [1] 347:8 solved [1] 47:22 someone [24] 17:7 30:7 57:19 120:1 195:1 233:23 277:14,20,23,24 278:3 288:17 294:12,22 297:17 309:3 318:18 342:19 345:20 359:6 364:25 365:23 373:23 379:19 sometime [1] 255:1</p>	<p>sometimes [2] 291:22 415:16 somewhat [1] 419:8 somewhere [1] 222:16 soon [1] 184:3 SOP [2] 386:21 405:1 SOPs [19] 31:2,24 59:6 62:2,4,4 137:24 153:9 158:21,23 167:11,16 315:12 317:17 318:24 319:13 375:24 408:15 414:10 sorry [27] 11:13 20:2 28:12 36:4,6 64:15 70:21 70:23 80:11 86:14 97:16 98:11 103:4,9 125:9 138:17 149:6 154:22 157:13 189:4 209:5 221:10 230:19 247:11 285:24 335:8 340:19 sort [33] 35:18 41:2 206:10 207:20 210:9 218:1 230:14 233:2 240:10 243:11 244:13,23 245:11,16 253:10 263:5 264:19 267:24 287:13 289:17 290:17,25 292:14 295:3,7,15,20 297:7 354:24 362:12 369:14 370:3 400:4 sought [2] 412:25 413:11 sound [5] 171:19 172:2 285:3 336:2 420:10 sounds [3] 61:17 266:5 285:5 source [3] 67:11 123:2 155:22 sources [1] 162:9 space [4] 56:9,17 161:22 161:25 spare [1] 262:23 speak [13] 118:10 176:22 227:8 233:24 250:7 251:18 252:19 255:20 292:23 318:18 365:17 380:9 410:1 speaking [12] 6:6 49:19 101:18 170:18 234:20 250:10,17 251:25 259:4 291:9 327:6 330:4 special [12] 41:19 47:4 101:6 139:25 187:9 214:15,18 370:19 411:5 411:6,7,9 specialist [1] 15:1 specialty [1] 133:12 specific [18] 18:8 59:8 162:20 294:10 305:16 310:20 312:15 324:19 330:13,14 339:19 358:9 363:18 367:21 381:3 390:15,16 404:16 specifically [10] 178:4 221:22 223:4 259:12 291:13 309:4 311:14 353:24 358:7 404:25 specification [4] 80:7</p>	<p>327:14 334:9 388:22 specificity [2] 42:22 389:10 specimen [39] 116:15 138:8,8,20 139:9,17,20 139:23 141:10 142:3,24 144:4,6,10,16,19,23 147:4 148:18 150:1,5 152:1,15 196:4,10,11,17 196:19,21 197:2,3,20,21 198:6 199:9,10,15 370:14 405:5 specimens [35] 14:24 25:8 27:12 28:9 57:17 57:20 133:1,25 138:16 142:20 200:12 243:19 244:14 245:8 246:7 268:18 288:22 290:6 291:23,23 299:19 300:1 301:2 304:6 361:1,23 362:23 364:25 368:23 369:20 374:25 383:7 405:3,18 412:3 speculate [1] 173:11 speculating [1] 173:21 spend [2] 33:8 238:5 spent [3] 220:18 237:25 404:13 spoke [19] 90:24 98:3 100:8 109:4 119:24 171:14 190:22 191:5 194:12 223:24 224:2 250:13,23 251:3 252:5 252:10 254:17,19 255:15 spoken [2] 86:5 295:5 spot [2] 128:21 231:21 spreadsheet [4] 39:20 51:2,6 105:11 spreadsheets [1] 372:24 spring [7] 44:25 61:20 102:12 103:17,19 372:19 404:20 St [76] 21:7 22:19 24:23 25:10 26:24,25 27:4 29:13 35:7,9 41:23 56:4 56:6,9 112:21 139:2 140:1,2 142:24 145:6,11 145:14 146:24,25 147:2 153:16,18 154:22 160:12 160:14 161:4 185:8 186:5 189:8 191:25 193:22 196:16 206:21,22 211:18 218:22,23 219:7,23 220:1 220:10,20 221:5 224:18 225:10 226:1,17 229:5 238:6 239:10 243:20 244:4,6 283:14 284:22 286:15,23 287:13 290:1 290:17 292:6 293:20 294:3 295:20 296:2,14 297:23 301:15 366:25 420:7,11 stable [2] 410:18,19 staff [63] 15:12,25 30:20 31:13 39:3 40:20 55:17 91:20 129:16,24 136:22 143:20,21 154:18 156:1 156:6 157:25 158:6,7,13 158:15,19,19 162:22</p>	<p>208:19 213:7 224:18 235:25 241:23 242:15,23 257:13 259:8,23 261:7 263:13 272:3 273:12,15 273:24 280:23 282:1,9 282:19 292:23 293:15 306:16 346:21 365:2 377:9 378:8 385:2 399:7 400:1,22 401:10,14 406:23 407:15,18 408:6 408:13 413:8 staffing [5] 383:23 397:9 399:14,23 401:4 stages [1] 290:14 stain [10] 109:3 146:14 272:2 313:14 324:20,21 324:21 326:1 384:20 385:7 stained [3] 146:20 187:5 289:21 stainer [2] 184:11 411:5 stainers [1] 411:3 staining [33] 42:23 51:21 72:13 75:14 76:12,17 145:25 218:24 251:15 259:15 305:10,16 306:2 306:17,18,24 307:6,8,10 307:18 308:3,5,13 310:21 311:6,13,17 312:15,19 314:12 321:6,18 390:16 stains [10] 271:14 308:4 320:2,3 322:8 324:25 325:20 411:6,7,9 stamp [1] 383:7 stand [6] 2:2 4:3 172:1 213:1 378:12 395:18 standard [29] 12:5,7 26:23 40:12 110:8 117:11 137:22 162:9 295:17 315:3,20 316:2 317:4 318:4 334:7,22 335:23 374:6 376:22 378:12,22 382:3 383:16 386:16,19 386:24,24 387:4 388:5 standardization [6] 31:21 105:16 216:17 218:18 407:21 411:17 standardizations [1] 104:23 standardize [8] 81:3,5 81:14,17 114:8 218:25 394:16 411:22 standardized [3] 106:11 323:9 387:16 standardizing [1] 246:25 standards [9] 87:6 99:8 133:6 218:1,19 263:17 347:3 351:20 352:12 stands [5] 29:24 172:13 186:12 291:15 293:9 start [30] 51:14,15,16 81:23 92:14,18 101:21 101:25 102:24 118:16 121:6 146:3 161:15 180:21 188:10 189:18,22 190:17 191:23 194:12 197:17 220:19 253:23</p>
--	---	--	---	--

Inquiry on Hormone Receptor Testing

<p>257:23 327:12 342:11 351:11 372:11 374:3 416:12 started [42] 20:14 29:4 33:2,3,20 43:23 44:19 48:19 54:20 55:22 58:17 74:6 76:23 77:6 80:12 101:1 114:4 120:23 137:2 143:11,13 147:9 151:21 152:4 159:19 187:21,22 206:13 216:20 220:11 253:18 255:4 257:6 264:7 265:7 274:15 315:16 341:16 342:13 406:5 412:4,13 starting [6] 20:25 91:1 129:13 157:8 345:21 419:16 startling [1] 101:2 starts [3] 168:8 355:2 379:8 stat [3] 139:19 142:6 151:8 state [5] 32:17 45:6 107:2 316:10 352:21 statement [30] 77:21,24 78:10,12 89:16 90:12,15 101:19 102:9 106:6 107:11 122:22,24,25 126:10 127:21 128:6,15 133:19 176:11 199:13 234:21 251:15 267:5 269:16 273:7 275:11 307:13 348:20 406:1 statements [4] 13:23 75:19 133:24 308:2 states [2] 72:6 132:24 statistic [1] 27:20 statistically [1] 302:11 statistics [1] 236:12 stats [2] 29:15 381:9 status [2] 159:12 160:1 stay [3] 116:22 345:9,11 stayed [1] 158:19 stenographers [1] 252:20 stenos [2] 258:1 400:15 step [5] 114:8 135:9,9 323:10,11 stepped [2] 74:22 407:13 steps [10] 59:3 248:22 271:21 308:17 329:21 330:21 335:16 352:16 363:13 394:22 steward [6] 215:3 233:4 233:6,8,13,20 still [48] 13:5 28:24 44:15 46:13 68:12,18 75:12 76:11 83:3 87:1 90:14 112:20 124:8,12 127:9 127:20 128:1,3 141:1 144:9 145:14 147:2,22 147:23 148:3,6,23,24,25 153:15,15 161:4 162:13 169:23 260:16 279:21 294:19 310:19 311:11 326:7 331:1 338:16</p>	<p>353:25 356:18 357:8 359:2,9 411:18 stood [6] 31:6 62:3 213:6 360:25 361:20 362:18 stop [2] 162:24 252:6 stopped [4] 67:5,5 215:24 299:1 stopping [1] 47:19 straightforward [1] 56:2 strange [2] 178:2,8 strategic [1] 225:6 streamline [1] 407:25 streams [1] 65:9 stress [3] 23:19 24:11 157:25 stressful [3] 23:23 112:18 157:6 strictly [1] 415:5 strike [3] 216:7 241:3 316:20 struck [4] 230:8 231:8 235:4 245:2 structure [4] 68:2 69:8 69:15 230:6 structures [1] 65:9 struggled [1] 16:5 struggling [2] 59:15 96:4 study [8] 186:22 187:8 230:5,6 299:21 301:20 302:10,10 stuff [14] 21:2 57:4 59:5 61:4 67:15 71:5 115:21 136:25 247:19 262:24 289:3 334:15 356:12 370:5 style [4] 67:2 303:5 311:2 325:23 SU [3] 20:20,24 21:3 SU-2000 [2] 21:5,6 SU1 [1] 21:1 SU2 [1] 21:1 SU3 [1] 21:1 SU4 [1] 21:1 sub [2] 133:11 316:20 sub-specialty [1] 138:25 sub-specialty [1] 133:7 subject [2] 92:21 368:24 subjective [3] 323:1,11 324:23 subjects [1] 206:11 submit [1] 377:3 submitted [1] 416:9 suboptimal [1] 116:14 subsequent [1] 203:12 subsequently [4] 204:15 211:5 212:13 214:4 substantially [1] 375:8 substantive [1] 397:9 successful [2] 113:3 353:6</p>	<p>successfully [2] 72:8 91:15 succession [2] 385:24 386:8 such [15] 101:19 116:14 164:21 184:10 222:21 293:12,20 295:25 297:10 297:10,16 319:25 328:3 333:6 407:6 suffering [1] 406:8 suggest [12] 77:8 87:4 103:21 218:7 223:14 224:6,23 260:6,12 262:10 287:3 419:17 suggested [8] 22:12 77:12 101:14 240:17 258:16 260:1 261:13 308:16 suggesting [7] 39:15 52:19 105:14 273:20 292:4 296:13 368:19 suggestion [4] 94:23 100:23 258:9 316:20 suggestions [1] 30:25 suggests [2] 95:24 383:6 suitable [1] 353:4 suites [1] 407:21 summaries [1] 373:4 summarize [1] 107:24 summer [2] 187:16 188:8 superior [2] 65:22 212:20 supervise [1] 379:11 supervised [1] 379:21 supervising [2] 346:20 378:25 supervision [2] 285:20 379:4 supplied [2] 132:23 417:11 supplier [2] 184:8,8 supply [2] 236:11 257:22 support [5] 400:14,15 407:22 408:5 409:18 supported [5] 68:18 228:11 229:8,17,20 supposed [1] 313:15 surger [1] 297:22 surgeries [5] 138:5,6 144:22 153:14 291:18 surgery [5] 139:4 141:1 225:8,9 243:19 surgical [12] 243:19 253:6,17 255:2,7 256:7 257:5 291:11 297:25 364:2 394:6 407:20 surgicals [1] 20:18 surmised [1] 305:2 surprised [1] 251:8 surprising [3] 70:17 71:24 401:23 surveys [1] 226:5 Susan [1] 86:19</p>	<p>suspect [1] 419:15 suspended [1] 147:22 switched [2] 165:19 370:2 system [122] 5:9 6:5,23 15:9,16,20 16:2,22 17:3 17:13,15,17,25 19:15 34:7 40:25 43:10,12,14 58:20 59:1 63:7 64:24 72:6,8,11 73:1,2,7 74:12 74:14 75:2,11,12 76:1 76:11,14 77:10,19 78:21 84:10 85:16,18 91:14 101:20,21 102:1,8 106:1 107:7,17,19 110:9 119:12 122:21 123:18 125:14 126:5,13,21 127:1,8,10 127:11,14,17 139:18,19 139:22 165:11 184:13 186:13 194:4 195:10,11 195:12 196:12 200:10 201:11,21 206:13 244:19 298:17 299:22 301:6,21 302:18 303:10 306:8 310:16,18,19 311:11,14 311:15,18,20,22,25 313:10,23,25 314:9,10 316:17 325:9 326:21 351:19,24 352:6,9,11,17 352:20,23,24,25 353:3,8 393:12 396:13,25 systems [10] 68:15 351:6 351:9,12,15 352:1,3 353:10,24 355:1</p> <hr/> <p style="text-align: center;">-T-</p> <p>t [3] 82:20 164:18,18 table [2] 2:1 346:6 taker [1] 26:7 takes [2] 149:20 342:15 taking [12] 31:19 60:2 138:5,7,21 139:4 258:2 296:17 329:22 359:9 365:23 397:1 talks [1] 236:10 Tansy [1] 86:15 task [3] 14:20,21 109:11 tasked [1] 51:10 taught [17] 320:3,9,15 321:2 322:12 324:25 331:18,23 332:6,15 334:11,14 336:18,23,25 337:10,12 Taylor [3] 1:12 371:24 371:25 teach [5] 328:23 338:18 338:19 339:2 392:24 team [12] 111:21 114:18 217:23 290:17,23 375:20 395:8 396:8,14 400:8 409:13,19 teams [1] 404:7 tech [9] 52:14 55:9 220:22 322:22 323:7 324:12 339:9 342:17 374:18 technical [60] 6:4 39:3</p>	<p>45:25 46:5 65:9,11,23 66:17 87:11 116:21 129:16,22,24 136:15,23 143:21 158:7 207:4,5 208:19 211:17 225:9 228:22 235:15,16 242:9 246:23 259:8 271:21,24 272:6,13,15,24 273:1,12 273:15,24 282:19 292:22 293:15 294:16 297:8,16 297:23 345:18 369:4,8 370:25 371:3 385:25 386:20 400:13 404:11 407:15 408:4,13,15 417:18 419:2 technically [7] 6:6 13:3 136:20 195:5,9 400:1 412:8 technician [1] 261:6 technicians [6] 209:10 209:11 221:6 260:20 284:3 285:19 technique [3] 262:16 321:17 330:14 techniques [1] 326:17 technologist [24] 52:12 115:23 302:17 308:15 313:11 314:7 319:17,25 321:20 322:13,15 323:23 328:3 330:15 340:16 341:4 345:22 359:8 374:20 375:10 388:12 406:6 407:9 408:25 technologists [58] 51:20 51:24 55:17 137:10 155:21 157:1 159:15 160:2,22 163:13 164:7 221:3,8,10 222:22 223:7 223:15,25 228:6 238:12 239:4,10 241:12 259:14 260:8,14 275:7 282:5,16 285:22,24 320:5 322:19 325:1 326:20 337:15,20 338:7 342:21,23 344:13 344:24 346:14 347:23 349:1,11 351:4 353:13 354:1 355:20 357:9,12 386:1,2,9 391:25 392:9 400:14 technology [17] 60:14 66:5,7 67:18 78:4,5,19 115:18 155:21 195:1 228:25 263:9 339:4 345:15 359:17 407:1 409:18 techs [33] 28:7 29:16 33:20 46:15,16 52:6,20 53:1 74:11 110:12 135:8 136:2 159:17 215:10 220:11 259:24 262:7 268:25 269:8 293:8 323:13 325:5 330:24 337:18,21 338:11,21 339:24 340:4,25 342:1 344:20 401:25 Tek [2] 227:18,25 telephone [2] 115:14 203:1 telling [2] 14:9 159:2 tells [1] 43:16</p>
--	---	---	--	--

<p>temperature [5] 41:13 41:15 381:9,24 388:25</p> <p>temperatures [1] 41:21</p> <p>template [2] 59:8 180:19</p> <p>temporarily [1] 147:22</p> <p>ten [10] 9:15,15,19 232:1 352:23 400:13,17 403:13 411:21 419:15</p> <p>term [6] 225:7 287:22 332:9 361:17,25 386:7</p> <p>terminology [1] 17:23</p> <p>terms [102] 4:21 14:1 15:7,19 24:6 25:24 31:9 32:16 34:23 35:5,9 40:6 40:11 42:17 43:8 46:18 46:20 47:8 49:7,19 51:3 54:25 58:9 61:25 63:24 66:10,16 71:9 76:9 80:3 80:25 83:2 90:1,4,23 92:23 99:16 110:16,18 113:18 115:12 116:1 117:10 127:21 128:7 133:14 134:3 136:5,13 137:18,23 138:5 142:3 142:15,22 151:2 154:20 155:4 159:25 178:8,10 179:11 181:9 189:25 193:15 195:7 211:23 217:13,15 224:23 228:5 230:4 237:11,17 240:15 241:22 246:16 248:14 249:18 259:12 278:25 279:18,25 297:22 300:4 302:18 303:7 321:11 329:8 333:9 335:22 336:9 353:10 355:11 357:7 410:20 411:1 412:19 413:15 416:7 418:5,9</p> <p>Terry [18] 30:4 68:9,13 74:10 83:25 100:14 129:6 129:10 164:16 168:11 170:18 174:22 177:7 190:15,17 224:13 234:21 252:5</p> <p>Terry's [1] 29:25</p> <p>test [31] 5:2 19:8 46:21 72:5,9,10 73:4,5,13,18 191:9 198:7,11 199:21 199:25 200:2,11,15 289:8 307:5 310:15 320:1 327:18,18 330:14 334:17 334:17,19 389:10 405:11 405:12</p> <p>tested [8] 63:25 122:21 125:14 126:25 184:11 191:25 304:6 392:2</p> <p>testified [4] 13:14 203:4 203:13 283:9</p> <p>testify [1] 206:8</p> <p>testimony [5] 203:11,12 204:9 295:4 307:24</p> <p>testing [61] 1:2,13 20:22 42:2 55:11,19 84:10 87:10 91:14 92:15,17 93:21 98:13,17,24 99:1 99:8 100:5,25 101:15 102:24 107:3 109:18,23 109:25 110:4 131:1,14 131:23 134:13,16 135:15</p>	<p>135:19 136:2,11,16 144:21 159:6 164:13,15 164:16 189:11 196:21 252:6 270:6,10,24 305:5 309:25 310:1 320:9 326:17 328:11 332:10 351:5 356:1 389:12 391:3 394:24 408:21 420:4</p> <p>tests [9] 5:8 84:5 86:23 87:4 127:21 289:16 319:18 330:17 333:2</p> <p>Texas [1] 134:21</p> <p>text [1] 372:15</p> <p>thank [47] 8:6 22:13,20 98:10 100:17 105:3 128:24 132:5 138:23 149:22 165:24 189:6 201:3 202:2,10 206:1,3 231:24 232:6,18,23 265:16 273:3 280:14 282:21,21,24 298:5,7 299:7,10 338:5 343:13 359:24 371:19,22,24 372:5 409:24 410:1,4,6 410:8 419:5,8,10,13</p> <p>Thanks [1] 84:11</p> <p>theirs [2] 15:21 114:17</p> <p>theme [1] 297:7</p> <p>themes [1] 241:2</p> <p>themselves [3] 31:13 62:5 221:17</p> <p>there'd [1] 412:11</p> <p>thereabouts [1] 7:6</p> <p>thereby [1] 246:24</p> <p>therefore [4] 169:7 187:9 219:4 412:4</p> <p>thermometer [1] 40:24</p> <p>thermometers [2] 41:19 41:20</p> <p>they've [3] 357:18 380:15 394:9</p> <p>thinking [1] 133:16</p> <p>thinks [1] 30:21</p> <p>third [6] 88:4,8 340:9,11 340:13 341:1</p> <p>Thirty [3] 395:8,16 396:11</p> <p>Thomas [1] 86:18</p> <p>Thomas-Pennell [1] 132:20</p> <p>thought [27] 13:21 15:8 19:2 24:14 30:7 34:16 39:12 44:12 47:5 69:12 79:13 102:18 104:5 136:14 155:14 161:8 172:21,22 193:6 203:21 217:19 225:24 228:23 235:4 255:15 273:17 368:22</p> <p>thoughts [1] 275:24</p> <p>thousand [1] 268:18</p> <p>thousands [2] 91:16 188:4</p> <p>threatened [1] 223:20</p> <p>three [30] 30:1 49:13 51:19,23 52:19 86:21</p>	<p>87:9,25 88:6 115:1 117:23 122:10 129:2 132:20 185:4,6 194:9,10 196:15 257:22 263:25 340:25 346:5 351:17 352:20 383:14 394:7 404:7,10 411:20</p> <p>three-page [1] 100:20</p> <p>three-parts [1] 355:3</p> <p>threw [1] 361:12</p> <p>through [79] 9:8 16:1,24 18:19 20:4 21:12 22:24 22:25 23:6 25:11 35:4 41:17 44:5 45:23 46:7 48:15 49:8,13 70:5 71:16 74:7 86:6 87:20,20,23 90:25 94:24 95:13 97:5 107:22 142:19 156:21 163:9,14 187:24,25 188:11 194:3,20 200:21 200:21 206:13 207:18 230:9 270:13 289:1 293:2 299:22 303:10 309:21 311:25 316:24 321:15,20 323:6 344:2,4 345:4 347:18 348:6 354:23 359:16 366:5 370:9,11 382:10,11 387:2,3 389:25 403:4,7,13 404:24 405:10 406:10 407:5 409:15 412:9</p> <p>throughout [7] 20:17 114:9 116:11,12 117:11 121:14 225:17</p> <p>throwing [1] 78:25</p> <p>thrown [2] 78:7,8</p> <p>thumb [1] 9:23</p> <p>Thursday [3] 122:12 291:12,15</p> <p>Thursdays [1] 291:5</p> <p>tie [1] 254:25</p> <p>Tilley [4] 169:5 179:3 204:12,13</p> <p>Tilley's [1] 169:10</p> <p>timeframes [1] 152:16</p> <p>timeline [1] 246:21</p> <p>timelines [4] 221:15,17 221:25 222:8</p> <p>times [14] 23:24 112:18 144:3,6 229:4 247:1 266:13 283:10 295:13 310:12 313:18 329:23 401:12 406:20</p> <p>timing [2] 226:19,23</p> <p>tipping [1] 303:15</p> <p>tissue [28] 40:16 46:1 75:8 143:22 150:11,23 151:25 154:21 193:20 194:19,23 195:7,12,13 195:16 228:25 229:1 288:18,21 290:16 292:4 293:4,5 298:11 383:13 383:17 391:13 393:24</p> <p>tissues [5] 145:16 380:17 381:5,22 393:16</p> <p>titration [3] 72:12 73:7 327:13</p>	<p>titrations [1] 329:23</p> <p>to-day [1] 114:4</p> <p>today [25] 6:11 13:5 17:3 20:25 54:16 83:23 126:10 128:13,15 147:6 151:19 153:13 231:14,17 237:23 247:24 257:23 305:11 338:16 366:15,17 371:5 372:25 379:21 397:12</p> <p>together [22] 15:24 16:3 83:7 85:3 115:25 121:19 135:4 138:25 143:13 151:21 158:9 185:24 249:6 264:20 280:2 316:3 316:6 330:9 341:17 375:21 404:6,10</p> <p>tone [2] 223:16,19</p> <p>too [15] 18:16 23:21 70:11 75:11 77:12 92:13 103:7 109:1 133:3 146:6 153:21 180:5 269:14 310:17 337:19</p> <p>took [22] 4:13 16:1 20:2 22:24 23:5 25:11 55:19 75:25 134:23 135:7,12 137:2 164:23 209:15 219:11 220:7 270:15 276:7 306:21 308:17 402:23 414:5</p> <p>top [3] 263:24 325:12 351:7</p> <p>topic [2] 335:24 346:22</p> <p>topics [2] 248:16 299:13</p> <p>torment [1] 406:9</p> <p>tossed [2] 261:22,24</p> <p>total [19] 59:18 129:24 355:8 357:1 366:5 377:3 382:22 395:11,21 396:14 400:7 408:11 414:15,17 414:20 415:10,12 416:2 416:9</p> <p>totally [3] 69:18,18 77:19</p> <p>touch [3] 22:9 114:21 115:13</p> <p>tough [3] 381:7,14 406:20</p> <p>tour [7] 108:11 109:1,6 403:4,14 404:21,22</p> <p>towards [6] 13:15,16 30:22 225:23 281:8 356:19</p> <p>town [9] 121:16,16,18 181:5 199:14 200:12 201:5 298:12,17</p> <p>track [6] 8:9 201:8,21,23 341:10 405:15</p> <p>tracked [2] 43:18 84:22</p> <p>tracking [1] 14:3</p> <p>traffic [1] 143:4</p> <p>train [1] 401:10</p> <p>trained [7] 42:4 148:11 159:17 336:7 339:3 391:25 407:20</p> <p>training [20] 58:25 118:25 159:15 206:12 214:14,15,18,21 215:5 321:16,21 329:13 334:5</p>	<p>338:16,17 357:5 386:3 392:8 401:9 407:18</p> <p>transcribed [1] 420:9</p> <p>transcript [1] 420:3</p> <p>transfer [3] 110:11 208:18 245:8</p> <p>transferred [7] 137:21 139:24 165:13 238:13,21 239:1 375:8</p> <p>transition [1] 246:22</p> <p>transpired [1] 251:23</p> <p>transport [1] 244:19</p> <p>transportation [1] 298:24</p> <p>transported [6] 139:10 139:14 140:20,22,25 244:15</p> <p>transporting [1] 246:7</p> <p>travel [2] 22:5 354:17</p> <p>treat [2] 290:24 291:1</p> <p>treating [7] 5:10,17,25 7:5 11:2 12:15,18</p> <p>treatment [1] 412:14</p> <p>tremendously [1] 292:14</p> <p>trends [1] 14:3</p> <p>tried [2] 216:20 411:16</p> <p>triggers [1] 7:1</p> <p>trip [1] 22:10</p> <p>Trish [16] 21:15 30:6 80:2 82:11 101:4 168:11 168:22 169:16,17,21 170:17 177:10 179:17 203:2 333:13,22</p> <p>trouble [2] 189:4 348:13</p> <p>troubleshooting [4] 17:23 347:9 348:12,14</p> <p>troublesome [1] 294:4</p> <p>true [5] 44:1 74:18 304:20,21 420:3</p> <p>truly [3] 48:10,18 68:8</p> <p>try [13] 21:8 55:9 67:22 114:8 197:15 265:11 319:8 340:21 341:1,10 411:12,21 417:12</p> <p>trying [23] 14:22 55:5 67:21 83:6 88:15 109:24 161:13 164:2 173:10 218:22 234:12 241:15,18 243:8 258:25 263:23 264:19,21 273:7 314:6 317:20 340:2 349:17</p> <p>turn [8] 20:1 134:6 240:8 310:12 346:5 350:21 351:10 352:14</p> <p>turnaround [3] 229:4 247:1 401:12</p> <p>turned [1] 412:14</p> <p>Turning [1] 345:3</p> <p>Twenty-nine [1] 395:1</p> <p>twice [1] 261:22</p> <p>twin [1] 262:16</p> <p>two [80] 4:13 5:8 7:7,11 7:19 8:3 9:5 10:12 31:6</p>
--	--	--	---	--

<p>49:13 53:1 66:16 68:2 82:24 83:25 84:7 87:20 87:23,25 88:2,7,18 90:3 90:25 101:3 107:25 108:7 115:1 117:23 122:8 127:23 132:5 149:20 170:2,8 182:19 183:1,6 185:7 211:18 218:24 219:4,12,19 226:11 232:1 238:12 239:3,10 241:6 242:15,23 243:4,13 258:3 259:14,24 272:8 280:2 310:14,16 321:23 340:3 340:21 347:5 351:8 354:24 358:22 374:4,5 376:7 383:24 386:1,2 391:9 396:5,7 400:24 412:10,14</p> <p>type [17] 46:1 66:7 117:23,23,23,23 118:3 133:14 184:5 193:12 307:12 325:15 335:21 347:10,16 353:11 367:11</p> <p>types [15] 21:10 27:13 67:24 71:14 258:22 303:9 321:11 328:2,24 334:3 337:9 357:14 359:2 404:14 414:10</p> <p>typing [1] 258:19</p> <hr/> <p style="text-align: center;">-U-</p> <hr/> <p>Uh-hm [6] 175:10 207:24 400:11,17 401:17 402:6</p> <p>UK [2] 271:1,6</p> <p>ultimate [2] 85:4 418:23</p> <p>ultimately [5] 39:19 120:8,13,15 418:15</p> <p>uncomfortable [1] 326:11</p> <p>under [17] 23:19 64:23 68:10 69:3 132:21 148:24 165:5 174:7 216:22 285:19 296:18 297:12 310:14 354:12 389:1 392:9 394:21</p> <p>undergo [2] 133:13 214:15</p> <p>undergoing [2] 278:14 280:4</p> <p>understand [44] 17:20 21:15 25:15 35:3 40:9 42:1 45:4 56:12 69:14 69:17 78:15 82:5 93:6 93:10 96:4 124:19 127:24 134:7 138:17 147:21 168:24 209:6 226:24 242:19 248:7 260:10,16 261:14 267:7 270:13 280:24 293:25 306:7 314:4,6 348:14 355:6,10 355:11 362:9,15 374:9 379:19 412:22</p> <p>understands [1] 96:7</p> <p>understood [6] 15:15 214:3 267:24 273:13 274:13 281:10</p> <p>undertaken [1] 395:11</p> <p>undertook [1] 75:21</p>	<p>unfamiliar [1] 133:5</p> <p>unfortunately [1] 195:25</p> <p>unilaterally [1] 189:9</p> <p>uninterrupted [2] 384:1 385:5</p> <p>union [3] 116:2 215:1 233:14</p> <p>unique [3] 267:25 268:10 346:19</p> <p>units [2] 213:18 236:8</p> <p>university [3] 214:20 215:16 354:15</p> <p>unless [1] 68:19</p> <p>unlike [1] 43:11</p> <p>unlikely [1] 72:7</p> <p>unmasking [1] 74:19</p> <p>unreal [1] 21:11</p> <p>unreliable [3] 84:9 85:14 91:13</p> <p>unusual [1] 176:15</p> <p>up [100] 15:14 17:8 18:2 18:5,6 27:20 57:1 59:1 59:19 67:24 74:1 91:4 97:5 103:16 106:7 109:25 114:17 119:4,25 120:1,1 124:23 132:10 134:17,18 137:9 139:22 141:7,19 141:20 147:9,15,20 159:11 160:2 162:19 163:25 176:11 177:4 178:21 179:3,5,23 185:19 189:15 191:3 196:2 197:18 206:12 222:17 225:2,4 226:24 234:19 239:25 246:13,15 249:14 249:14,15,18 255:4,11 257:17 259:14,24 260:13 260:14,20 261:6 274:9 274:24 276:19 277:23 281:20 284:7 292:23 302:22 303:4 304:16,19 309:1 316:8 325:11 333:12 343:12 358:3 363:25 365:1 366:22 382:7 384:15 388:3 391:8 396:16 397:22 399:5 401:6 404:24 407:13</p> <p>upcoming [1] 22:10</p> <p>update [3] 122:9 123:5 164:12</p> <p>updated [1] 103:23</p> <p>upgrade [1] 345:17</p> <p>upset [3] 158:17 251:10 254:18</p> <p>upsetting [1] 49:12</p> <p>urgency [1] 81:13</p> <p>urgent [1] 76:25</p> <p>used [17] 17:24 133:1 167:11,16 184:5,8,10 193:20 233:19 299:20 302:19 306:5 311:16 314:9 329:6,18 356:19</p> <p>useful [4] 202:6 271:18 272:18 349:1</p> <p>uses [1] 378:8</p>	<p>using [20] 17:14 41:15 41:16,17,20 42:24 43:4 59:4 67:5,5 72:8 74:16 138:1,3 194:13,14 370:22 377:2 386:19 387:6</p> <p>usual [2] 200:4,6</p> <p>usually [8] 17:11,14 26:7 142:6 150:15 341:15 348:6 378:18</p> <p>utilization [1] 259:7</p> <hr/> <p style="text-align: center;">-V-</p> <hr/> <p>vacant [1] 247:15</p> <p>vacation [1] 263:3</p> <p>vacations [1] 262:24</p> <p>validate [1] 77:3</p> <p>validating [3] 299:16 302:18 329:10</p> <p>validation [17] 41:1 51:21 77:4,6 79:22 134:17,18 273:10 302:21 306:11 328:10,14,25 329:5 330:10 384:14 389:12</p> <p>validations [1] 300:23</p> <p>valuable [1] 359:4</p> <p>value [8] 109:21 110:14 137:19 345:12 354:1 355:20 359:9 407:9</p> <p>variabilities [1] 78:20</p> <p>variable [2] 323:1 360:11</p> <p>variations [1] 116:25</p> <p>variety [3] 245:7 301:9 364:16</p> <p>various [6] 231:11 233:13 249:7 265:20 266:7 333:7</p> <p>vary [1] 358:11</p> <p>Ventana [57] 43:10 58:20 63:7,14 73:2 74:12 74:14 75:1,10 76:1 77:11 78:21 100:24 101:15,19 101:21 102:1,8 104:21 105:14 106:1 107:3,7,17 107:19 119:12 122:21 123:18,20 125:14 126:4 126:13,21 127:1,8,9,11 127:14,17,21 184:10 299:16 302:4 304:7,15 304:18 305:4,9 306:4,8 307:8,20 310:16,18,22 311:14 312:1</p> <p>verbally [2] 228:14 229:19</p> <p>verified [1] 42:22</p> <p>verify [1] 34:7</p> <p>version [3] 53:21 54:1 388:4</p> <p>versus [9] 74:16 186:23 234:24 306:17 307:9 312:19 324:16,20,21</p> <p>view [21] 6:4 59:20 67:1 68:1,3,5 69:2 97:20 107:1 136:16 144:12 267:14 273:21 274:6</p>	<p>280:25 282:15 288:4 317:7 322:16 323:22 324:6</p> <p>views [2] 221:24 381:21</p> <p>Vince [3] 118:17,17 167:10</p> <p>vision [2] 217:15,18</p> <p>visionary [1] 409:14</p> <p>visit [17] 21:18 60:17 62:13,22 76:2,6 114:14 114:16,22 246:11 276:11 276:13 279:14,17 280:1 372:12 394:24</p> <p>visited [3] 114:24 226:10 263:2</p> <p>visits [1] 115:1</p> <p>vocal [1] 294:23</p> <p>voice [1] 273:4</p> <p>VP [1] 69:20</p> <hr/> <p style="text-align: center;">-W-</p> <hr/> <p>Wade [3] 121:12 353:15 387:25</p> <p>wait [3] 57:7 149:14,18</p> <p>waiting [2] 378:15 388:18</p> <p>walk [1] 403:13</p> <p>walked [1] 403:7</p> <p>walking [1] 24:2</p> <p>wand [1] 43:13</p> <p>wanting [3] 80:25 257:21 259:25</p> <p>ware [1] 155:5</p> <p>washing [2] 75:8 404:17</p> <p>watch [1] 406:9</p> <p>weak [1] 72:12</p> <p>Wednesday [2] 168:12 291:18</p> <p>week [13] 7:19 22:12 60:20,25 61:2 74:15 108:7 156:18 291:25 341:24 342:15,24 410:1</p> <p>weekly [3] 40:22 334:10 336:5</p> <p>weeks [6] 108:7 229:7 307:23 377:12 400:24 416:24</p> <p>Wegrynowski [29] 21:15 22:4 27:7 29:19 31:14 35:14 39:25 50:22 52:21 56:5 57:25 58:21 61:19 64:19 80:2,21 82:11 101:4 143:8,12 170:23 177:5 203:2,3 276:4 278:19 334:4 335:11 381:17</p> <p>Wegrynowski's [8] 25:16 39:23,24 275:6 333:13,22 372:11 394:23</p> <p>Western [4] 1:16 193:15 193:20 283:6</p> <p>Whalen [1] 1:10</p> <p>whereas [5] 159:23 190:25 323:7,8,11</p>	<p>whole [18] 20:8 33:8 66:15 120:23 146:3 194:3 194:4 203:13 205:5 245:7 277:9 290:14,17 295:21 326:6 330:4 387:10,16</p> <p>wide [1] 215:5</p> <p>Williams [10] 38:5 59:16 59:17 68:16 82:7 100:19 129:2 130:21 131:10 164:9</p> <p>willing [2] 30:21 318:9</p> <p>window [1] 57:5</p> <p>withdrew [1] 273:8</p> <p>within [16] 7:18 33:2 38:11 70:5 201:20 296:2 351:16,23 374:11 376:23 387:16,22 389:3 395:10 397:10 413:19</p> <p>without [16] 53:6 84:6 86:24 90:8 104:24 110:4 133:4 142:4 163:5,14,21 163:24 164:3 184:12 248:11 292:15</p> <p>witness [1] 419:17</p> <p>wonder [2] 338:5 343:12</p> <p>wondering [2] 299:19 362:17</p> <p>word [9] 11:15 82:19 83:4 173:4 198:15 276:19 276:21 329:5 401:21</p> <p>wording [1] 96:11</p> <p>words [4] 58:9 251:14 266:15 296:7</p> <p>worked [9] 54:4 85:3 208:25 215:11 241:6 286:1,8 397:23 406:17</p> <p>workflow [4] 65:18,21 384:2 385:5</p> <p>workload [14] 213:18 230:5 234:13,24 241:6 399:3 401:11 410:17 411:14,18,24 412:1,19 413:6</p> <p>workloads [1] 228:6</p> <p>works [2] 160:12,14</p> <p>worksheets [1] 53:16</p> <p>world [1] 298:10</p> <p>worried [2] 24:19 158:4</p> <p>worry [2] 296:8,11</p> <p>worrying [1] 264:19</p> <p>write [5] 18:8 80:21,25 118:16 382:3</p> <p>writes [5] 51:19 64:25 100:22 107:21 180:12</p> <p>writing [12] 22:7 58:17 71:7 81:16,21 85:21 86:7 105:22 317:17 319:12,13 408:15</p> <p>written [34] 45:24 58:14 58:15 59:23,23 80:6 85:19 86:9 89:18 101:10 104:5 111:9 117:21 134:18 141:24 151:16,20 152:20 153:1,5 233:25 274:16 317:8 318:24 327:1 364:6 375:22,23</p>
---	--	--	--	--

<p>384:4,23 385:19 386:17 390:2,24</p> <p>wrong [4] 45:12 102:21 279:19 369:23</p> <p>wrote [11] 47:19 58:16 81:20 84:22 114:6 213:24 216:17 224:12 307:25 314:21 393:19</p> <hr/> <p style="text-align: center;">-X-</p> <hr/> <p>Xpress [3] 227:19,25 393:24</p> <hr/> <p style="text-align: center;">-Y-</p> <hr/> <p>y [1] 164:18</p> <p>year [39] 36:25 54:1 56:5 63:22 64:5,16 70:16,23 73:24 77:3 91:17 152:5 152:5 176:7 214:19 234:22 332:23 339:9,24 340:3,6,9,11,13,16,21 341:1,2,5 358:12,13 372:16 382:10,10 398:13 398:15,22,22 401:23</p> <p>yearly [1] 376:10</p> <p>years [17] 28:21 29:9 84:5 85:11 86:24 90:8 222:16,18 233:10 299:5 323:6 331:4 342:13 358:16,17,20 413:19</p> <p>yesterday [13] 4:13 6:10 11:7 13:14 28:23 49:8 52:17 59:3 237:7 248:14 259:22 273:6 291:10</p> <p>yet [9] 153:1 165:11 180:19 182:22 378:22 388:8 390:4 400:18 418:20</p> <p>yourself [12] 18:19 30:3 83:1,20 90:5 121:11 130:21 167:9 168:10 180:12 183:25 195:20</p>				
---	--	--	--	--