

<p style="text-align: center;">COMMISSION OF INQUIRY ON HORMONE RECEPTOR TESTING</p> <p style="text-align: center;">BEFORE THE HONOURABLE JUSTICE CAMERON - COMMISSIONER</p> <p style="text-align: center;">MARCH 28, 2008</p> <p>Appearances:</p> <p>Bernard Coffey, Q.C. Commission Co-counsel</p> <p>Sandra Chaytor, Q.C. Commission Co-counsel</p> <p>Rolf Pritchard Her Majesty in Right of NL</p> <p>Daniel Simmons Eastern Regional Integrated Health Authority</p> <p>Chesley Crosbie, Q.C. Members of the Breast Cancer Testing Class Action</p> <p>Jennifer Newbury Canadian Cancer Society (NL Division)</p> <p>David Eaton, Q.C. Central, Western and Labrador-Grenfell Regional Integrated Health Authorities</p> <p>Ms. Stacey O’Dea Co-counsel</p>	<p style="text-align: center;">LIST OF EXHIBITS</p> <p>EXHIBIT P-0119 Pg. 5</p> <p>EXHIBITS P-0120, P-0121, P-0122 Pg. 151</p>
<p style="text-align: center;">TABLE OF CONTENTS</p> <p>MS. JOAN DAWE - RESUMES THE STAND</p> <p>Examination by Chesley Crosbie, Q.C. Pgs. 1 - 55</p> <p>Examination by Mr. Daniel Simmons Pgs. 55 - 188</p> <p>Re-examination by Bernard Coffey, Q.C. Pgs. 188 - 255</p> <p>Examination by The Commissioner Pgs. 255 - 261</p> <p>Discussion Pgs. 261 - 262</p> <p>Certificate</p>	<p style="text-align: right;">Page 4</p> <p>1 THE COMMISSIONER:</p> <p>2 Q. Please be seated. Mr. Crosbie?</p> <p>3 MS. JOAN DAWE, EXAMINATION BY CHESLEY CROSBIE, Q.C.</p> <p>4 CROSBIE, Q.C.:</p> <p>5 Q. I’m just admiring this rubber mat here,</p> <p>6 Commissioner. I don’t know if it’s to make</p> <p>7 standing more comfortable or to prevent the</p> <p>8 person at the podium from being electrocuted.</p> <p>9 THE COMMISSIONER:</p> <p>10 Q. Maybe a little of both.</p> <p>11 CROSBIE, Q.C.:</p> <p>12 Q. They could use a few of these down at the</p> <p>13 Courthouse. Thank you, and good morning, Ms.</p> <p>14 Dawe.</p> <p>15 MS. DAWE:</p> <p>16 A. Good morning, Mr. Crosbie.</p> <p>17 THE COMMISSIONER:</p> <p>18 Q. Mr. Crosbie, I’ve been provided with the</p> <p>19 second exhibit which you referred to yesterday</p> <p>20 which you wished to use, as I understand it.</p> <p>21 CROSBIE, Q.C.:</p> <p>22 Q. Yes.</p> <p>23 THE COMMISSIONER:</p> <p>24 Q. And that would be Exhibit P-0119.</p> <p>25 CROSBIE, Q.C.:</p>

Page 5

1 Q. Thank you.
 2 THE COMMISSIONER:
 3 Q. Entered.
 4 EXHIBIT ENTERED AND MARKED EXHIBIT P-0119
 5 CROSBIE, Q.C.:
 6 Q. Ms. Dawe, first I'd like to express for
 7 myself, and I'm sure the sentiment is echoed
 8 by everybody here, that my admiration for you
 9 for taking on the onerous duties of the
 10 volunteer position that you occupy and I'm
 11 sure the community in general is thankful to
 12 you for all the good efforts on the volunteer
 13 side you've made over the years.
 14 MS. DAWE:
 15 A. Thank you. I appreciate your comment.
 16 CROSBIE, Q.C.:
 17 Q. I'd like to talk about the issue of the review
 18 panel and the establishment of the review
 19 panel.
 20 MS. DAWE:
 21 A. Yes.
 22 CROSBIE, Q.C.:
 23 Q. Remember the panel that made treatment
 24 recommendations, I'd like to start with that.
 25 Mr. Coffey showed you the minute which noted a

Page 6

1 panel composed of two surgeons and three
 2 oncologists, at least that's how it started
 3 out, right? That's what you recall?
 4 MS. DAWE:
 5 A. That's my understanding.
 6 CROSBIE, Q.C.:
 7 Q. And this panel was established to recommend
 8 changes to treatment or to consider and make
 9 recommendations where appropriate, that's your
 10 understanding, and he asked you if the Board
 11 discussed the propriety of this, of this
 12 setup.
 13 MS. DAWE:
 14 A. Yes.
 15 CROSBIE, Q.C.:
 16 Q. And I think your answer was the Board had not
 17 discussed the propriety of it?
 18 MS. DAWE:
 19 A. To my knowledge, no. Yes, correct.
 20 CROSBIE, Q.C.:
 21 Q. Right, that's what I recall.
 22 MS. DAWE:
 23 A. Yes.
 24 CROSBIE, Q.C.:
 25 Q. I'm just sort of making sure we're on the same

Page 7

1 ground here. You, yourself, have a background
 2 in clinical health care?
 3 MS. DAWE:
 4 A. Yes.
 5 CROSBIE, Q.C.:
 6 Q. And perhaps I could ask you, is it the
 7 generally accepted model of physician/patient
 8 relationship to treat patients by
 9 recommendations of panels?
 10 MS. DAWE:
 11 A. Well, physicians routinely--I shouldn't say
 12 routinely, but physicians often consult with
 13 their peers for advice. So for me, it would
 14 not be something completely unusual.
 15 CROSBIE, Q.C.:
 16 Q. Yes, I'm sure that happens and I'm sure we're
 17 all glad that it happens that issues are taken
 18 to colleagues to get input, but that would
 19 usually happen in a situation where--well, let
 20 me put it this way. The actual treatment
 21 decision is discussed with the patient,
 22 correct? In other words, a clinician might
 23 take an issue to colleagues, but they would go
 24 back to the patient with the clarification in
 25 their own mind and the treatment decision

Page 8

1 would ordinarily be made in a clinical
 2 relationship in which discussion can happen
 3 between the clinician and the patient being
 4 treated. Is that a correct description?
 5 MS. DAWE:
 6 A. I think to again keep it in context, Mr.
 7 Crosbie, and with respect, the information
 8 that I have, the clinicians, at that time,
 9 acted in the best interest of patients to make
 10 sure that every patient was given the
 11 advantage of whatever treatment was available,
 12 and I think it would be very unfair for me to
 13 comment on a matter, a clinical matter of that
 14 nature, and I would suggest to you it would be
 15 more appropriate to wait until these people
 16 have an opportunity to be witness to speak for
 17 themselves. I think it's certainly beyond my
 18 ability to comment on the rationale for this,
 19 but I accept, as traditional practice would, I
 20 think, demonstrate that it's not unusual at
 21 all for physicians or nurses or others to
 22 consult with their peers in the best interest
 23 of providing the very best possible care for
 24 patients.
 25 CROSBIE, Q.C.:

Page 9

1 Q. How usual is it for a panel to rely on a chart
 2 review and no clinical discussion with the
 3 patient?
 4 MS. DAWE:
 5 A. Yeah.
 6 CROSBIE, Q.C.:
 7 Q. In the process of making treatment
 8 recommendations?
 9 MS. DAWE:
 10 A. I'm suggesting to you, I'm here representing a
 11 Board of Trustees and to respond at that
 12 level, sir, you know, I think would be very
 13 inappropriate for me.
 14 CROSBIE, Q.C.:
 15 Q. You don't want -
 16 MS. DAWE:
 17 A. Beyond what I've indicated to you.
 18 CROSBIE, Q.C.:
 19 Q. So you'd prefer not to comment on whether
 20 that's usual or unusual?
 21 MS. DAWE:
 22 A. This--no, I'm not suggesting that either.
 23 This circumstance was a very, very unusual
 24 situation, and I think as we've all learned,
 25 there was no experience that these people

Page 10

1 could draw on elsewhere in this country or
 2 otherwise to help determine the way they were
 3 going to deal with this very difficult
 4 situation, and I guess that's what I'm
 5 suggesting to you. It's not--you can't go to
 6 a textbook or on the internet and have it
 7 clearly defined what the procedure should be
 8 in this sort of circumstance. So I'm
 9 suggesting to you, I would--it would be most
 10 inadequate for me to provide that level of a
 11 clinical response to you. I'm suggesting -
 12 CROSBIE, Q.C.:
 13 Q. Are you suggesting that an unusual situation
 14 required an unusual response?
 15 MS. DAWE:
 16 A. No, I'm suggesting to you it's a very unusual
 17 situation and I really would prefer that you
 18 address that question to the clinicians when
 19 they have an opportunity to be here to provide
 20 their testimony, sir.
 21 CROSBIE, Q.C.:
 22 Q. Then we will do that. Later we see that a
 23 risk manager was added to the panel. Is that
 24 right?
 25 MS. DAWE:

Page 11

1 A. Yes, I understand, yes.
 2 CROSBIE, Q.C.:
 3 Q. Is that usual?
 4 MS. DAWE:
 5 A. This set of circumstance was not usual and I
 6 really--again, I'm not able to go beyond what
 7 I've suggested to you earlier, unfortunately.
 8 The risk manager has, in part of the
 9 investigation, has a role to play. I really
 10 and truly can't speak in any more detail than
 11 I have.
 12 CROSBIE, Q.C.:
 13 Q. In your capacity as a Board member and Board
 14 Chair -
 15 MS. DAWE:
 16 A. Yes.
 17 CROSBIE, Q.C.:
 18 Q. - when this method of proceeding and making
 19 treatment recommendations was made known to
 20 you -
 21 MS. DAWE:
 22 A. Yes.
 23 CROSBIE, Q.C.:
 24 Q. - did you think to raise the question that the
 25 patient and the treating oncologist were

Page 12

1 assumed to be fully capable to decide on
 2 treatment after the initial hormone receptor
 3 tests between 1997 and cessation in 2005, why
 4 could they not be trusted to make treatment
 5 decisions together after testing was repeated?
 6 MS. DAWE:
 7 A. I would suggest to you, sir, that when the
 8 information was provided to the Board, and
 9 that would have been September/October, in
 10 that level of detail, about the panel and so
 11 on, that the Board would very much take into
 12 consideration the advice from its clinicians,
 13 the physicians, the specialists. Again, it is
 14 all directed at what is in the best interest
 15 of the patient, and I don't--I'm pretty
 16 confident in saying that the Board did not
 17 challenge that structure at that time because
 18 we accepted this was in the best interest of
 19 the patients.
 20 CROSBIE, Q.C.:
 21 Q. And I have no trouble accepting that. So you
 22 would agree that excellence in cancer care is
 23 always the goal?
 24 MS. DAWE:
 25 A. Absolutely.

Page 13

1 CROSBIE, Q.C.:

2 Q. And the accepted clinical model normally of

3 excellence in cancer care is a clinical

4 relationship between the patient and the

5 treating physician.

6 MS. DAWE:

7 A. Yes.

8 CROSBIE, Q.C.:

9 Q. You agree with that?

10 MS. DAWE:

11 A. Yes.

12 CROSBIE, Q.C.:

13 Q. And this model, would you agree, is based on

14 the paramouncy of the patient's own values

15 and priorities?

16 MS. DAWE:

17 A. Yes.

18 CROSBIE, Q.C.:

19 Q. For example, a younger woman with small

20 children might want to do everything possible

21 to extend life, even at the expense of quality

22 of life?

23 MS. DAWE:

24 A. Um-hm.

25 CROSBIE, Q.C.:

Page 14

1 Q. A possible example of that decision making

2 could be Peggy Deane, whose case we heard

3 about earlier in these proceedings. Did you

4 question why a panel could be assumed to do an

5 excellent job of recommending treatment

6 without a clinical interaction with the

7 patient?

8 MS. DAWE:

9 A. No, sir. We accepted the advice of the

10 clinicians.

11 CROSBIE, Q.C.:

12 Q. Did you question why five doctors were needed

13 to make a treatment recommendation after the

14 retest when the usual model is one doctor can

15 give excellent recommendations after the

16 original test?

17 MS. DAWE:

18 A. My answer would be the same, no.

19 CROSBIE, Q.C.:

20 Q. Change topics somewhat. Do you think patients

21 should have the right to request and receive a

22 second opinion in ER/PR testing?

23 MS. DAWE:

24 A. A patient has the right to request in any set

25 of circumstances.

Page 15

1 CROSBIE, Q.C.:

2 Q. A second opinion?

3 MS. DAWE:

4 A. Yes, absolutely. That's a patient's right in

5 any event.

6 CROSBIE, Q.C.:

7 Q. So would you extend that to pathology services

8 in general?

9 MS. DAWE:

10 A. I think--and you're asking an opinion. You're

11 asking me an opinion. I'm suggesting -

12 CROSBIE, Q.C.:

13 Q. Well, you're able--you have an overview from a

14 policy level.

15 MS. DAWE:

16 A. Yes.

17 CROSBIE, Q.C.:

18 Q. So within the constrictions on your role, I am

19 asking.

20 MS. DAWE:

21 A. Yes, but I would also suggest to you, based on

22 my background, I would say to you, a patient

23 always has the right to request a second

24 opinion.

25 CROSBIE, Q.C.:

Page 16

1 Q. And that includes in matters of pathology?

2 MS. DAWE:

3 A. In any matter.

4 CROSBIE, Q.C.:

5 Q. I'd like to pass on to the--what we can call

6 the Ejeckam memos.

7 MS. DAWE:

8 A. Yes.

9 CROSBIE, Q.C.:

10 Q. The first time you read the Ejeckam memos was--

11 these memos being written in 2003, is I think

12 was mentioned in February this year when you

13 were interviewed by Commission lawyers? You

14 were shown those memos then?

15 MS. DAWE:

16 A. I believe I heard about the memo, I think.

17 Was this the--I have to clarify. Was this the

18 memo that I referred to that the Premier used

19 in the House of Assembly?

20 CROSBIE, Q.C.:

21 Q. That's the memo.

22 MS. DAWE:

23 A. Well, that, I had heard about it, yes. That

24 was the first time I had heard about that. I

25 think I indicated that.

Page 17

1 CROSBIE, Q.C.:

2 Q. So the first time you actually read them was

3 yesterday?

4 MS. DAWE:

5 A. No, I'm not sure when--now there were several,

6 were there not? You know, I'm trying to

7 recall here now.

8 CROSBIE, Q.C.:

9 Q. Yes, there's not just one. There's a couple.

10 MS. DAWE:

11 A. Yes, but okay, the first time I had heard of

12 Dr. Ejeckam's name and the matter was, as I

13 indicated, was when the Premier used the

14 document in the House of Assembly.

15 CROSBIE, Q.C.:

16 Q. I just want to clarify the first time you read

17 them was when?

18 MS. DAWE:

19 A. Now you're asking "them" and I would really

20 have to see the "them"

21 CROSBIE, Q.C.:

22 Q. Or any of them.

23 MS. DAWE:

24 A. I'm not sure if after we had--it had been

25 shown--released in the House of Assembly,

Page 18

1 whether we had seen them between that period,

2 but much of what I saw yesterday or the day

3 before I had seen for the first time. So I'd

4 really have to--as I said, as I looked at

5 these, as they were presented the last two

6 days, and the information that I presented,

7 that I gave then was to the best of my

8 knowledge accurate. If I said, as I saw the

9 letter, I hadn't seen this before, that's

10 truth to the best of my knowledge.

11 THE COMMISSIONER:

12 Q. Mr. Crosbie, I don't know if it's any

13 assistance to the witness, but as I understand

14 it, you're referring to P-0113.

15 CROSBIE, Q.C.:

16 Q. I am. That could be brought up there.

17 THE COMMISSIONER:

18 Q. And so if we could -

19 MS. DAWE:

20 A. Okay.

21 THE COMMISSIONER:

22 Q. Yes, it's in your book and it's before you, so

23 if you want to -

24 MS. DAWE:

25 A. Yes, it would be helpful.

Page 19

1 THE COMMISSIONER:

2 Q. - look at them to be more precise about what

3 you recall, you can do so.

4 MS. DAWE:

5 A. Yes.

6 CROSBIE, Q.C.:

7 Q. Well, why don't you take a moment then, and

8 have a look, either on the screen or in the

9 book you have there.

10 MS. DAWE:

11 A. 0113.

12 THE COMMISSIONER:

13 Q. It'll be towards the end of the book.

14 MS. DAWE:

15 A. Okay.

16 CROSBIE, Q.C.:

17 Q. Could I ask, Madame, to bring up to the bottom

18 of the memo on the screen there?

19 THE COMMISSIONER:

20 Q. Now there are a number of--is this the page

21 you want though, Mr. Crosbie, because there

22 are a number of pages in that?

23 CROSBIE, Q.C.:

24 Q. Yes, I know. Another page, please.

25 THE COMMISSIONER:

Page 20

1 Q. Page two. Scroll down, please.

2 CROSBIE, Q.C.:

3 Q. And a bit further down.

4 MS. DAWE:

5 A. These, I had not seen these until I saw them

6 here. That's why I needed to see what you

7 were referring to.

8 CROSBIE, Q.C.:

9 Q. When you saw them yesterday?

10 MS. DAWE:

11 A. Yes.

12 CROSBIE, Q.C.:

13 Q. Okay. You're aware then when the Premier

14 produced those memos, which are the ones, we

15 all believe, I think, or at least some of them

16 anyway, in the House of Assembly in May 2005 -

17 MS. DAWE:

18 A. No.

19 CROSBIE, Q.C.:

20 Q. No, but the question is, you could gather from

21 that that these might be important documents,

22 from the fact that they were produced by the

23 Premier?

24 MS. DAWE:

25 A. My understanding, when the Premier produced

Page 21

1 the--there was one document that was produced
 2 in the House of Assembly. That's all I knew
 3 at that time. What I saw here yesterday,
 4 these are new documents for me.
 5 CROSBIE, Q.C.:
 6 Q. Yes. One of which may have been produced?
 7 MS. DAWE:
 8 A. One of -
 9 CROSBIE, Q.C.:
 10 Q. By the Premier?
 11 MS. DAWE:
 12 A. Yes, in May of 2007.
 13 CROSBIE, Q.C.:
 14 Q. So it appeared that these documents, or one of
 15 them anyway, could be important?
 16 MS. DAWE:
 17 A. Yes.
 18 CROSBIE, Q.C.:
 19 Q. You assumed, I take it, that the CEO would
 20 bring any of these memos that were important
 21 to your attention if they involved policy
 22 matters?
 23 MS. DAWE:
 24 A. If they related to policy, yes.
 25 CROSBIE, Q.C.:

Page 22

1 Q. Yes. You would assume the CEO would bring
 2 that to your attention or bring them or it to
 3 your attention?
 4 MS. DAWE:
 5 A. If it were a matter of importance, such as to
 6 engage or inform the Board on matters related
 7 to in policy, yes, sir.
 8 CROSBIE, Q.C.:
 9 Q. Could I ask you to bring up the memo that--
 10 we're looking at the June 19th, just bring it
 11 up so I can see the balance of it.
 12 THE COMMISSIONER:
 13 Q. You have your own mouse there, if you want to
 14 be in control, Mr. Crosbie. Right there, in
 15 front of you, there's a mouse.
 16 REGISTRAR:
 17 Q. You can use the little wheel on the mouse and
 18 scroll down through.
 19 CROSBIE, Q.C.:
 20 Q. Oh, great; didn't know that. Yes, it's
 21 paragraph six that I'm looking at.
 22 THE COMMISSIONER:
 23 Q. So, that would be page seven of the -
 24 CROSBIE, Q.C.:
 25 Q. Page seven.

Page 23

1 THE COMMISSIONER:
 2 Q. - document, paragraph six.
 3 CROSBIE, Q.C.:
 4 Q. Do you have that there, Ms. Dawe?
 5 MS. DAWE:
 6 A. Yes, sir, I do.
 7 CROSBIE, Q.C.:
 8 Q. You can see in paragraph six, the statement--
 9 there are several provocative statements made
 10 in this particular memo, but the one I'll
 11 direct your attention to here is "diagnosis
 12 based on inappropriate immuno stain will
 13 surely jeopardize patient care and may even
 14 expose the Health Care Corporation of St.
 15 John's to litigation," and you see that
 16 statement?
 17 MS. DAWE:
 18 A. Yes, I do.
 19 CROSBIE, Q.C.:
 20 Q. And we're aware, I think, that Dr. Ejeckam
 21 halted IHC testing for about five weeks back
 22 in 2003.
 23 MS. DAWE:
 24 A. Yes.
 25 CROSBIE, Q.C.:

Page 24

1 Q. And this memo relates to the halting of the
 2 testing in 2003. Is that correct?
 3 MS. DAWE:
 4 A. That's--the date of this memo is again? The
 5 date of this memo?
 6 CROSBIE, Q.C.:
 7 Q. June 19th.
 8 MS. DAWE:
 9 A. Of 2003?
 10 CROSBIE, Q.C.:
 11 Q. Yes.
 12 MS. DAWE:
 13 A. That's correct, yes. That's my understanding.
 14 CROSBIE, Q.C.:
 15 Q. My question is, does this describe, this memo
 16 and this statement in particular that I read
 17 out, does it describe a problem of the nature
 18 that you would expect management to bring to
 19 the attention of the Board?
 20 MS. DAWE:
 21 A. In 2003 to the Health Care Corporation Board,
 22 you're asking?
 23 CROSBIE, Q.C.:
 24 Q. I'm actually asking about when the existence
 25 of the memo became common public knowledge.

Page 25

1 MS. DAWE:
 2 A. 2007.
 3 CROSBIE, Q.C.:
 4 Q. When the Premier brought them out into the
 5 public in May of 2007. I may have said 2005
 6 before, but it was May 2007, wasn't it, that
 7 he -
 8 MS. DAWE:
 9 A. Yes.
 10 CROSBIE, Q.C.:
 11 Q. - that the Premier made them public?
 12 MS. DAWE:
 13 A. Last May.
 14 CROSBIE, Q.C.:
 15 Q. So the question is, in May 2007 or
 16 thereabouts, does--almost--I don't know if she
 17 doesn't like this line of questioning or what.
 18 Others might not have seen, but the glass of
 19 water almost went that way. I spent a lot of
 20 time in Court with Sandra, so I know some of
 21 her tricks. I'm sorry, we're sort of off
 22 topic a little, so I'll repeat the question.
 23 In the middle of 2007, what I just read
 24 out, and so we're not confused now, I'll read
 25 it out again. "Diagnosis based on

Page 26

1 inappropriate immuno stain will surely
 2 jeopardize patient care and may even expose
 3 the Health Care Corporation of St. John's to
 4 litigation." And my question is, does this
 5 describe a problem of the nature that you
 6 would expect management to bring to the
 7 attention of the Board?
 8 MS. DAWE:
 9 A. Yes. Remember, this was a 2003 memo. I'm not
 10 sure of the amount of information in this memo
 11 that we were aware of then after the Premier
 12 release. Because I know that there was
 13 questioning what was that letter that the
 14 Premier released in the House of Assembly.
 15 That would be the first knowledge that I have.
 16 CROSBIE, Q.C.:
 17 Q. However, it seems the document itself was
 18 never taken to the Board.
 19 MS. DAWE:
 20 A. No, I had never--no, if that's your question,
 21 sir -
 22 CROSBIE, Q.C.:
 23 Q. Or to you?
 24 MS. DAWE:
 25 A. No. If that's your question, the answer is

Page 27

1 no.
 2 CROSBIE, Q.C.:
 3 Q. And to pick up on something you raised
 4 earlier, and we will find out in due course
 5 whether Mr. Tilley or Dr. Williams or who
 6 outside of the immediate pathology and
 7 oncology people knew about these memos back in
 8 2005. Maybe Mr. Tilley didn't know about it.
 9 MS. DAWE:
 10 A. That's -
 11 CROSBIE, Q.C.:
 12 Q. Maybe he did. But we'll find that out in due
 13 course.
 14 MS. DAWE:
 15 A. And that--and I'm very happy to hear you say
 16 that, because as I'm presented with these
 17 documents, I really don't understand the
 18 context around who was involved, and so it's
 19 really important for both Dr. Williams and Mr.
 20 Tilley, in particular, it's Mr. Tilley who
 21 reports to the Board, but Dr. Williams would
 22 be given the details about the ER/PR
 23 circumstances. He's the person who was
 24 reporting. They would have to determine
 25 whether they even knew these documents

Page 28

1 existed, in order for the Board to be aware
 2 obviously. So I'm happy to hear you say that.
 3 They'd have to speak for themselves in this
 4 matter.
 5 CROSBIE, Q.C.:
 6 Q. So that's why I'm going to put the question
 7 this way. If Mr. Tilley were privy to these
 8 memoranda back in 2005, do they appear to
 9 describe a problem, the dimensions of which is
 10 something that ought to have been brought to
 11 the attention of the Board?
 12 MS. DAWE:
 13 A. I believe, under the circumstances and the
 14 discussion around the matter.
 15 CROSBIE, Q.C.:
 16 Q. Your answer is yes?
 17 MS. DAWE:
 18 A. Yes.
 19 CROSBIE, Q.C.:
 20 Q. I'd like to turn now to P-0112, please, page
 21 one, fourth paragraph. So this is a memo, I
 22 don't have the date there. If you could just
 23 give us the date? From George Tilley -
 24 MS. DAWE:
 25 A. 31st of May.

1 CROSBIE, Q.C.:

2 Q. - sent to the trustees, 31st of May 2007,

3 fourth paragraph, please. So if we look down

4 in the fourth paragraph, Mr. Tilley poses,

5 this is for the benefit of the Board, and

6 answers the question--going from my notes, I

7 just want to find it again. Yes, okay. So

8 it's the--it's down where he says, toward the

9 bottom of the screen, "the questions of the

10 media were many, including: why was something

11 not done about this in 2003?" You see that?

12 MS. DAWE:

13 A. Yes, sir.

14 CROSBIE, Q.C.:

15 Q. "Why was something not done about this in

16 2003?" and he gives the Board the following

17 answer, quote, "the focus at that time was

18 about tissue staining and there was no

19 indication of a results concern." You see

20 that?

21 MS. DAWE:

22 A. Yes, I do.

23 CROSBIE, Q.C.:

24 Q. Now we've just looked at the Ejeckam memo, or

25 at least one of them anyway, where it stated

1 A. I can't speak--I know what Mr. Tilley informed

2 the Board. I have no doubt, absolutely no

3 doubt, that Mr. Tilley had any other motive

4 but to keep the Board informed as he knew and

5 saw fit.

6 CROSBIE, Q.C.:

7 Q. And you -

8 MS. DAWE:

9 A. And maybe this is the information he had

10 available to him at that time.

11 CROSBIE, Q.C.:

12 Q. And that may be.

13 MS. DAWE:

14 A. That may be.

15 CROSBIE, Q.C.:

16 Q. We'll hear from him in due course.

17 MS. DAWE:

18 A. Yes.

19 CROSBIE, Q.C.:

20 Q. Which won't be too long from now.

21 MS. DAWE:

22 A. Yes.

23 CROSBIE, Q.C.:

24 Q. So taking--you know, taking that as a given

25 that we're going to hear from Mr. Tilley, and

1 that "diagnosis based on inappropriate immuno

2 stain will surely jeopardize patient care,"

3 and you remember that?

4 MS. DAWE:

5 A. Yes.

6 CROSBIE, Q.C.:

7 Q. Does the advice Mr. Tilley gave to the Board

8 seem consistent with the Ejeckam memorandum?

9 MS. DAWE:

10 A. Based on these two comments, if there's no

11 other information, not 100--not totally

12 consistent.

13 CROSBIE, Q.C.:

14 Q. Not totally consistent.

15 MS. DAWE:

16 A. Um-hm.

17 CROSBIE, Q.C.:

18 Q. Of course, it may be that Mr. Tilley relied on

19 someone else for interpretation of the

20 concerns in 2003.

21 MS. DAWE:

22 A. Well, that's my point here all along.

23 CROSBIE, Q.C.:

24 Q. Sure.

25 MS. DAWE:

1 he may have gotten his information from

2 someone else, and passed it on to the Board in

3 good faith?

4 MS. DAWE:

5 A. Yes.

6 CROSBIE, Q.C.:

7 Q. We can--let's make that assumption.

8 Nonetheless, did Mr. Tilley's advice suggest

9 that there was no issue of patient care

10 involved or arising in 2003? He's saying "the

11 focus at that time was about tissue staining

12 and there was no indication -

13 MS. DAWE:

14 A. No indication of results change.

15 CROSBIE, Q.C.:

16 Q. - of a results concern."

17 MS. DAWE:

18 A. That's the way I would interpret that.

19 CROSBIE, Q.C.:

20 Q. So you would agree then with the statement

21 that Mr. Tilley's advice did suggest, in this

22 memorandum we're looking at here, 0112, that

23 there was no issue of patient care in 2003?

24 MS. DAWE:

25 A. "There was no indication of result change,"

Page 33

1 that's his wording, yes.
 2 CROSBIE, Q.C.:
 3 Q. How do you interpret that? Does that seem to
 4 suggest that issues of patient care and
 5 treatment were not involved?
 6 MS. DAWE:
 7 A. Yes.
 8 CROSBIE, Q.C.:
 9 Q. Yes.
 10 MS. DAWE:
 11 A. Well, if there was no indication of results
 12 concern that you would be led to understand
 13 then that there was not a significant issue
 14 related to patient care. That's my -
 15 CROSBIE, Q.C.:
 16 Q. And yet, so when we contrast that with the
 17 Ejeckam statement, "will surely jeopardize
 18 patient care," there does seem to be an
 19 inconsistency?
 20 MS. DAWE:
 21 A. Yes.
 22 CROSBIE, Q.C.:
 23 Q. And you've already -
 24 MS. DAWE:
 25 A. I've said that.

Page 34

1 CROSBIE, Q.C.:
 2 Q. - agreed.
 3 MS. DAWE:
 4 A. I've said that. I'm not a lawyer.
 5 CROSBIE, Q.C.:
 6 Q. I don't think you have to be to -
 7 MS. DAWE:
 8 A. But that's understandable.
 9 CROSBIE, Q.C.:
 10 Q. - to see that one.
 11 MS. DAWE:
 12 A. Yes.
 13 CROSBIE, Q.C.:
 14 Q. Was Mr. Tilley's advice to the Board less than
 15 accurate? And I'm not talking about his
 16 motives, just his advice on the face of it
 17 here.
 18 MS. DAWE:
 19 A. The information, if I contrast these two
 20 pieces of information, it's not complete.
 21 CROSBIE, Q.C.:
 22 Q. It's not complete, and it's not accurate?
 23 MS. DAWE:
 24 A. It doesn't 100 percent reflect the seriousness
 25 as I see in Dr. Ejeckam's letter.

Page 35

1 CROSBIE, Q.C.:
 2 Q. You would not describe it as accurate advice?
 3 MS. DAWE:
 4 A. No.
 5 CROSBIE, Q.C.:
 6 Q. So we can say it is inaccurate? You agree?
 7 MS. DAWE:
 8 A. It's the opposite.
 9 CROSBIE, Q.C.:
 10 Q. You agree?
 11 MS. DAWE:
 12 A. Yes.
 13 CROSBIE, Q.C.:
 14 Q. Was it misleading advice?
 15 MS. DAWE:
 16 A. I have to say again, I don't think there was
 17 any intention to mislead the Board.
 18 CROSBIE, Q.C.:
 19 Q. I've agreed with you, it doesn't imply
 20 anything about the man's motives.
 21 MS. DAWE:
 22 A. Yes. But it wasn't complete or accurately
 23 reflecting the contents of Dr. Ejeckam's
 24 letter, if that's what you're asking me to
 25 speak to specifically.

Page 36

1 CROSBIE, Q.C.:
 2 Q. Thank you. I'd like to turn now to questions
 3 of patient safety. Does the Board have a
 4 responsibility for patient safety?
 5 MS. DAWE:
 6 A. Yes.
 7 CROSBIE, Q.C.:
 8 Q. There's no doubt about that in your mind?
 9 MS. DAWE:
 10 A. No, no, absolutely.
 11 CROSBIE, Q.C.:
 12 Q. Do you agree that the hospital board should
 13 take its responsibility for patient safety at
 14 least as seriously as it takes the hospital's
 15 financial condition?
 16 MS. DAWE:
 17 A. Absolutely, and I think we demonstrate that by
 18 the quality and safety improvement committee
 19 of the Board.
 20 CROSBIE, Q.C.:
 21 Q. Do you agree--I'm sorry.
 22 MS. DAWE:
 23 A. I'm sorry, no, but that's a demonstration of
 24 how seriously we take our mandate in that
 25 area, and I think I provided the detail

Page 37

1 yesterday of how important this issue was to
 2 us, and I took it to the national level where
 3 we sought best practices in the area before we
 4 fully implemented the committee. So I have no
 5 hesitation in providing you with that
 6 information.
 7 CROSBIE, Q.C.:
 8 Q. Do you agree that the patient has a right to
 9 hospital safety?
 10 MS. DAWE:
 11 A. Absolutely.
 12 CROSBIE, Q.C.:
 13 Q. Could we bring up item, a recent exhibit, I
 14 guess it's 0119? I received this information
 15 late last year from your organization, from
 16 Eastern Health, by way of a Freedom of
 17 Information request. So thank you to Eastern
 18 Health for providing this interesting
 19 information. Does the Board receive reports
 20 on the status of legal claims arising out of
 21 patient injuries?
 22 MS. DAWE:
 23 A. I would not have seen these figures in the
 24 past.
 25 CROSBIE, Q.C.:

Page 38

1 Q. You don't get any regular reporting about the
 2 progress or resolution of legal claims arising
 3 out of patient injuries normally?
 4 MS. DAWE:
 5 A. Not in any great detail, no.
 6 CROSBIE, Q.C.:
 7 Q. Not in great detail?
 8 MS. DAWE:
 9 A. No, no. There may be, through the Safety and
 10 Improvement Committee, report on numbers of
 11 incidents or so, but you know, there's no--as
 12 I said, I have never seen this kind of
 13 information before.
 14 MR. SIMMONS:
 15 Q. Excuse me, Commissioner.
 16 THE COMMISSIONER:
 17 Q. Yes.
 18 MR. SIMMONS:
 19 Q. If I may, Dan Simmons for Eastern Health, the
 20 particular exhibit, P-0119, is one that's just
 21 been entered and we had not seen before. And
 22 although it's an Eastern Health document, it's
 23 released as part of information release and
 24 Mr. Crosbie is free to use it as he wishes,
 25 and Ms. Dawe has not had an opportunity to

Page 39

1 review it. On the face of it, I'm just
 2 wondering if we might--if Mr. Crosbie might
 3 explain what relevance it has to the Terms of
 4 Reference of the Inquiry, if any, to determine
 5 whether its anything arising out of it that's
 6 an appropriate line of questioning for Ms.
 7 Dawe.
 8 THE COMMISSIONER:
 9 Q. Mr. Simmons seems to think you're off on a
 10 frolic of your own here, Mr. Crosbie. What's
 11 the response?
 12 CROSBIE, Q.C.:
 13 Q. The response is that we've already seen that
 14 litigation-driven concerns seemed to be behind
 15 some, at least, of the decision making on how
 16 to go about patient disclosure or
 17 communication, as the Terms of Reference put
 18 it, and there's also a suggestion or at least
 19 a suspicion in some of the materials that with
 20 the presence of a risk manager on this
 21 treatment recommending panel that I talked to
 22 Ms. Dawe about just a moment ago, that
 23 litigation-driven concerns may have been
 24 behind the setting up of the panel itself.
 25 Commissioner, law suits are sometimes blamed

Page 40

1 in the public mind, and bearing in mind that
 2 we're going through this exercise ultimately
 3 as an exercise to restore public confidence in
 4 an institution which is of great importance to
 5 the people of Newfoundland. It's sometimes
 6 argued or alleged that litigation, in fact,
 7 draws away funds which would be more valuable
 8 being applied to more important aspects of
 9 patient care within Eastern Health or the
 10 health care system in Newfoundland. The
 11 purpose of this questioning is to attempt to
 12 demonstrate that the amount of resources
 13 actually devoted to financial responsibility
 14 with respect to patient injuries is minuscule,
 15 and that's the relevance of it. It has to be
 16 seen in the context of patient confidence in
 17 the system and the suspicion that fears of
 18 litigation drove the decision making in how
 19 Eastern Health chose to deal with this crisis.
 20 THE COMMISSIONER:
 21 Q. All right. Are you content or do you -
 22 MR. SIMMONS:
 23 Q. I just point out, Madam Commissioner, that if
 24 the concern is to explore the issue of whether
 25 litigation concerns drove the decision making

Page 41

1 here at all, that's certainly a matter that
 2 Mr. Crosbie would be free to explore to see
 3 what knowledge Ms. Dawe might have, if any,
 4 about that. I still wonder whether this
 5 particular document which deals with generally
 6 financial information is going to be helpful
 7 in any way in exploring the topic.
 8 THE COMMISSIONER:
 9 Q. Well, I'm assuming, on the basis of the
 10 responses, Mr. Crosbie, that it will establish
 11 just how small a percentage this is in terms
 12 of the budget of the corporation. Is that -
 13 CROSBIE, Q.C.:
 14 Q. That's the objective. And I'll really spend
 15 no more than one more minute on it. So as a
 16 matter of proportionality it may take less
 17 time than the objection.
 18 THE COMMISSIONER:
 19 Q. Does anybody else wish to weigh in on this
 20 matter? No. Mr. Crosbie, carry on with your
 21 question. I do think you've raised a valid
 22 point.
 23 CROSBIE, Q.C.:
 24 Q. Thank you. Next piece of paper in the
 25 document, please?

Page 42

1 THE COMMISSIONER:
 2 Q. Page 2?
 3 CROSBIE, Q.C.:
 4 Q. Please. And actually -
 5 THE COMMISSIONER:
 6 Q. Now, you'll have to--thank you. Now, I don't
 7 know that everybody is going to be able to see
 8 that, but do you have a paper copy, were you
 9 given a paper copy of this, Ms. Dawe? It
 10 would be -
 11 MS. DAWE:
 12 A. I can -
 13 CROSBIE, Q.C.:
 14 Q. It's actually the next -
 15 THE COMMISSIONER:
 16 Q. You can see it? All right.
 17 CROSBIE, Q.C.:
 18 Q. The next one on from that.
 19 THE COMMISSIONER:
 20 Q. Oh, so it's page 3?
 21 CROSBIE, Q.C.:
 22 Q. It's entitled "Liability Insurance Costs as a
 23 Percentage of Expenses, Eastern Health and
 24 Legacy Organizations."
 25 THE COMMISSIONER:

Page 43

1 Q. Okay.
 2 CROSBIE, Q.C.:
 3 Q. And the percentage there, if you go to Column
 4 C, Ms. Dawe.
 5 MS. DAWE:
 6 A. Yes.
 7 CROSBIE, Q.C.:
 8 Q. Eastern Health, it says, and the numbers for
 9 2006 and 7 are amalgamated for across the
 10 board, all those organizations that were
 11 brought into the ages of Eastern Health. And
 12 we can see there a number, average, and it's
 13 .22?
 14 MS. DAWE:
 15 A. Yes.
 16 CROSBIE, Q.C.:
 17 Q. So that given the title of this document, the
 18 expenditure or the percentage of total
 19 expenditures for liability insurance costs
 20 would be less than a quarter of one percent,
 21 on average, for this period? Does that seem
 22 to be the case?
 23 MS. DAWE:
 24 A. Well, if this was provided through Eastern
 25 Health, then I'm assuming it's accurate. As I

Page 44

1 said, this is the first time I've seen this
 2 information, so.
 3 CROSBIE, Q.C.:
 4 Q. Can we pass to the next sheet? The second
 5 paragraph, I'll just read this out here
 6 because it explains that what we're looking at
 7 is not just liability costs or--let's see how
 8 they put it. Liability insurance costs in the
 9 sense of injured patients, but a much broader
 10 category of liability insurance cost. It
 11 says, "In general, the coverage stated is the
 12 amount per occurrence and covers bodily
 13 injury, property damage, professional
 14 liability, transfusion legal liability,
 15 contingent employer's liability, employee
 16 benefits liability, errors and omissions
 17 liability, environmental impairment, non owned
 18 auto liability." So the whole gamut. So, in
 19 summary, it would appear that well--and I
 20 suppose it's a reasonable inference that some
 21 of these premiums would go into matters of
 22 overhead and administration. You may or may
 23 not have knowledge of that. But it would
 24 appear that well less than .22 percent of
 25 expenditures is what it takes for the

Page 45

1 organization to be financially responsible
 2 toward injured patients?
 3 MS. DAWE:
 4 A. That's what it appears to be from the
 5 document.
 6 CROSBIE, Q.C.:
 7 Q. Excuse me. Has anyone been subjected to
 8 discipline proceedings as a result of these
 9 testing failures?
 10 MS. DAWE:
 11 A. Not to my knowledge. You know, I would be
 12 certainly happy to check, but my immediate
 13 response would be not to my knowledge.
 14 CROSBIE, Q.C.:
 15 Q. Thank you. Issues of disclosure, see whether
 16 you agree with this or not, to patients are
 17 primarily ethical issues?
 18 MS. DAWE:
 19 A. Yes.
 20 CROSBIE, Q.C.:
 21 Q. The advice of clinicians would be relevant to
 22 management of disclosure issues, I suppose?
 23 MS. DAWE:
 24 A. Yes.
 25 CROSBIE, Q.C.:

Page 46

1 Q. The advice of ethical specialists would be
 2 relevant?
 3 MS. DAWE:
 4 A. Yes.
 5 CROSBIE, Q.C.:
 6 Q. And Eastern Health had ethical specialists
 7 available to it?
 8 MS. DAWE:
 9 A. We do.
 10 CROSBIE, Q.C.:
 11 Q. In fact, you have a position, Director of
 12 Pastoral Care and Ethics?
 13 MS. DAWE:
 14 A. Yes, we do.
 15 CROSBIE, Q.C.:
 16 Q. And you have other consultants available to be
 17 brought in as the case demands?
 18 MS. DAWE:
 19 A. Yes.
 20 CROSBIE, Q.C.:
 21 Q. Consultants in ethics?
 22 MS. DAWE:
 23 A. Yes.
 24 CROSBIE, Q.C.:
 25 Q. In your view, should liability concerns be

Page 47

1 given significant weight in deciding issues of
 2 disclosure?
 3 MS. DAWE:
 4 A. I think there are many factors that have to be
 5 taken into consideration. And I would not at
 6 all infer that the only factor or the
 7 significant factor that was taken into
 8 consideration on disclosure would be related
 9 to liability or legal advice; I don't believe
 10 that to be the case.
 11 CROSBIE, Q.C.:
 12 Q. So I guess I hear you saying that in general
 13 you wouldn't rule out the relevance of
 14 liability concerns -
 15 MS. DAWE:
 16 A. But it's not -
 17 CROSBIE, Q.C.:
 18 Q. - but you'd have to look at it case by case?
 19 MS. DAWE:
 20 A. You know there are many, many factors, many
 21 factors -
 22 CROSBIE, Q.C.:
 23 Q. Many factors could be relevant to putting
 24 together an approach to disclosure in a given
 25 case?

Page 48

1 MS. DAWE:
 2 A. Yes.
 3 CROSBIE, Q.C.:
 4 Q. Can we turn to Exhibit P-0092? This is
 5 something we looked at yesterday from Heather
 6 Predham sent on October 19, 2005 to Patricia
 7 Pilgrim. And she is?
 8 MS. DAWE:
 9 A. She's the Vice President within Eastern Health
 10 and one of her areas of responsibility is the
 11 quality program. And -
 12 CROSBIE, Q.C.:
 13 Q. On risk management?
 14 MS. DAWE:
 15 A. Heather Predham would be part of the risk
 16 management quality program.
 17 CROSBIE, Q.C.:
 18 Q. We know who Dr. Williams is and we know now
 19 who Susan Bonnell is?
 20 MS. DAWE:
 21 A. Yes, sir.
 22 CROSBIE, Q.C.:
 23 Q. I think. So this is from Ms. Predham to those
 24 three individuals. And she's saying, "Here's
 25 Dan's view on the feedback." So this is from

Page 49

1 a lawyer. And do we know this lawyer, if you
 2 could bring up the body of the letter a bit,
 3 do we know this lawyer as being a lawyer
 4 acting on behalf of the insurance company?
 5 MS. DAWE:
 6 A. My understanding, yes.
 7 CROSBIE, Q.C.:
 8 Q. The insurance company here being?
 9 MS. DAWE:
 10 A. HIROC.
 11 CROSBIE, Q.C.:
 12 Q. HIROC. And without getting into details,
 13 they're a reciprocal insurance organization,
 14 is that your understanding?
 15 MS. DAWE:
 16 A. That's my understanding.
 17 CROSBIE, Q.C.:
 18 Q. So that your institution is actually a member
 19 in that reciprocal?
 20 MS. DAWE:
 21 A. Yes.
 22 CROSBIE, Q.C.:
 23 Q. Does the gentleman who wrote this e-mail
 24 appear to be acting on behalf of HIROC?
 25 MS. DAWE:

Page 50

1 A. That's my understanding.
 2 CROSBIE, Q.C.:
 3 Q. Because another indicator there is "cc" and
 4 there's a gentleman's name there, I guess, and
 5 his e-mail address is at hiroc.com and then
 6 there's somebody else at hiroc.com.?
 7 MS. DAWE:
 8 A. Um-hm, yes.
 9 CROSBIE, Q.C.:
 10 Q. So they're certainly privy to this e-mail of
 11 the lawyer on the subject of patient letter?
 12 It's being copied to them?
 13 MS. DAWE:
 14 A. Yes.
 15 CROSBIE, Q.C.:
 16 Q. Take whatever time you wish, but can you tell
 17 the Commission what ethical consideration or
 18 content do you see in the body of the letter
 19 from, the e-mail, I guess, letter, e-mail,
 20 from the insurance company lawyer?
 21 MS. DAWE:
 22 A. This is a letter from a lawyer, and I don't
 23 see the word "ethics", I wouldn't expect that
 24 to be seen in this letter. And my
 25 understanding, again, from reading this

Page 51

1 yesterday and seeing it again today, is that
 2 what Mr. Boone is suggesting that he does not
 3 agree with sending this letter at this time.
 4 Not suggesting anything more than "at this
 5 time" and then he elaborates there. And
 6 appreciate again, sir, I don't--I'm not privy
 7 and I haven't been privy and I shouldn't be
 8 privy to the discussions that would be
 9 surrounding this type of correspondence, so -
 10 CROSBIE, Q.C.:
 11 Q. The broad thrust of the letter appears to be
 12 advice on how to proceed with disclosure and
 13 communication to patients?
 14 MS. DAWE:
 15 A. One piece of advice, I would think. You know,
 16 I mean, maybe -
 17 CROSBIE, Q.C.:
 18 Q. This is one piece.
 19 MS. DAWE:
 20 A. - Heather--no, no, no.
 21 CROSBIE, Q.C.:
 22 Q. This is one piece of advice.
 23 MS. DAWE:
 24 A. Yes, but maybe Heather Predham has other
 25 pieces of correspondence about the same matter

Page 52

1 that I haven't seen either. You know, I'm
 2 referring, I'm answering your question based
 3 on Mr. Boone's correspondence.
 4 CROSBIE, Q.C.:
 5 Q. Yes.
 6 MS. DAWE:
 7 A. And I see the first sentence says, "I do not
 8 agree in sending this letter," "this letter",
 9 whatever "this letter" is at this time. So I
 10 would look at this as one piece of advice to
 11 Heather Predham. And you really have to speak
 12 with her to understand the context surrounding
 13 -
 14 CROSBIE, Q.C.:
 15 Q. Okay, maybe there were other bits of advice.
 16 MS. DAWE:
 17 A. Yeah, that I wouldn't -
 18 CROSBIE, Q.C.:
 19 Q. Maybe there are other bits of advice from this
 20 lawyer?
 21 MS. DAWE:
 22 A. And maybe there is advice from the ethicists.
 23 I don't know, sir. I'm responding to the
 24 letter as I see it here.
 25 CROSBIE, Q.C.:

Page 53

1 Q. We'll all find out in due course.
 2 MS. DAWE:
 3 A. Yes, yes.
 4 CROSBIE, Q.C.:
 5 Q. And okay, admitting that maybe there is other
 6 advice, looking at this document do you see,
 7 do you see where it is informed by
 8 considerations of ethics?
 9 MS. DAWE:
 10 A. No, I don't.
 11 CROSBIE, Q.C.:
 12 Q. In whose interest do you think this lawyer was
 13 working when this was written?
 14 MS. DAWE:
 15 A. It appears that he's representing HIROC.
 16 CROSBIE, Q.C.:
 17 Q. Was he working in the interests of Eastern
 18 Health, the health care provision
 19 organization?
 20 MS. DAWE:
 21 A. I would interpret from this that he is
 22 representing HIROC. I would be happy for
 23 somebody else to provide me with information
 24 otherwise, but I have no more than that to
 25 say, sir.

Page 54

1 MR. SIMMONS:
 2 Q. Commissioner, I hesitate to be -
 3 CROSBIE, Q.C.:
 4 Q. That's all I have for the witness,
 5 Commissioner, actually.
 6 THE COMMISSIONER:
 7 Q. Those are all of your questions?
 8 CROSBIE, Q.C.:
 9 Q. They are.
 10 MR. SIMMONS:
 11 Q. I would place on the record, though,
 12 Commissioner, that areas which began to--
 13 questioning which begins to get into the area
 14 of the relationship between a lawyer and the
 15 lawyer's client, solicitor/client relationship
 16 like that area areas of which we have to be
 17 very careful to the extent to which it's
 18 explored.
 19 THE COMMISSIONER:
 20 Q. Well, this, but this document was revealed,
 21 was it not, by -
 22 MR. SIMMONS:
 23 Q. Yes, that's right.
 24 THE COMMISSIONER:
 25 Q. - Eastern Health. Does it not come from--I

Page 55

1 mean, the source, I'm looking at the document
 2 itself and the source of it is Eastern Health.
 3 MR. SIMMONS:
 4 Q. Yes, you are quite correct, milady (sic.). I
 5 have not objected to the examination of Ms.
 6 Dawe on the document or Mr. Crosbie's
 7 questions up to that point, but when it gets
 8 into the area of exploring a lawyer's retainer
 9 and it gets to the terms of that retainer, who
 10 it's with, that may be an area in which we
 11 might in future have to exercise some care.
 12 THE COMMISSIONER:
 13 Q. Well, raise it when it becomes a problem. For
 14 the moment I see no impediment to an
 15 examination on the content of this particular
 16 document. And it would seem to be relevant as
 17 to whether or not this was a person who was
 18 giving advice to your client or giving an
 19 opinion in the interest of another source.
 20 Thank you. Thank you, Mr. Crosbie. Now,
 21 you're next, yes. Mr. Simmons.
 22 MS. JEAN DAWE, EXAMINATION BY MR. DANIEL SIMMONS
 23 MR. SIMMONS:
 24 Q. Ms. Dawe, you're into your third day in that
 25 seat, so I do have a number of things I have

Page 56

1 to go over with you, but I'm going to try to
 2 make sure that we can get you out of here by
 3 lunchtime if there's any way to do that.
 4 MS. DAWE:
 5 A. Thank you.
 6 MR. SIMMONS:
 7 Q. First of all, I'd just like to follow up on
 8 several things that came out of the questions
 9 that Mr. Crosbie just asked you. Mr. Crosbie
 10 had some questions about the Physician Review
 11 Panel.
 12 MS. DAWE:
 13 A. Yes.
 14 MR. SIMMONS:
 15 Q. And questions concerning the relationship
 16 between a patient and a treating physician.
 17 And I took his questions to be wondering
 18 whether it was appropriate to have a physician
 19 review panel giving recommendations that could
 20 be seen as interfering with the relationship
 21 between the patient and the treating
 22 physician. And first of all, I know you
 23 weren't directly involved in the arrangements
 24 for the Physician Panel, but do you know who
 25 the recommendations went to from the Panel?

Page 57

1 MS. DAWE:
 2 A. To the attending physician.
 3 MR. SIMMONS:
 4 Q. To the attending physician?
 5 MS. DAWE:
 6 A. Yes. But this was part of, and I would
 7 consider that part of seeking the best advice
 8 for patient treatment.
 9 MR. SIMMONS:
 10 Q. Yes. So what went to the attending physician,
 11 then, was recommendations from a panel
 12 consisting of a group of oncologists,
 13 pathologists and others who were putting their
 14 heads together to give some advice and
 15 recommendations to the physician who, in turn,
 16 was going to deal with the patient?
 17 MS. DAWE:
 18 A. Yes, in the best interest of the patient.
 19 MR. SIMMONS:
 20 Q. And do you have any understanding of where the
 21 actual decisions about patient care would be
 22 made in that process, at what point?
 23 MS. DAWE:
 24 A. By the attending physician.
 25 MR. SIMMONS:

Page 58

1 Q. Presumably in consultation with the patient
 2 and involvement with the patient?
 3 MS. DAWE:
 4 A. With the patient, obviously, yes.
 5 MR. SIMMONS:
 6 Q. Right. So is that any different, really, than
 7 the situation, the ordinary situation that
 8 you've described where a treating physician
 9 will seek the advice of their colleagues and
 10 take that into account?
 11 MS. DAWE:
 12 A. Absolutely not.
 13 MR. SIMMONS:
 14 Q. Okay. Now you were also asked about the
 15 presence of Ms. Predham, who is described,
 16 been described to us as a Risk Manager on that
 17 Panel. Well, first of all, do you--in your
 18 position as Board Chair, would you be familiar
 19 with Ms. Predham's job description, the
 20 breadth of her duties, the types of things she
 21 does in the Quality Department?
 22 MS. DAWE:
 23 A. No, I'm sorry. I remind you there are 12,000
 24 employees in Eastern Health.
 25 MR. SIMMONS:

Page 59

1 Q. Right.
 2 MS. DAWE:
 3 A. No, I wouldn't.
 4 MR. SIMMONS:
 5 Q. And would you know if she does things in
 6 addition to managing claims by patients?
 7 MS. DAWE:
 8 A. I wouldn't be aware of the details of an
 9 employee's -
 10 MR. SIMMONS:
 11 Q. Do you have any idea what her role actually
 12 was on the Panel or why she was there?
 13 MS. DAWE:
 14 A. Not in any great detail, no.
 15 MR. SIMMONS:
 16 Q. Okay. And we'll have to hear from her and
 17 others -
 18 MS. DAWE:
 19 A. From her.
 20 MR. SIMMONS:
 21 Q. - in due course as to what her role was?
 22 MS. DAWE:
 23 A. Yes, yes, precisely.
 24 MR. SIMMONS:
 25 Q. Now, Mr. Crosbie asked you some questions,

Page 60

1 too, concerning ethical considerations and how
 2 ethical considerations come into bear in
 3 decision making such as concerning disclosure
 4 to the patients?
 5 MS. DAWE:
 6 A. Yes.
 7 MR. SIMMONS:
 8 Q. And he mentioned that Eastern Health does have
 9 a Director of Pastoral Care and Ethics?
 10 MS. DAWE:
 11 A. Yes.
 12 MR. SIMMONS:
 13 Q. And there are other services available from
 14 ethicists who can be called upon?
 15 MS. DAWE:
 16 A. Yes.
 17 MR. SIMMONS:
 18 Q. And I think you're generally aware of that
 19 yourself, are you?
 20 MS. DAWE:
 21 A. Yes, I am.
 22 MR. SIMMONS:
 23 Q. In an organization like Eastern Health and
 24 Eastern Health in particular, is that the only
 25 way ethical considerations get taken into

Page 61

1 account, by involving an ethicist or the
 2 director?
 3 MS. DAWE:
 4 A. No, no. Each professional, obviously, would
 5 have an ethical standard.
 6 MR. SIMMONS:
 7 Q. Yes.
 8 MS. DAWE:
 9 A. So, you know, in physician practice, in
 10 nursing practice, social work, all of these
 11 people engaged in presenting the ethical
 12 review, the ethical view with respect to
 13 patient care. So not--you know, routine
 14 decisions affecting patient care would not
 15 involve an ethicist.
 16 MR. SIMMONS:
 17 Q. Um-hm.
 18 MS. DAWE:
 19 A. For example. That's part of professional
 20 practice.
 21 MR. SIMMONS:
 22 Q. Right. So would you expect then that
 23 clinicians dealing with patients and
 24 clinicians involved in issues like the
 25 disclosure of ER/PR results, would you expect

Page 62

1 that they would have had to take ethical
 2 considerations into account themselves?
 3 MS. DAWE:
 4 A. They do that every day in their practice.
 5 MR. SIMMONS:
 6 Q. Would you consider them to be equipped to do
 7 that, to have the kind of knowledge that they
 8 need to -
 9 MS. DAWE:
 10 A. Yes.
 11 MR. SIMMONS:
 12 Q. - recognize ethical issues?
 13 MS. DAWE:
 14 A. It's part of being a professional.
 15 MR. SIMMONS:
 16 Q. Um-hm. Aside from the physicians, others in
 17 executive and administrative positions within
 18 Eastern Health, do they have any mandate or
 19 any role in taking ethical considerations into
 20 account themselves?
 21 MS. DAWE:
 22 A. Well, administrators have, you know, as part
 23 of their education and their working
 24 responsibilities, you know, it's each person
 25 in the organization, obviously, takes ethics

Page 63

1 into consideration in decision making. It's
 2 not--you know, it's not only clinicians, I
 3 guess, that's what I'm saying, is every level
 4 of the work situation.
 5 MR. SIMMONS:
 6 Q. Okay. Now, I know you're not involved in the
 7 operations and the running of Eastern Health,
 8 but do you know whether the organization
 9 provides any kind of resources to its
 10 executive and its managers and its
 11 administrators to educate or assist them in
 12 recognizing, dealing with ethical issues?
 13 MS. DAWE:
 14 A. Well, I think one of the best practices, I
 15 should say, in Eastern Health, was recognized
 16 recently by the Accreditation Council that I
 17 referred to maybe the day before yesterday.
 18 I've lost track of time now. But in September
 19 past Eastern Health was accredited for the
 20 first time, just after two years in its being,
 21 by the National Accreditation Council. And I
 22 attended the wrap-up session after a full week
 23 of intense investigation and one of the areas
 24 that I was honoured to be part of an
 25 organization, this organization, when the

Page 64

1 accreditor spoke so highly of the ethical
 2 program and the standards, the ethical
 3 standards of Eastern Health. That's well
 4 documented, sir, and it's an area that I'm
 5 extremely proud of with respect to our
 6 organization.
 7 MR. SIMMONS:
 8 Q. Good.
 9 MS. DAWE:
 10 A. It's a best practice in Canada and it's been
 11 referred to as that.
 12 MR. SIMMONS:
 13 Q. Thank you. Ms. Dawe, I want to -
 14 THE COMMISSIONER:
 15 Q. Excuse me, Mr. Simmons, but are you moving on
 16 from ethics now?
 17 MR. SIMMONS:
 18 Q. Yes, I am.
 19 THE COMMISSIONER:
 20 Q. I do have a question and since it's in my mind
 21 -
 22 MR. SIMMONS:
 23 Q. Sure.
 24 THE COMMISSIONER:
 25 Q. - and I don't want to interrupt you. Was

Page 65

1 there not an ethicist involved in one aspect?
 2 MS. DAWE:
 3 A. Yes. My understanding that they were
 4 involved. Dr. Singleton, I read -
 5 THE COMMISSIONER:
 6 Q. Do you know generally or was it only in
 7 respect of one aspect?
 8 MS. DAWE:
 9 A. I can't speak to that. I know that along the
 10 way with the information that had been
 11 provided certainly Dr. Singleton, the
 12 Director, was engaged in the discussions. I
 13 can't be sure about what level of involvement.
 14 I'd be happy to check on that, but I
 15 recognize, I recall his name.
 16 THE COMMISSIONER:
 17 Q. All right. Thank you. We'll get that
 18 information from somebody else, I'm sure.
 19 MS. DAWE:
 20 A. Yes.
 21 THE COMMISSIONER:
 22 Q. Sorry, Mr. Simmons.
 23 MR. SIMMONS:
 24 Q. Thank you. Ms. Dawe, I want to, I want to get
 25 a little bit of background and history from

Page 66

1 you because you're a person who's been
 2 involved in the health care system at
 3 different levels, including administration,
 4 for some time, so you've been present to see
 5 some of the events and evolution of, in
 6 particular, the funding of the system over the
 7 last couple of decades. Now, I believe you've
 8 told us, you had mentioned this earlier in
 9 your direct examination by Commission counsel
 10 that there had been cutbacks and restraint in
 11 the system beginning in the '80s and
 12 continuing into the 1990s. And I wonder if
 13 you could maybe start and tell me when, in
 14 your career, you first began to see the era of
 15 restraint start, when you came to see that?
 16 MS. DAWE:
 17 A. How much time do I have?
 18 MR. SIMMONS:
 19 Q. Well, as much time do we need in order to, in
 20 order to present the background on this issue.
 21 MS. DAWE:
 22 A. Because it generally is decades, as you've
 23 said. My first experience was in 1981, '82 at
 24 St. Clare's Mercy Hospital where we had to lay
 25 off staff for periods of time, I think it's

Page 67

1 sort of like six week or eight weeks periods
 2 in order to deal with a funding issue, a
 3 deficit budget. So that was my first
 4 experience. In 1982 to '84 there was a royal
 5 commission on hospital and nursing home costs
 6 which was appointed specifically to deal with
 7 the funding issues with respect to the health
 8 system. I was part of the implementation of
 9 the recommendations of that royal commission
 10 for four or five years through the '80s. And
 11 the objective in the '80s was, again, to
 12 streamline the system to accommodate budget
 13 shortfall, so it was very much driven by the
 14 inability of the province to fund the system
 15 based on the needs and the demands and the
 16 expectations of the public. So that was
 17 throughout the 1980s. The 1980s, as well, saw
 18 the first phase of regionalization because
 19 there were 70, I think, 70 or 80 independent
 20 boards at that time. And so every effort or
 21 the efforts were started in the '80s to
 22 consolidate administrations because that's
 23 where it was felt you could achieve savings in
 24 the first instance and support services.
 25 That's the 1980s. It became much more severe

Page 68

1 in the 1990s, certainly the first half of the
 2 1990s, and I'm sure most people in this room
 3 would recall the cod moratorium, there were
 4 major changes at the federal level in the
 5 funding of health and social service programs.
 6 And -
 7 MR. SIMMONS:
 8 Q. And would that be changes in the funding that
 9 would come to the province from the federal
 10 government?
 11 MS. DAWE:
 12 A. Yes. Well, which I was going to suggest then
 13 they had a significant impact on the transfers
 14 for these programs to the province.
 15 MR. SIMMONS:
 16 Q. Yes.
 17 MS. DAWE:
 18 A. And, you know, I certainly recall being
 19 involved in the middle of that, both in the
 20 system and that was the period when I was
 21 involved in the Department of Health. And the
 22 province lost hundreds of millions of dollars
 23 in transfer payments from Ottawa to
 24 Newfoundland and Labrador. So as a result of
 25 that the next wave of regionalization

Page 69

1 occurred, and that's where 54 boards were
 2 merged to 14 boards in the 1995 to the latter
 3 part of the '90s. The goal again was to find
 4 funding to try to stabilize the system because
 5 the ability to fund compared with the needs of
 6 the community, the expectations of the
 7 population and the demands were mismatched, no
 8 question. So that was another significant
 9 wave of--and I'm not pointing fingers here,
 10 I'm indicating the reality, the province did
 11 not have the ability to fund the needs and the
 12 demands and the public expectations.
 13 MR. SIMMONS:
 14 Q. And was it in that wave of amalgamations that
 15 the Health Care Corporation of St. John's was
 16 created?
 17 MS. DAWE:
 18 A. It was. And it was, that was Health Care
 19 Corporation resulted from the merger of all
 20 the acute care facilities in St. John's and
 21 the Bell Island hospital, as well. That's how
 22 the Health Care Corporation was created. So
 23 that's the 1990, mid 1990 period.
 24 MR. SIMMONS:
 25 Q. Right.

Page 70

1 MS. DAWE:
 2 A. There were other changes on the community side
 3 of health, as well, with reorganization of the
 4 social service programs and they were all
 5 integrated in the late '90s. So that's the
 6 second wave. So now we're into 2000.
 7 MR. SIMMONS:
 8 Q. Um-hm.
 9 MS. DAWE:
 10 A. And the third wave of restructuring, which
 11 resulted in the consolidation of the 14 former
 12 boards to now four regional authorities.
 13 MR. SIMMONS:
 14 Q. Now this would be 2000 and?
 15 MS. DAWE:
 16 A. 2005.
 17 MR. SIMMONS:
 18 Q. 2005.
 19 MS. DAWE:
 20 A. So for the last three decades the system, the
 21 health system in Newfoundland and Labrador at
 22 each decade has undergone considerable change
 23 and reorganization to accommodate pressures
 24 and primarily, primarily financially driven.
 25 Now, we have focused on, in this climate, how

Page 71

1 can we also improve services to people by
 2 bringing them together and putting--you know,
 3 bringing the continuum of services, as we
 4 call, together. So we're looking for and
 5 we've done our best, I believe, as a system,
 6 to focus on services and programs, but quite
 7 often the motive in all these changes was a
 8 financial difficulty. So -
 9 MR. SIMMONS:
 10 Q. So in the mid '90s, then, it was the second
 11 wave of amalgamations you referred to and the
 12 Health Care Corporation of St. John's was
 13 created?
 14 MS. DAWE:
 15 A. Yes.
 16 MR. SIMMONS:
 17 Q. And you've told us at the beginning of your
 18 testimony that when you were the Chair of the,
 19 is it the Community Services Board?
 20 MS. DAWE:
 21 A. Yes.
 22 MR. SIMMONS:
 23 Q. You also had the opportunity for, in an ex
 24 officio capacity, to sit on the Board of the
 25 Health Care Corporation?

Page 72

1 MS. DAWE:
 2 A. Yes.
 3 MR. SIMMONS:
 4 Q. Yeah. And when did that begin?
 5 MS. DAWE:
 6 A. I believe the spring of 2002.
 7 MR. SIMMONS:
 8 Q. Okay. So and that continued, I believe, until
 9 2005 when Eastern Health was created?
 10 MS. DAWE:
 11 A. When we merged.
 12 MR. SIMMONS:
 13 Q. So during that time period although only ex
 14 officio, did you have some opportunity to see
 15 and be aware of how the Health Care
 16 Corporation was managing these issues of
 17 budgeting and funding and dealing with
 18 resources?
 19 MS. DAWE:
 20 A. Yes. And with great difficulty, the Health
 21 Care Corporation had to deal with these
 22 matters. And it actually, there was a report,
 23 a Hay Report, which was, I believe it was
 24 mandated by government.
 25 MR. SIMMONS:

Page 73

1 Q. Yes.
 2 MS. DAWE:
 3 A. By the department.
 4 MR. SIMMONS:
 5 Q. Yes.
 6 MS. DAWE:
 7 A. But a report which focused on identifying
 8 clinical and operational efficiencies within
 9 the Health Care Corporation. And I had just
 10 joined the board when the final report was
 11 given to the Board, so I have some general
 12 knowledge about it, but I was not there during
 13 the review component.
 14 MR. SIMMONS:
 15 Q. Now, the HayGroup, do I understand the
 16 HayGroup to be an external agency that came in
 17 in order to conduct this review?
 18 MS. DAWE:
 19 A. Yes.
 20 MR. SIMMONS:
 21 Q. At the Health Care Corporation?
 22 MS. DAWE:
 23 A. From, I believe, Toronto, but that's -
 24 MR. SIMMONS:
 25 Q. Do you know what precipitated retaining the

Page 74

1 HayGroup to do that?
 2 MS. DAWE:
 3 A. Deficit, budget deficits at the Health Care
 4 Corporation.
 5 MR. SIMMONS:
 6 Q. Okay.
 7 MS. DAWE:
 8 A. And the need to then do something to match
 9 available resources to the demands for
 10 services.
 11 MR. SIMMONS:
 12 Q. Yes. Now, I believe the Hay Report has been
 13 put in as an exhibit here before the
 14 Commission. You haven't been referred to it
 15 yet in your evidence.
 16 MS. DAWE:
 17 A. No.
 18 MR. SIMMONS:
 19 Q. You have had some opportunity, if not to
 20 review it in detail, at least to generally
 21 familiarize yourself with it again, have you?
 22 MS. DAWE:
 23 A. Yes, I have.
 24 MR. SIMMONS:
 25 Q. Okay. Can we look at Exhibit P-0033, please?

Page 75

1 THE COMMISSIONER:
 2 Q. I suspect that's one of those exhibits that's
 3 so large it will only turn up on the screen.
 4 There are portions of it here--no. P-0033,
 5 all right.
 6 MR. SIMMONS:
 7 Q. This is the third page of that exhibit in the
 8 Executive Summary. And I'd just like to refer
 9 you here to part 1.1, which is the background
 10 and the objectives. And if we look this, it
 11 describes the objectives of the operational
 12 review by saying, "The Minister of Health and
 13 Community Services decided to engage an
 14 external consulting team to conduct this
 15 operational review because of the
 16 deteriorating financial position of the Health
 17 Care Corporation of St. John's and its
 18 apparent inability to operate within available
 19 funds." Is that consistent with your
 20 understanding?
 21 MS. DAWE:
 22 A. Yes. I guess that's what I was saying
 23 earlier, um-hm.
 24 MR. SIMMONS:

Page 76

1 Q. Yes. And there's a paragraph there that, the
 2 next paragraph, the Health Care Corporation of
 3 St. John's. It describes the formation and
 4 the merger of seven predecessor health
 5 organizations, which you've told us about, as
 6 well. And then the paragraph under "Operating
 7 Deficits" describes there being an operating
 8 deficit of 12.2 million in the 2000 and 2001
 9 fiscal year and another projected deficit
 10 projected of 4.1 million for the next year and
 11 for the following year a projected deficit of
 12 13 million. So this is consistent with your
 13 recollection of the reasons for which this
 14 report was commissioned, is it?
 15 MS. DAWE:
 16 A. Absolutely. And I think I referred at the
 17 first day to the fact that when Eastern Health
 18 assumed its responsibility, we have a \$ 79
 19 million debt that we're carrying. This is an
 20 example of where that accumulated debt came
 21 from.
 22 MR. SIMMONS:
 23 Q. Right.
 24 MS. DAWE:
 25 A. This is one of the organizations.

Page 77

1 MR. SIMMONS:
 2 Q. Okay. Now, do you know what the outcome of
 3 the HayGroup Report was in general terms, what
 4 types of things they came back and said to do
 5 to solve that deficit problem?
 6 MS. DAWE:
 7 A. The focus was clearly on seeking efficiencies,
 8 clinical efficiencies and operating
 9 efficiencies. And I believe it was, you know,
 10 more than \$20 million was targeted for
 11 reduction with probably up to 300, maybe, 300
 12 positions, full-time-equivalent positions to
 13 be reduced or removed from the system. But
 14 the focus was on achieving efficiencies.
 15 MR. SIMMONS:
 16 Q. Yes.
 17 MS. DAWE:
 18 A. As opposed to quality initiatives or
 19 improvements in patient care services. And I
 20 do--and I'm recalling now, but there was a
 21 considerable public debate after this report
 22 was released among physicians, and it was
 23 very, very public because the people in the
 24 organization, both clinical and administrative
 25 people were concerned about the data that had

Page 78

1 been used for this report and the
 2 comparability of the data and the
 3 interpretation and so on. So there was, there
 4 was considerable, considerable internal and
 5 public debate on the implications of
 6 implementing recommendations from this report,
 7 that they would have a negative impact on
 8 patient care.
 9 MR. SIMMONS:
 10 Q. Yes.
 11 MS. DAWE:
 12 A. So that's, I'm just sort of generally
 13 recalling it was not well received, for sure.
 14 MR. SIMMONS:
 15 Q. Okay. I've brought up on the screen here now
 16 page 14 of this document, which is Section
 17 1.6, "Implementation Plan." And there's a
 18 number of bullets there and they describe the
 19 proposed implementation plan as involving
 20 initiatives related to organizing for change:
 21 redesigning care processes to achieve savings
 22 from clinical efficiencies; redesigning work
 23 processes and systems to achieve savings from
 24 improvements in functional centre productivity
 25 that can be achieved without a facilitating

Page 79

1 capital investment; implementing recommended
 2 improvements in management processes;
 3 implementing recommended improvements in
 4 governance structure and processes;
 5 implementing savings from improvements in
 6 functional centre productivity that require a
 7 facilitating capital investment. So those,
 8 that implementation plan seems consistent,
 9 does it not, with your recollection -
 10 MS. DAWE:
 11 A. Yes.
 12 MR. SIMMONS:
 13 Q. - that the focus of this report was on
 14 achieving those savings through efficiencies?
 15 MS. DAWE:
 16 A. Yes.
 17 MR. SIMMONS:
 18 Q. Rather than a focus on the quality side of the
 19 work of the Corporation?
 20 MS. DAWE:
 21 A. I'm not sure that the word "quality" is even
 22 used in this report.
 23 MR. SIMMONS:
 24 Q. Okay. Exhibit P-0039, please? Ms. Dawe, this
 25 is another section of the report, and it is

Page 80

1 the recommendations for change in Section 6.
 2 And it begins here on this page with the first
 3 recommendation, No. 1. And if I run right
 4 down to the end, it looks like we're at 119.
 5 So there are 119 separate recommendations here
 6 encapsulated in this portion of the report.
 7 Now, I don't know if you've had much
 8 opportunity to refresh your memory with those?
 9 MS. DAWE:
 10 A. No, no, I haven't.
 11 MR. SIMMONS:
 12 Q. But do you know generally what sorts of issues
 13 were captured in these recommendations?
 14 Because I can refer you to some examples if
 15 you'd like me to?
 16 MS. DAWE:
 17 A. Yes, because I really, I don't recall the
 18 detail here.
 19 MR. SIMMONS:
 20 Q. Okay. Well, I'll bring you right down to ones
 21 that concerned laboratory services, and those
 22 begin at Recommendation 89. Recommendation 89
 23 deals with implementing a core laboratory at
 24 one hospital.
 25 MS. DAWE:

Page 81

1 A. Um-hm.
 2 MR. SIMMONS:
 3 Q. 90 is for consolidation of services at the
 4 General site. 91 is for consolidation of
 5 services at St. Clare's, at a St. Clare's
 6 site, a different service. 92 is to implement
 7 a process to review budget and charge out
 8 laboratory services. 93 is to consolidate
 9 management positions in two of the laboratory
 10 services. 94 is to establish a productivity
 11 target of 0.0238 worked hours per patient care
 12 workload unit and another productivity target.
 13 95 also sets a productivity target for another
 14 area in the laboratory. 96 calls to reduce
 15 staffing in pathology by two FTEs. Do you
 16 know what FTEs are?
 17 MS. DAWE:
 18 A. Full-time equivalent.
 19 MR. SIMMONS:
 20 Q. So this would be a full-time position?
 21 MS. DAWE:
 22 A. Two people.
 23 MR. SIMMONS:
 24 Q. Two people?
 25 MS. DAWE:

Page 82

1 A. Yeah, two positions, full-time positions.
 2 MR. SIMMONS:
 3 Q. In cytology and one in histopathology and then
 4 make investments to train pathology
 5 assistants. So the recommendations that were
 6 made by the HayGroup, did they include in
 7 other areas reducing these FTEs, full-time
 8 equivalents, that is, taking people out of the
 9 system?
 10 MS. DAWE:
 11 A. Yes. They're really, you know, as I recall
 12 now in reading these, they're driven by
 13 achieving efficiencies.
 14 MR. SIMMONS:
 15 Q. Yes.
 16 MS. DAWE:
 17 A. Efficiencies.
 18 MR. SIMMONS:
 19 Q. Yes.
 20 MS. DAWE:
 21 A. So it's output and not outcomes, meaning the
 22 quality issue, again.
 23 MR. SIMMONS:
 24 Q. Okay. Now then, by April of 2005 Eastern
 25 Health was created?

Page 83

1 MS. DAWE:
 2 A. Um-hm.
 3 MR. SIMMONS:
 4 Q. And you became the first chair?
 5 MS. DAWE:
 6 A. Yes.
 7 MR. SIMMONS:
 8 Q. And you've had great stamina to still be here.
 9 What, if anything, did Eastern Health find
 10 when it assessed what had, the--what had been
 11 given to it, which was these amalgamated
 12 operations from a number of different boards,
 13 what did you find, if anything, related to the
 14 effect of this history of funding of the
 15 health care system?
 16 MS. DAWE:
 17 A. In addition to the \$97 million debt that we're
 18 carrying and the burden that is and the
 19 impact, I think I referred in--at the first
 20 day that one of the, one of the prime
 21 strategic directions of the Board was to
 22 understand the state of the infrastructure of
 23 all our buildings. We have over 80 buildings,
 24 some, you know, whether it's hospital or
 25 nursing home, a clinic or an office. Because,

Page 84

1 I mean, I had knowledge of a number of these
 2 because of my previous positions, but being
 3 very aware that through the '80s and the '90s
 4 with the inability of the province to even
 5 maintain the existing buildings, there was a
 6 deterioration to the point of great concern,
 7 personally.
 8 MR. SIMMONS:
 9 Q. Um-hm.
 10 MS. DAWE:
 11 A. And I could relate that to the Board.
 12 MR. SIMMONS:
 13 Q. Um-hm.
 14 MS. DAWE:
 15 A. So we felt it necessary to embark upon, and
 16 actually, I think it had been probably started
 17 to some degree when I was with the Health
 18 Corporation, as well.
 19 MR. SIMMONS:
 20 Q. Um-hm.
 21 MS. DAWE:
 22 A. But we expanded it to the full region such
 23 that we have a very comprehensive, now,
 24 understanding of the capital needs, the
 25 infrastructure needs of all our buildings and

Page 85

1 we're really talking several hundred million
 2 dollar needs that we discovered there. The
 3 second piece was with respect to our capital
 4 equipment. Each year, and it's up to the
 5 present, we present the needs for capital
 6 equipment from our organizations -
 7 MR. SIMMONS:
 8 Q. And what do you mean by capital equipment,
 9 maybe you can give us an example so we know
 10 the sorts of things that we're talking about?
 11 MS. DAWE:
 12 A. Oh, cardiac monitors, x-ray equipment,
 13 laboratory, you know, microscope.
 14 MR. SIMMONS:
 15 Q. Um-hm.
 16 MS. DAWE:
 17 A. Any, any piece of capital equipment that is
 18 used in the provision of services for
 19 patients. So that was our second major
 20 review. And again, we are very much aware
 21 that over the years we have not been able to
 22 support clinicians and employees, based on
 23 their advice to us, on the need. Because, you
 24 know, it's not at the Board level that we
 25 determine the need. We seek input from the

Page 86

1 community, from the people who deliver
 2 services. So based on the input that we have
 3 had over the years is how we present our
 4 budget to government. And I am personally am
 5 very much aware that we have never been able
 6 to respond adequately to the information that
 7 is given to us.
 8 MR. SIMMONS:
 9 Q. Um-hm.
 10 MS. DAWE:
 11 A. And I'm suggesting again it's because it's not
 12 in any way reflective of any one
 13 administration, it is a fact that the province
 14 did not have the ability to fund.
 15 MR. SIMMONS:
 16 Q. So is it fair to say, then, that at the outset
 17 of Eastern Health's creation that it was
 18 recognized that there was an accumulated
 19 deficit in the maintenance and upkeep of the
 20 buildings?
 21 MS. DAWE:
 22 A. Absolutely.
 23 MR. SIMMONS:
 24 Q. And in the provision of the capital equipment?
 25 MS. DAWE:

Page 87

1 A. Yes.
 2 MR. SIMMONS:
 3 Q. The sort of things that you described. And
 4 over the, what I'll call the restraint period,
 5 preceding that, from your involvement in the
 6 system where had the priority for the use of
 7 resources been given, what had been given the
 8 priority?
 9 MS. DAWE:
 10 A. The number one priority, which is direct
 11 patient care.
 12 MR. SIMMONS:
 13 Q. Right.
 14 MS. DAWE:
 15 A. So our struggle, and it continues today, is to
 16 maintain front-line services.
 17 MR. SIMMONS:
 18 Q. Um-hm.
 19 MS. DAWE:
 20 A. We exist to provide a public service, so
 21 that's our number one priority. So over time
 22 such matters as information systems, for
 23 example, and I think I referred to that over
 24 the last few days, even though we all
 25 recognize the need to have adequate timely,

Page 88

1 complete information, we don't have that.
 2 That's one of the reasons we are here today.
 3 MR. SIMMONS:
 4 Q. Um-hm.
 5 MS. DAWE:
 6 A. Because of that inadequacy. So that's another
 7 factor, you know, in addition to the equipment
 8 and the buildings.
 9 MR. SIMMONS:
 10 Q. Right.
 11 MS. DAWE:
 12 A. Our systems are less than adequate for us to
 13 provide the comprehensive service that we're
 14 expected.
 15 MR. SIMMONS:
 16 Q. Right. What about things like the capacity
 17 for new quality assurance initiatives?
 18 MS. DAWE:
 19 A. It certainly wasn't there to the degree that
 20 you would want that through the '80s and the
 21 '90s and the early 2000s.
 22 MR. SIMMONS:
 23 Q. Um-hm.
 24 MS. DAWE:
 25 A. I think it's fair to say that since Eastern

Page 89

1 Health is created we've put much more emphasis
 2 on safety and improvements to the point that
 3 we have resources, you know. And I'm not
 4 saying they're 100 percent adequate, but we
 5 certainly have very, very good resources now
 6 directed to safety and quality improvement.
 7 MR. SIMMONS:
 8 Q. Okay.
 9 MS. DAWE:
 10 A. But it's just starting.
 11 MR. SIMMONS:
 12 Q. Now, in relation to the funding of the system,
 13 it's publicly known that in the last, within
 14 the last few years there's been I think what's
 15 been referred to as the First Minister's
 16 Funding?
 17 MS. DAWE:
 18 A. Yes.
 19 MR. SIMMONS:
 20 Q. Some additional money for health care from the
 21 Federal Government that's been negotiated by
 22 the provinces?
 23 MS. DAWE:
 24 A. Yes.
 25 MR. SIMMONS:

Page 90

1 Q. And you're familiar with that, are you?
 2 MS. DAWE:
 3 A. I am, um-hm.
 4 MR. SIMMONS:
 5 Q. What can you tell me about how that funding
 6 works and how in Newfoundland, how Eastern
 7 Health benefits from that?
 8 MS. DAWE:
 9 A. First of all, this was, it's federal funding,
 10 which was agreed to by the First Ministers,
 11 but it was very much targeted to respond to
 12 Canadian's concerns about access to services,
 13 so wait lists. And this came about following
 14 the Romano Commission and all--you know, that
 15 was the trigger. So it's targeted to address
 16 wait times, it's targeted to cardiac programs,
 17 orthopaedics, diagnostic imaging and vision
 18 care, I believe, these, and there may be one
 19 other. But the money cannot be used for any
 20 other purpose than these targeted areas. And
 21 one of the complications in addressing that is
 22 obviously you have to have the capacity. If
 23 you're going to expand a program, for example,
 24 if you're going to expand an orthopaedic
 25 program and bringing in new physicians,

Page 91

1 specialists, you have to have beds, you have
 2 to have clinic time, you have to have OR time,
 3 operating room time. So you must have the
 4 physical resources to be able to expand a
 5 program, to begin with. And I think I've
 6 demonstrated our constraints in that area.
 7 MR. SIMMONS:
 8 Q. Right.
 9 MS. DAWE:
 10 A. So we're not able to access, even though that
 11 money may be there, ten or twelve million
 12 dollars, to improve access to services, you
 13 have to have the ability to expand that
 14 service to be able to access the money. It
 15 cannot be used for any other purpose.
 16 MR. SIMMONS:
 17 Q. Do you know if any of that money is targeted
 18 towards laboratory services?
 19 MS. DAWE:
 20 A. No.
 21 MR. SIMMONS:
 22 Q. Including the services of pathologists?
 23 MS. DAWE:
 24 A. No, not to my knowledge, unless, unless there
 25 could be a direct link to one of the programs,

Page 92

1 but I wouldn't be aware of that. So my
 2 immediate response to you would be, no.
 3 MR. SIMMONS:
 4 Q. Okay. Do you know if having this targeted
 5 money available, for example, for cardiac
 6 care, if having that available frees up other
 7 money that would otherwise be used from the
 8 provincial -
 9 MS. DAWE:
 10 A. No.
 11 MR. SIMMONS:
 12 Q. - budget on cardiac care to move to another
 13 service like laboratory services?
 14 MS. DAWE:
 15 A. No, because I don't, I don't think that we
 16 would be able to address the wait list if it
 17 were left to provincial resources in the last
 18 few years. And I have to say that I'm so
 19 encouraged by the Premier's comments over the
 20 last few weeks, now that the province is in a
 21 different financial position, I was delighted
 22 to hear the Premier saying that now is the
 23 time or he plans to address some of our
 24 capital and infrastructure needs, as well.
 25 But, you know, I don't want to go beyond this

Page 93

1 point by saying the only concerns relate to
 2 capital and--or infrastructure and equipment.
 3 We are in the process of throughout the
 4 organization of having the development of a
 5 human resource plan. Unless we have people to
 6 provide services, obviously. That's the third
 7 critical piece to all of this.
 8 MR. SIMMONS:
 9 Q. Um-hm.
 10 MS. DAWE:
 11 A. And I believe I've demonstrated over the last
 12 few years the problem, the past few days, it
 13 feels years, but the past few days the
 14 difficulties that we have with recruitment and
 15 retention of pathologists.
 16 MR. SIMMONS:
 17 Q. Um-hm.
 18 MS. DAWE:
 19 A. It's all interrelated. You need buildings,
 20 you need technology and you need the human
 21 resource to be able to provide the services,
 22 and they're all challenging areas.
 23 MR. SIMMONS:
 24 Q. Right, okay. I have some questions for you
 25 about the budget process.

Page 94

1 MS. DAWE:
 2 A. Um-hm.
 3 MR. SIMMONS:
 4 Q. First of all, what can you tell me about how
 5 the budget process works within the
 6 administrative side of the organization,
 7 separate and apart from the Board, in a
 8 general sense, what are the types of steps
 9 that lead to the preparation of a budget for
 10 submission to government?
 11 MS. DAWE:
 12 A. Well, the first is the organization receives
 13 guidelines from the Department of Health as to
 14 what we're permitted, you know, how the budget
 15 process is going to unfold this year, so there
 16 may be some guidelines.
 17 MR. SIMMONS:
 18 Q. Yes.
 19 MS. DAWE:
 20 A. Which would suggest these are the priority
 21 areas for the Department of Health, so factor
 22 these into your plans.
 23 MR. SIMMONS:
 24 Q. Um-hm.
 25 MS. DAWE:

Page 95

1 A. Could be something like that. But so the
 2 administration would take that, then they
 3 would engage right down to the department
 4 levels, to the managers, and the same would
 5 happen on the clinical side, so the MAC and
 6 the clinical chiefs would have an opportunity
 7 for input. So there's considerable amount of
 8 input at many levels within the organization
 9 which would then work their way up to the
 10 executive.
 11 MR. SIMMONS:
 12 Q. Do you know if at the level of programs and
 13 departments if, as part of the budget process,
 14 they generate their own lists of requests for
 15 budget increases or -
 16 MS. DAWE:
 17 A. Yes.
 18 MR. SIMMONS:
 19 Q. - capital and operating budgets?
 20 MS. DAWE:
 21 A. That's where it starts.
 22 MR. SIMMONS:
 23 Q. Um-hm.
 24 MS. DAWE:
 25 A. So they have the first input and then it works

Page 96

1 its way from the department and involving the
 2 clinical practice, then to the managers and
 3 then to the executive. So, for example, by
 4 the time it would get to the Executive
 5 Committee, and I'm still talking operational.
 6 MR. SIMMONS:
 7 Q. Yes.
 8 MS. DAWE:
 9 A. Even though that's not my area, but I'm
 10 talking about process. By the time it gets to
 11 the executive of the organization, it's the
 12 requirements as seen through the eyes of the
 13 people providing the services.
 14 MR. SIMMONS:
 15 Q. Right.
 16 MS. DAWE:
 17 A. And then it has to be prioritized from an
 18 other perspective.
 19 MR. SIMMONS:
 20 Q. And who does that?
 21 MS. DAWE:
 22 A. That's then left at the executive level.
 23 There's a great deal of--there's considerable
 24 amount of time and effort into this process.
 25 So, for example, by the time the whole list is

Page 97

1 complete, there may be a requirement for \$60
 2 million new money this year for operating, as
 3 an example. And then the executive would go
 4 through this and set priorities. And so, they
 5 may say, well, we know we're not able, through
 6 government, to fund something this year, so
 7 we'll move that on to year two if it's not a
 8 priority for year one. It's still, the
 9 information is used in bringing the budget
 10 together. Then the budget comes from the
 11 executive to the Finance Committee of the
 12 Board.
 13 MR. SIMMONS:
 14 Q. Yes.
 15 MS. DAWE:
 16 A. And a considerable amount of time,
 17 considerable, hours and hours are devoted to
 18 analysing the budget requirements at the
 19 Finance Committee. And then it works its way,
 20 as recommendations, to the Board and there's
 21 another level of discussion. When it's
 22 finally approved at the Board, then it goes to
 23 the Department.
 24 MR. SIMMONS:
 25 Q. When it reaches the point where it's approved

Page 98

1 at the Board, do you know whether all the
 2 requests that are originated with the
 3 departments and programs are still part of
 4 that proposal or if there's been a process of
 5 reducing even at that point?
 6 MS. DAWE:
 7 A. No, it would be reduced, as I said, because
 8 quite often--and it would also be based on the
 9 guidelines that come from the Department.
 10 MR. SIMMONS:
 11 Q. Right.
 12 MS. DAWE:
 13 A. Because we may not, even though we see a need
 14 within the organization, we may have a
 15 direction which says this year you cannot do
 16 A, B, C or D, so we have to table that for the
 17 moment. It's not lost, but it may be put
 18 aside for next year, for example.
 19 MR. SIMMONS:
 20 Q. Now, Eastern Health, since it's been in
 21 existence, I presume, has submitted budgets
 22 for several years, at least a couple of years
 23 so far?
 24 MS. DAWE:
 25 A. Yes.

Page 99

1 MR. SIMMONS:
 2 Q. And once those budgets are submitted to
 3 government through the Department of Health, I
 4 presume?
 5 MS. DAWE:
 6 A. Yes.
 7 MR. SIMMONS:
 8 Q. What happens then?
 9 MS. DAWE:
 10 A. Then there's discussion at--between usually
 11 the executive group of the organization and
 12 officials of the Department. And when the
 13 Department then finishes its process, it goes
 14 on to Treasury Board and incorporated through
 15 the budget process. When finally the
 16 Department--when finally government announces
 17 its budget and then the information goes back
 18 to the Department of Health in terms of what's
 19 approved, because something may be requested
 20 from the Department of Health which really is
 21 not funded through Treasury Board, either, so
 22 there's still another step once it gets in
 23 government.
 24 MR. SIMMONS:
 25 Q. Um-hm.

Page 100

1 MS. DAWE:
 2 A. So when the Department of Health knows its
 3 approved budget, then the information is given
 4 back to the system, to each of the boards.
 5 And if there are variances, which quite often
 6 there are in what we've requested and what the
 7 Department is able to fund, then we have to go
 8 through another process of reconciling how are
 9 we going to make the changes necessary to live
 10 within our budget, because we have to live
 11 within the budget.
 12 MR. SIMMONS:
 13 Q. And with the budgets submitted by Eastern
 14 Health and the responses of government, have
 15 there been variances?
 16 MS. DAWE:
 17 A. Absolutely.
 18 MR. SIMMONS:
 19 Q. Can you tell me some scale or range of what
 20 those have been?
 21 MS. DAWE:
 22 A. Well, as an example, 2006, 2007 the operating
 23 request was about \$86 million and the approval
 24 was \$50 million on the operating side.
 25 MR. SIMMONS:

Page 101

1 Q. That would be the request for increase, is it?
 2 MS. DAWE:
 3 A. New money.
 4 MR. SIMMONS:
 5 Q. Increase in--new money?
 6 MS. DAWE:
 7 A. New money, new money.
 8 MR. SIMMONS:
 9 Q. Yes.
 10 MS. DAWE:
 11 A. That would include inflation and so on, but in
 12 total that would be our request.
 13 MR. SIMMONS:
 14 Q. Right.
 15 MS. DAWE:
 16 A. On the capital side for renovations and new
 17 projects and so on that same year our request
 18 was close to \$81 million and our approved was
 19 close to 5 million.
 20 MR. SIMMONS:
 21 Q. Yes.
 22 MS. DAWE:
 23 A. And on the equipment request, same year, 2006,
 24 '07, the request was \$18 million and the
 25 approval was 5.7.

Page 102

1 MR. SIMMONS:
 2 Q. Okay.
 3 MS. DAWE:
 4 A. Now, I'm trusting with, as the Premier has
 5 indicated, that funds, that the province has
 6 the ability to respond so that this year we're
 7 looking forward to a much more favourable
 8 response to our requests, particularly in the
 9 areas of infrastructure and equipment, but
 10 also the human resource side.
 11 MR. SIMMONS:
 12 Q. Okay.
 13 THE COMMISSIONER:
 14 Q. Mr. Simmons, if this is a convenient spot?
 15 MR. SIMMONS:
 16 Q. It is, Commissioner.
 17 THE COMMISSIONER:
 18 Q. - we should take the morning break. Fifteen
 19 minutes.
 20 (RECESS)
 21 THE COMMISSIONER:
 22 Q. Please be seated. Mr. Simmons.
 23 MR. SIMMONS:
 24 Q. Thank you, Commissioner. Ms. Dawe, before the
 25 break I'd been asking you some questions about

Page 103

1 the budget process and you told me the results
 2 of the 2006, '07 budget process and the
 3 responses from government. The other question
 4 I had for you in relation to that was, I had
 5 understood from your evidence at the outset
 6 that one of the mandates given to Eastern
 7 Health by government was to maintain a
 8 balanced operating budget?
 9 MS. DAWE:
 10 A. Yes.
 11 MR. SIMMONS:
 12 Q. Is that correct?
 13 MS. DAWE:
 14 A. Yes.
 15 MR. SIMMONS:
 16 Q. And that Eastern Health has been successful in
 17 doing that?
 18 MS. DAWE:
 19 A. The last two years.
 20 MR. SIMMONS:
 21 Q. Okay. And, in fact, have there been small
 22 surpluses achieved on the operating budget?
 23 MS. DAWE:
 24 A. Very small, very small, but nonetheless, yes,
 25 like \$2 million, I think, our first year and 5

Page 104

1 million last year, which have both gone
 2 towards that debt, that \$79 million debt. So
 3 we would love to be able to have that money to
 4 put it back into programs and respond to some
 5 of the other needs, but it goes directly to
 6 servicing the debt.
 7 MR. SIMMONS:
 8 Q. Okay. And why could that, that small surplus
 9 on the operating budget not be accessed in
 10 order to put towards programming?
 11 MS. DAWE:
 12 A. That's not within the, I think, the Financial
 13 Administration Act of the province. We
 14 wouldn't have the ability to do that. Could I
 15 just make a comment before you leave?
 16 MR. SIMMONS:
 17 Q. Sure.
 18 MS. DAWE:
 19 A. Because I think anybody who would know or whom
 20 would have dealt with me over the years would
 21 clearly understand that when I talk about
 22 looking for more money for the health system
 23 to respond to the needs, I don't do that
 24 without an understanding that there is--we are
 25 only one part of a public service.

Page 105

1 MR. SIMMONS:
 2 Q. Um-hm.
 3 MS. DAWE:
 4 A. The needs of other sectors of society,
 5 education, the environment, the economy,
 6 economic development, all of these areas
 7 impact on a person's health. So without
 8 adequate funding in these areas, you know, we
 9 have another problem in the health area. So,
 10 I appreciate the difficulties at the
 11 provincial level in balancing and responding
 12 to the needs of society, but that's the
 13 reality, that's what we're dealing with. When
 14 you're at a provincial level, you have to
 15 ensure funding is appropriately directly, not
 16 only to health but to education and to these
 17 other sections. So that is critical; but
 18 nonetheless, we have needs and we have to
 19 continue to pursue and to put forth our needs
 20 to the provincial government, that's our
 21 responsibility.
 22 MR. SIMMONS:
 23 Q. Okay, thank you. Now, based on what you have
 24 told us so far this morning, up to, we'll say
 25 2005 when Eastern Health was formed, would it

Page 106

1 be fair to say that in that era where there
 2 was a degree of fiscal restraint in the Health
 3 Care system, that the priorities were at
 4 various times achieving efficiencies within
 5 the system and that front-line services were
 6 the areas that had to be given the top
 7 priority for available money and other things
 8 became secondary?
 9 MS. DAWE:
 10 A. Absolutely.
 11 MR. SIMMONS:
 12 Q. Okay, now since Eastern Health has been
 13 formed, since 2005, has there been any
 14 opportunity or any move towards changing those
 15 priorities and moving in different directions?
 16 MS. DAWE:
 17 A. Well I think I indicated earlier we've
 18 increased our emphasis on quality and safety
 19 in particular.
 20 MR. SIMMONS:
 21 Q. Yes, uh-hm. And has that been something
 22 that's been unique to Eastern Health or to
 23 Newfoundland in that time period?
 24 MS. DAWE:
 25 A. You mean the -

Page 107

1 MR. SIMMONS:
 2 Q. A move to greater emphasis on patient safety?
 3 MS. DAWE:
 4 A. No, this is national, this is really--and I
 5 think, for example, the Canadian Patient
 6 Safety Institute and I've referred to that
 7 organization several times over this last few
 8 days, they are--it's only recent that they
 9 have talked about disclosure and their
 10 policies for disclosure and new information.
 11 So this is a national initiative. We are not
 12 unique in this area and I certainly wouldn't
 13 want to leave that impression either.
 14 MR. SIMMONS:
 15 Q. Okay, thank you. Early in your evidence you
 16 described for some of the aspects of the
 17 Policy Governance Model adopted by this Board
 18 of Eastern Health and how it worked. And I
 19 want to take a little bit of time to try and
 20 explore that a bit further because I think
 21 it's important for the Commission to
 22 understand how that model is structured and
 23 what it means for the way Eastern Health's
 24 Board and Administration carry out their
 25 functions.

Page 108

1 MS. DAWE:
 2 A. Yes.
 3 MR. SIMMONS:
 4 Q. And my first question for you concerning it is
 5 that, is there a difference between the
 6 traditional differentiation of roles with a
 7 board having a policy function and the
 8 administration having an operational function.
 9 Is there a difference between that type of
 10 model and the Policy Governance Model?
 11 MS. DAWE:
 12 A. Yes, yes.
 13 MR. SIMMONS:
 14 Q. Okay, and in generally how do you compare the
 15 two? Is there more or less in one model or
 16 the other?
 17 MS. DAWE:
 18 A. Clearly the lines of responsibility, the
 19 accountabilities and the monitoring of
 20 accountabilities are very well defined in
 21 policy governance, in the model. And I should
 22 say the model that we are operating under,
 23 okay, it's a modified type of policy
 24 governance. But it is much more in keeping
 25 with our legislative requirements, the

Page 109

1 Transparency and Accountability Act and our
 2 new Regional Authorities Act. So from both
 3 perspectives and I've sat as a CEO in my years
 4 as well, so from both perspectives, it
 5 provides clearer identification and
 6 delineation of roles and responsibilities and
 7 it removes opportunities for assumptions and
 8 let me just explain that. Under a traditional
 9 model, a chief executive officer would have a
 10 legislative mandate, as defined by the
 11 Legislation, but a job description and goals
 12 and objectives and so on. But quite often you
 13 operate on the basis of assuming that what
 14 you're doing is in keeping with the Board's
 15 mandate and the direction and so on. With a
 16 model that we have adopted and it's still
 17 evolving, as you would appreciate, we set very
 18 specific goals, "ends" as we call them and
 19 perimeters around which the chief executive
 20 officer operates. So it's very much more--
 21 there's much more accountability, much more
 22 accountability in the system that we are using
 23 and which is evolving as we proceed. And we
 24 have a well-defined monitoring process, so I
 25 feel and I think I really speak on behalf of

Page 110

1 the Board because the Board has fully endorsed
 2 our continuation of this direction, that
 3 there's much more of an understanding of roles
 4 and responsibilities at the Board level and
 5 the executive level and that we have our
 6 directions and our accountabilities clearly
 7 defined and we fulfil that.
 8 MR. SIMMONS:
 9 Q. Immediately before the creation of Eastern
 10 Health, you were involved in the Community
 11 Services Board and ex officio on the Health
 12 Care Corporation of St. John's. From your
 13 experience with those organizations, was there
 14 a recognition there that the Board role was
 15 primarily a policy one and that the CEO would
 16 be responsible for the operations.
 17 MS. DAWE:
 18 A. Yes, and that's historical, that's not
 19 Newfoundland, that's the way health boards
 20 across the country operate, so there's nothing
 21 new about that.
 22 MR. SIMMONS:
 23 Q. In those two examples, were the kind--was the
 24 kind of structure that you just described in
 25 the Policy Governance Model around the

Page 111

1 differentiation of the roles of the Board and
 2 CEO, was that kind of structure present in the
 3 same way, in those two earlier boards that you
 4 were involved in?
 5 MS. DAWE:
 6 A. No, not at all.
 7 THE COMMISSIONER:
 8 Q. Can I have an example of what the difference
 9 would be?
 10 MR. SIMMONS:
 11 Q. Well what I was intending to do next, Madam
 12 Commissioner, is actually go to the policies
 13 adopted by Eastern Health and use those
 14 policies to illustrate, perhaps a bit better
 15 the way the model actually works.
 16 THE COMMISSIONER:
 17 Q. Carry on, okay.
 18 MR. SIMMONS:
 19 Q. So, could we bring up P-0053 please?
 20 MS. DAWE:
 21 A. While you're doing that, I wonder--I think to
 22 illustrate the importance of the direction
 23 we've pursued, I believe in the Hay Report
 24 there was a reference to the lack of
 25 accountabilities -

Page 112

1 MR. SIMMONS:
 2 Q. You are correct. If we go back to Exhibit P-
 3 0033, please, and -
 4 MR. BROWNE:
 5 Q. I.I.
 6 THE COMMISSIONER:
 7 Q. Thank you, Mr. Browne.
 8 MS. DAWE:
 9 A. And I'm only suggesting this because there
 10 was, I would say a criticism because of the
 11 lack of accountability as noted here.
 12 MR. SIMMONS:
 13 Q. Okay, there's a reference here on page 7 of
 14 Exhibit P-0033 under monitoring effectiveness
 15 of management and I wonder if that might be
 16 what you're referring to?
 17 MS. DAWE:
 18 A. That's it, that's what I'm--yes. "Although
 19 the Corporation's strategic directions
 20 communicate to management the Board's desire
 21 regarding the focus of management activities,
 22 management has not established a framework for
 23 formally and systematically reporting on its
 24 activities in relation." The Board is not
 25 receiving, you know, the reports on their

Page 113

1 overall performance, so that's another reason
 2 and I just recall that as flipping through,
 3 that's--the model that we adopted is also
 4 responding to that concern that was raised.
 5 MR. SIMMONS:
 6 Q. Yes, yes.
 7 MS. DAWE:
 8 A. Through our monitoring processes and so forth
 9 MR. SIMMONS:
 10 Q. And I believe you've told us earlier that the
 11 creation of Eastern Health was an opportunity
 12 to put into effect this model that people had
 13 been aware of previously.
 14 MS. DAWE:
 15 A. Yes, uh-hm.
 16 MR. SIMMONS:
 17 Q. Okay, if we could go back to P-0053 please?
 18 Okay, now this document is a Board of Trustees
 19 Governance Policies and this is one you would
 20 be familiar with, Mrs. Dawe?
 21 MS. DAWE:
 22 A. Yes.
 23 MR. SIMMONS:
 24 Q. And these are policies that have been approved
 25 by the Board of Trustees of Eastern Health,

Page 114

1 are they?
 2 MS. DAWE:
 3 A. Yes, and I think there's a date, it's the
 4 spring of 2006, I believe or May of 2006.
 5 MR. SIMMONS:
 6 Q. Okay, I'm just going through the first policy
 7 here which is on page 3 and there's an
 8 approved date there of May 24th, 2006. Now
 9 before I actually look at these, would it be
 10 correct that the Policy Governance Model has a
 11 number of features, including the
 12 identification of what's called ends, E-N-D-S?
 13 MS. DAWE:
 14 A. Ends, yes.
 15 MR. SIMMONS:
 16 Q. And that then there are policies adopted by
 17 the Board that are a feature of it.
 18 MS. DAWE:
 19 A. Yes.
 20 MR. SIMMONS:
 21 Q. And that there is then monitoring reports that
 22 come back that address the adherence to the
 23 policies that are set by the Board, that's a
 24 very general outline of the way the model
 25 works?

Page 115

1 MS. DAWE:
 2 A. That's correct.
 3 MR. SIMMONS:
 4 Q. Okay, now what can you tell me about what
 5 these ends are supposed to be and how you
 6 address, determine those:
 7 MS. DAWE:
 8 A. The ends are the results that the Board wants
 9 to achieve. The means to achieving these ends
 10 are operational.
 11 MR. SIMMONS:
 12 Q. Yes.
 13 MS. DAWE:
 14 A. So that's the clear distinction. The what we
 15 want to achieve, the goal, is the Board
 16 responsibility. How to achieve that what is
 17 the organization's responsibility.
 18 MR. SIMMONS:
 19 Q. Okay. Where is the organization right now in
 20 determining and defining the ends to be met?
 21 MS. DAWE:
 22 A. It's still work-in-progress. We have--I had
 23 indicated earlier we actually started working
 24 with a facilitator in the fall of 2005 and
 25 then we worked through the winter and what you

Page 116

1 see here is the first level of approval of the
 2 policies, and we are working now--and it's
 3 hand-in-glove with our strategic plan, of
 4 course.
 5 MR. SIMMONS:
 6 Q. Uh-hm.
 7 MS. DAWE:
 8 A. Because the strategic directions of the
 9 organization have to be linked with the ends
 10 or what we want to achieve.
 11 MR. SIMMONS:
 12 Q. Right.
 13 MS. DAWE:
 14 A. So they continue to evolve with our strategic
 15 directions.
 16 MR. SIMMONS:
 17 Q. Okay. I'm just going to go here to the table
 18 of contents of this document and these
 19 policies are grouped into three, under three
 20 headings: governance process, board staff
 21 relationship and executive limitations. Do
 22 you see those?
 23 MS. DAWE:
 24 A. Yes.
 25 MR. SIMMONS:

Page 117

1 Q. So I'm going to start just by referring you to
 2 one of the first governance policies, which is
 3 the one that's identified as GP-0002 which is
 4 on page 4 of this document. And in this
 5 policy, it begins with a statement listing
 6 seven points and then goes on to prescribe
 7 some additional description of how those goals
 8 are to be achieved, is that -
 9 MS. DAWE:
 10 A. Yes.
 11 MR. SIMMONS:
 12 Q. And among those seven points that are listed,
 13 the first is that there should be outward
 14 vision, rather than an internal preoccupation;
 15 second is encouragement of diversity and
 16 viewpoints and by the way, this policy is
 17 governing style.
 18 MS. DAWE:
 19 A. Yes.
 20 MR. SIMMONS:
 21 Q. So this speaks to the approach to be taken by
 22 the Board, does it?
 23 MS. DAWE:
 24 A. Yes, yes.
 25 MR. SIMMONS:

Page 118

1 Q. And number three is "strategic leadership more
 2 than administrative detail".
 3 MS. DAWE:
 4 A. Uh-hm.
 5 MR. SIMMONS:
 6 Q. Now what is intended by that?
 7 MS. DAWE:
 8 A. So it's at the high level, as I refer,
 9 establishing the strategic plan, the strategic
 10 directions of the organization.
 11 MR. SIMMONS:
 12 Q. Uh-hm.
 13 MS. DAWE:
 14 A. So it's at the strategic level and future, as
 15 opposed to internal or retrospective.
 16 MR. SIMMONS:
 17 Q. Right.
 18 MS. DAWE:
 19 A. And then the administrative detail refers to
 20 the operations. So that's clearly the
 21 distinction in policy and operations.
 22 MR. SIMMONS:
 23 Q. Right. And does Item 4 there reinforce that
 24 idea -
 25 MS. DAWE:

Page 119

1 A. Yes.
 2 MR. SIMMONS:
 3 Q. Clear distinction of board and chief executive
 4 roles.
 5 MS. DAWE:
 6 A. Yes, yes. And all of these, number one,
 7 number six and number seven are reflected in
 8 the Board's activities over this last three
 9 years with our outreach to the community and
 10 the community engagement and the needs
 11 assessment and so on that I've referred to
 12 several times.
 13 MR. SIMMONS:
 14 Q. Okay, now paragraph number two here says, "The
 15 Board will establish written policies
 16 reflecting its values and perspectives about
 17 ends to be achieved and the means to be
 18 avoided." Why would the Board want to avoid
 19 establishing policies about the means to
 20 achieve those things?
 21 MS. DAWE:
 22 A. Because the means to achieve these are
 23 operational in matter and so therefore, you
 24 know, we are trying to clearly identify the
 25 role of the Board, verses the role of

Page 120

1 Administration. How the goals are to be
 2 achieved is really the staff. The Board is a
 3 board of governance, not a board of
 4 operations.
 5 MR. SIMMONS:
 6 Q. Okay, I'll bring you over to the next policy,
 7 GP-0003 and Commissioner, I won't be going
 8 through them all. This one is entitled policy
 9 name "Board Responsibilities" and I just
 10 wanted to note in here that in paragraph two,
 11 there are several, what appear to be
 12 definitions there. In a) it describes ends
 13 and in b) executive limitations, and in c) the
 14 governance process. These are the ends that
 15 you referred to earlier, correct?
 16 MS. DAWE:
 17 A. Uh-hm.
 18 MR. SIMMONS:
 19 Q. And it says "Organizational products, impacts,
 20 benefits, outcomes, consumers and their
 21 relative worth. What--good for which
 22 recipients at what cost?" So, that's a
 23 description of the objective -
 24 MS. DAWE:
 25 A. Yes, and so it's the outcome is the goals

Page 121

1 really.

2 MR. SIMMONS:

3 Q. Right, okay. Now executive limitations, what

4 are those and what role do they play?

5 MS. DAWE:

6 A. They are constraints that are placed around

7 the functioning for the chief executive

8 officer, as our employee, just the one person.

9 So and maybe it will be helpful to go to an

10 example in due time just to explain that, but

11 instead of having a chief executive officer

12 assume that what he or she understands to be

13 the case and so there is a great territory and

14 there are opportunities for misunderstanding,

15 misrepresentation -

16 MR. SIMMONS:

17 Q. Uh-hm.

18 MS. DAWE:

19 A. That this more clearly defines what the

20 expectations are in a sense and you can go so

21 far, but you can't go beyond that.

22 MR. SIMMONS:

23 Q. Right, okay. I want to quickly refer you to

24 policy GP-0007 which is on page 11 of this

25 document and it says, "Board Committee

Page 122

1 Principles".

2 MS. DAWE:

3 A. Yes.

4 MR. SIMMONS:

5 Q. And it begins by saying "Board committees,

6 when used, will be assigned so as to reinforce

7 the wholeness of the Board's job and so as to

8 never to interfere with delegation from board

9 to chief executive officer." And paragraph

10 one says, "Board committees are to help the

11 Board fulfil its role, they are not to help or

12 advise the staff." And paragraph three says,

13 "Board committees cannot exercise authority

14 over the staff because the chief executive

15 officer works for the full board, he or she

16 will not be required to obtain approval of a

17 board committee before an executive action."

18 MS. DAWE:

19 A. Yes.

20 MR. SIMMONS:

21 Q. So then even though the Board may establish

22 committees, is the intent of that not to have

23 those committees become involved in the

24 operations of the organization either.

25 MS. DAWE:

Page 123

1 A. Correct. No, correct, it's to assist the

2 Board.

3 MR. SIMMONS:

4 Q. Uh-hm, okay. Now the next group of policies

5 are the ones that, where it says "Policy type

6 is board staff relationship." And this one is

7 global governance, management connection, BS-

8 0001 and it says, "The Board's sole official

9 connection to the operational organization's

10 achievements in conduct will be to the

11 president and chief executive officer."

12 Simply stated.

13 MS. DAWE:

14 A. Yes.

15 MR. SIMMONS:

16 Q. And the next one then addresses the issue of

17 delegation to the chief executive officer. So

18 this is the policy that sets out, it says "The

19 Board will instruction the chief executive

20 officer through written policies which

21 prescribe the organizational ends to be

22 achieved and describe organizational

23 situations and actions to be avoided, allowing

24 the chief executive officer to use any

25 reasonable interpretation of these policies."

Page 124

1 MS. DAWE:

2 A. Yes.

3 MR. SIMMONS:

4 Q. So there is then a freedom of movement given

5 to the CEO is there, to take interpretations

6 of those policies that have been set by the

7 Board and to act within those interpretations?

8 MS. DAWE:

9 A. Yes, within a reasonable person's

10 interpretation and you will see that then as

11 we move on to an example.

12 MR. SIMMONS:

13 Q. Okay. And along with delegation, of course,

14 comes the next policy which is number four,

15 policy BS-0004, "Accountability of the Chief

16 Executive Officer." So how then is the chief

17 executive officer made accountable to the

18 Board for the fulfilment of those

19 responsibilities?

20 MS. DAWE:

21 A. Through the monitoring process and reports.

22 MR. SIMMONS:

23 Q. Okay. And is the CEO accountable to the

24 organization, to the Board for the whole

25 organization and everybody in it?

Page 125

1 MS. DAWE:
 2 A. Yes.
 3 MR. SIMMONS:
 4 Q. Is there anyone else in the organization who
 5 is directly accountable to the Board?
 6 MS. DAWE:
 7 A. No.
 8 MR. SIMMONS:
 9 Q. Now, BS-0005 is entitled "Monitoring Executive
 10 Performance". Now perhaps you could tell us a
 11 little bit more here now about what means are
 12 used to monitor the executive performance
 13 under this model.
 14 MS. DAWE:
 15 A. Okay, we have developed a reporting, a
 16 monitoring reporting process. Some--depending
 17 on the policies, sometimes we have a report--
 18 for example, financially there may be a
 19 report, a monitoring report that would come
 20 through monthly. Some others may be
 21 quarterly, some others may be yearly, it
 22 really depends on the policy itself, but--and
 23 they're not all reported at the same time, so
 24 we built into our agenda a section on
 25 monitoring and reporting so that at each

Page 126

1 meeting the chief executive officer would
 2 present a monitoring report based on a pre-
 3 determined agenda.
 4 MR. SIMMONS:
 5 Q. Uh-hm. And those monitoring reports, do they
 6 come from anyone other than the CEO?
 7 MS. DAWE:
 8 A. No, because I have to continue to say the only
 9 person, the only employee of the Board is the
 10 chief executive officer. Now, the development
 11 of that monitoring report obviously would--
 12 the information contained therein, would come
 13 from multiple sources within the organization,
 14 but the report itself, comes from the chief
 15 executive officer. That's the only person
 16 held accountable for that.
 17 MR. SIMMONS:
 18 Q. 2(a) of this policy refers to "Internal
 19 Report". Is that the monitoring report that
 20 you are talking--the report you're talking
 21 about?
 22 MS. DAWE:
 23 A. Yes, I am. And then there's an external
 24 component and that could be, well from any
 25 number of sources. It could include the

Page 127

1 audited financial statement, it could include
 2 our accreditation report that I referred to,
 3 you know, previously, or any other report that
 4 the Board may request from an audited or
 5 performance review or anything else. So there
 6 are two sources: internal and external.
 7 MR. SIMMONS:
 8 Q. So following the adoption then of these
 9 policies on May 24th, 2006, the Board has
 10 expected the CEO to provide these monitoring
 11 reports on a regular basis?
 12 MS. DAWE:
 13 A. Yes, and we've identified the times that these
 14 reports, okay, we have an agenda.
 15 MR. SIMMONS:
 16 Q. And the Board policy has the ability to look
 17 to either external reviews as well?
 18 MS. DAWE:
 19 A. Oh yes, uh-hm.
 20 MR. SIMMONS:
 21 Q. And at the paragraph four of this policy,
 22 there's a reference to the standard of
 23 compliance which it says "shall be any
 24 reasonable chief executive officer
 25 interpretation of the Board policy being

Page 128

1 monitored." So is it correct then to say that
 2 the standard of compliance is not the
 3 interpretation that the Board would
 4 necessarily place upon the policy, it is what
 5 the CEO would place, as long as it is a
 6 reasonable one?
 7 MS. DAWE:
 8 A. Reasonable, yes, correct.
 9 MR. SIMMONS:
 10 Q. Okay. Now the next group of policies, the
 11 last one, are the ones that are of the policy
 12 type, executive limitations.
 13 MS. DAWE:
 14 A. Yes.
 15 MR. SIMMONS:
 16 Q. And I'm just going to take one of those to use
 17 as an example, and I'm going to go down to
 18 EL10, which is on page 31 of the exhibit. The
 19 policy name is safety and quality improvement.
 20 See that there?
 21 MS. DAWE:
 22 A. Yes.
 23 MR. SIMMONS:
 24 Q. And there's a paragraph at the beginning, and
 25 below that then, there are a number of

Page 129

1 numbered paragraphs. Can you tell me how
 2 these executive limitations are structured in
 3 these policies? What's the format they take?
 4 MS. DAWE:
 5 A. Well, there's always a general statement of
 6 what the expectation is, and if I might just
 7 refer to this one, that "the chief executive
 8 officer shall not fail to implement and
 9 support a safety culture within the
 10 organization." So it's a definition of what
 11 the expectation is, and then you move on to
 12 more clearly define the generality, sort of.
 13 So what does that actually mean? This then
 14 indicates that "the chief executive officer
 15 shall not cause or allow conditions,
 16 procedures or circumstances which are unsafe;
 17 allow any service area to operate without
 18 functioning equipment," and so on. So it's
 19 more specific than--you know, the general
 20 statement is there at the beginning to give an
 21 indication, but then you move on to provide
 22 the details.
 23 MR. SIMMONS:
 24 Q. Now these are called executive limitations?
 25 MS. DAWE:

Page 130

1 A. Yes.
 2 MR. SIMMONS:
 3 Q. So the opening paragraph there makes a
 4 statement about what the CEO shall not fail to
 5 do in general senses.
 6 MS. DAWE:
 7 A. In a general sense.
 8 MR. SIMMONS:
 9 Q. And then the detail goes on to present
 10 limitations, the things that the CEO shall not
 11 do?
 12 MS. DAWE:
 13 A. Shall not do.
 14 MR. SIMMONS:
 15 Q. And otherwise then, is the CEO left to have
 16 the freedom to meet those objectives as the
 17 CEO sees fit?
 18 MS. DAWE:
 19 A. Within the reasonable person perspective.
 20 MR. SIMMONS:
 21 Q. Okay, good. Now you'd mentioned the
 22 monitoring reports. I'm going to show you an
 23 example of a monitoring report, since we're
 24 working through this, and could I have Exhibit
 25 P-0019, please? And when it comes up, I'd

Page 131

1 like to go to--the page numbers have changed
 2 on this one?
 3 THE COMMISSIONER:
 4 Q. That is the one where the page numbers have
 5 changed, but we'll do our best to find it, if
 6 you can tell us what it relates to.
 7 MR. SIMMONS:
 8 Q. I'll see if I can -
 9 REGISTRAR:
 10 Q. What was the old page number?
 11 MR. SIMMONS:
 12 Q. The old page number was 209. That may
 13 correspond to-
 14 MS. DAWE:
 15 A. I think you just passed it there.
 16 THE COMMISSIONER:
 17 Q. Can you give us a title or a -
 18 MR. SIMMONS:
 19 Q. It's an external -
 20 MS. DAWE:
 21 A. There it is. There it is. Here it is.
 22 MR. SIMMONS:
 23 Q. We've got it.
 24 THE COMMISSIONER:
 25 Q. Okay.

Page 132

1 MR. SIMMONS:
 2 Q. We've got it.
 3 THE COMMISSIONER:
 4 Q. And the new page number is 175?
 5 MR. SIMMONS:
 6 Q. Yes.
 7 MS. DAWE:
 8 A. Yes.
 9 MR. SIMMONS:
 10 Q. Mrs. Dawe, do you recognize this as being an
 11 actual example of one of the monitoring
 12 reports that you've referred to?
 13 MS. DAWE:
 14 A. Yes, it is. It's on 22nd of November 2006 and
 15 it's Mr. Tilley's monitoring report on the
 16 financial condition and activities, that
 17 policy.
 18 MR. SIMMONS:
 19 Q. So it begins on referring to the policy type,
 20 executive limitations, the title of the policy
 21 and identifying it as, in this case, policy
 22 EL8, and here Mr. Tilley had signed off on
 23 this report as being his report to the Board?
 24 MS. DAWE:
 25 A. And it covers the six-month period and so on.

Page 133

1 So it's specific to the time frame.
 2 MR. SIMMONS:
 3 Q. Right, and the format, it begins with a
 4 statement of the global policy limitation, and
 5 is that statement taken directly from the
 6 Board policy?
 7 MS. DAWE:
 8 A. Yes.
 9 MR. SIMMONS:
 10 Q. And then it addresses number one, two, three
 11 and so on. Are those the numbered paragraphs
 12 from the Board policy that describe the
 13 limitation?
 14 MS. DAWE:
 15 A. Yes, you can refer back to the policies, yes.
 16 MR. SIMMONS:
 17 Q. And it appears that there's a quote from the
 18 Board policy of the policy limitation, for
 19 example, failed to settle payroll and debts in
 20 a timely manner.
 21 MS. DAWE:
 22 A. Yes, so it's -
 23 MR. SIMMONS:
 24 Q. A quote or a summary of it, and then there's
 25 interpretation and report. What are those

Page 134

1 parts of the monitoring report?
 2 MS. DAWE:
 3 A. So there again would be the Chief Executive
 4 Officer's interpretation, that's the
 5 reasonable person test, interpretation of that
 6 policy. So he would state that upfront. Now,
 7 if I could, as these reports are presented and
 8 discussed at the Board and whether we accept
 9 them or not, because that's the next step, if
 10 there are questions with respect to
 11 interpretation, then that's our opportunity to
 12 clarify with the Chief Executive Officer to
 13 say "well, that may be your understanding, but
 14 here, in addition to that, is what we are
 15 expecting." So this is our opportunity to
 16 clarify and to come to terms and agree that
 17 his interpretation is correct.
 18 MR. SIMMONS:
 19 Q. Right. So presumably then, if the Board
 20 determined or felt that the CEO's
 21 interpretation was not what the Board wanted
 22 to implement, there would be an opportunity
 23 then to revisit the Board policy, would there?
 24 MS. DAWE:
 25 A. Absolutely, yes, or clarify with the CEO that

Page 135

1 "that might be your interpretation, but let's
 2 discuss that because we need to refine it," or
 3 so, okay?
 4 MR. SIMMONS:
 5 Q. Okay. So we've just reviewed that, the
 6 policies there and gone as far as the
 7 monitoring report. You'd told us before that
 8 the intention or objective of the policy
 9 governance model was to put more structure
 10 around the -
 11 MS. DAWE:
 12 A. Accountability.
 13 MR. SIMMONS:
 14 Q. - the division between the Board's role and
 15 the CEO's role and the accountability of the
 16 Board to the CEO, and this process we've just
 17 looked at, is that a fair description of how
 18 that works on the ground?
 19 MS. DAWE:
 20 A. It is, yes, and we've never had this before.
 21 We've never had this clearly defined,
 22 documented process.
 23 MR. SIMMONS:
 24 Q. What, to date, has been the Board's experience
 25 with this and what's your intentions in going

Page 136

1 forward with this model?
 2 MS. DAWE:
 3 A. It's been a positive one, and remember that we
 4 are--it's still work in progress, but we, in
 5 the fall, after one year of implementation of
 6 the policies and the monitoring processes, we
 7 assessed ourselves. We had a discussion. We
 8 brought back the facilitator in the fall and
 9 reviewed where we were, "do we need to make
 10 changes? Do we need to add to this?" and so
 11 on. So to this point, in the fall, we're very
 12 happy. We still have work to do because this
 13 is changing the culture as well of how we--how
 14 the organization reports to the Board. So
 15 there's much work that's still ongoing at the
 16 operational level to make sure we are there.
 17 MR. SIMMONS:
 18 Q. Okay.
 19 THE COMMISSIONER:
 20 Q. Just out of curiosity, is there any difference
 21 in saying to a CEO "thou shalt not fail to
 22 settle payroll and debts in a timely manner,"
 23 and saying to a CEO "thou shalt pay?"
 24 MS. DAWE:
 25 A. Yes.

Page 137

1 THE COMMISSIONER:
 2 Q. So what's the difference?
 3 MS. DAWE:
 4 A. It's to provide more territory, because if you
 5 say "you shall do," there may be a point that
 6 you forgot to say you shall do something,
 7 okay. It's more--it's not seen to be as
 8 inclusive as this approach, which allows the
 9 CEO to have broader understanding and
 10 opportunity as well. That area--I understand
 11 your point, Commissioner, because we all had
 12 that discussion about should we have the
 13 positive versus the negative, and the
 14 experience historically elsewhere where people
 15 have used this for many, many years is this
 16 provides more capacity for interpretation for
 17 the CEO as well.
 18 THE COMMISSIONER:
 19 Q. Which is seen as a positive.
 20 MS. DAWE:
 21 A. Oh, absolutely, absolutely, because it would
 22 be constraining and very much constraining and
 23 a fear that you would forget to identify
 24 something that's expected that maybe the Board
 25 wouldn't understand, but the CEO certainly

Page 138

1 would. So this is seen to be much more
 2 positive.
 3 MR. SIMMONS:
 4 Q. Okay. In 2005, through the summer and fall of
 5 2005, these policies were not in effect?
 6 MS. DAWE:
 7 A. No, no, no.
 8 MR. SIMMONS:
 9 Q. The Board, by that time, had it embarked on
 10 the process of examining the policy governance
 11 model and even beginning to implement it?
 12 MS. DAWE:
 13 A. We had--no, we had discussions in the summer
 14 of 2005 and we brought the facilitator in, I
 15 think it might have been July month, June or
 16 July, but it was clearly an exploration of
 17 what model of governance would be appropriate
 18 for us, given the new legislation and given
 19 the breadth and the mandate that this Board
 20 had been given.
 21 MR. SIMMONS:
 22 Q. Now Mr. Tilley was the CEO of Eastern Health
 23 from the creation of the organization,
 24 correct?
 25 MS. DAWE:

Page 139

1 A. Yes.
 2 MR. SIMMONS:
 3 Q. And he was through 2005?
 4 MS. DAWE:
 5 A. Yes.
 6 MR. SIMMONS:
 7 Q. Where would he have been able to look then to
 8 know where the lines would be drawn between
 9 the Board's role and his responsibilities?
 10 MS. DAWE:
 11 A. More the traditional way of operating, so you
 12 know, however he operated at the Health Care
 13 Corporation was pretty typical of how all the
 14 CEOs in this province would have operated. So
 15 he would not--well, there would be no
 16 expectation, certainly we had never developed
 17 this, there would be no expectation that he'd
 18 be reporting in this framework.
 19 MR. SIMMONS:
 20 Q. Right. So this level of structure around
 21 defining what the level of freedom of
 22 operation that the CEO had and what the limits
 23 on that were and when things had to come back
 24 to the Board, the level of structure that we
 25 see now around that, did that exist back in

Page 140

1 2005?
 2 MS. DAWE:
 3 A. No, not at all. We were just exploring
 4 concepts then.
 5 MR. SIMMONS:
 6 Q. Okay. In relation to policies, I'd like to
 7 quickly show you P-0057, please, because you
 8 were referred to this document earlier. This
 9 is an Eastern Health policy named Disclosure
 10 of Adverse Events from the Quality and Risk
 11 Management, and it's got a number there and an
 12 issue date and so on. It's from 2007. Is
 13 this the type of policy that the Board would
 14 be involved in at all?
 15 MS. DAWE:
 16 A. No, this is an operational policy.
 17 MR. SIMMONS:
 18 Q. Would it be prepared and adopted and monitored
 19 entirely within the operations of the
 20 organization?
 21 MS. DAWE:
 22 A. Yes.
 23 MR. SIMMONS:
 24 Q. Okay. Does the Board have to approve policies
 25 like this?

Page 141

1 MS. DAWE:
 2 A. No, no, we provide--our policies are those
 3 that you've seen, and then they are
 4 operationalized throughout the organization.
 5 MR. SIMMONS:
 6 Q. Would the Board expect to even be aware or
 7 informed of exactly which policies of this
 8 nature exist within the organization?
 9 MS. DAWE:
 10 A. No, there would be hundreds, literally, in
 11 Eastern Health. There would be hundreds of
 12 policies at different levels within the
 13 organization. What we would expect would be,
 14 as we've talked earlier, the monitoring report
 15 of the Chief Executive Officer to assure the
 16 Board that policies exist at an operational
 17 level to accommodate the governance policies.
 18 MR. SIMMONS:
 19 Q. Okay. Now you were asked a number of
 20 questions about this and other policies in
 21 your examination earlier over the last couple
 22 of days, questions concerning specific
 23 sections of the policies, some definitions in
 24 them and so on. Is that the sort of thing
 25 that you, as a member of the Board of

Page 142

1 Trustees, would ever involve yourself in, in
 2 the ordinary course?
 3 MS. DAWE:
 4 A. No, no.
 5 MR. SIMMONS:
 6 Q. Okay.
 7 MS. DAWE:
 8 A. Not at all.
 9 MR. SIMMONS:
 10 Q. In your capacity as the Board, would you feel
 11 comfortable even being able to reliably
 12 interpret the intent behind policies like
 13 this?
 14 MS. DAWE:
 15 A. No, and that's been--that's a level of
 16 discomfort that I've had over the last two or
 17 three days in responding to some of these
 18 operational issues. I'm not the person who
 19 can appropriately or would have the level of
 20 detail to respond to some of these matters.
 21 MR. SIMMONS:
 22 Q. Okay, thank you. I have a couple questions
 23 for you on some of the Board minutes.
 24 MS. DAWE:
 25 A. Yes.

Page 143

1 MR. SIMMONS:
 2 Q. I'd like to go first to the September 2005
 3 Board meeting at P-0018, please, and if we go
 4 specifically to page nine. You were referred
 5 to this portion of the minutes by Mr. Coffey
 6 and had a number of questions asked of you
 7 about it, and if I understand correctly, this
 8 part of the presentation--well, maybe we'll
 9 just go back and see where it fits in first.
 10 I'm going to take you back to the top of the
 11 section which is page four, if I can get
 12 there. Section five in the minutes is
 13 Committee reports.
 14 MS. DAWE:
 15 A. Yes.
 16 MR. SIMMONS:
 17 Q. And then as you go down in Committee reports
 18 to page eight, I bet I've gone too far,
 19 Section 5.3 is the report of the Medical
 20 Advisory Committee of the former Health Care
 21 Corporation of St. John's.
 22 MS. DAWE:
 23 A. Yes.
 24 MR. SIMMONS:
 25 Q. And it is under this section that we see

Page 144

1 "review of system ER/PR testing for breast
 2 screening."
 3 MS. DAWE:
 4 A. Yes.
 5 MR. SIMMONS:
 6 Q. So this particular report came to the Board as
 7 part of the report of the MAC under the
 8 committee reports that were coming to the
 9 Board?
 10 MS. DAWE:
 11 A. And I think I referred to that yesterday, that
 12 that would be an expectation as well, to have--
 13 -yes.
 14 MR. SIMMONS:
 15 Q. Now is this report actually presented by Dr.
 16 Williams though?
 17 MS. DAWE:
 18 A. I recall, because that was the September--Mr.
 19 Tilley would have just introduced the subject.
 20 MR. SIMMONS:
 21 Q. Yes.
 22 MS. DAWE:
 23 A. And then asked Dr. Williams to provide the
 24 detail. That's generally how this--we
 25 operate.

Page 145

1 MR. SIMMONS:
 2 Q. And Dr. Williams made a number of reports to
 3 you, to the Board, about this issue until his
 4 retirement?
 5 MS. DAWE:
 6 A. Yes, and I have to say that, you know, our
 7 minutes are detailed compared to many other
 8 sets of minutes of organizations, but they are
 9 only reflective of a summary discussion. I
 10 think I had indicated earlier that there was--
 11 Dr. Williams, at that meeting, presented a
 12 fairly comprehensive report and what you see
 13 captured in the minutes would be the
 14 highlights, but they wouldn't be all the
 15 discussions obviously around the topic.
 16 MR. SIMMONS:
 17 Q. And what would your recollection be about the
 18 level, the extensiveness of Dr. Williams'
 19 reports generally when he reported things to
 20 the Board?
 21 MS. DAWE:
 22 A. Very extensive. Very extensive, and I think I
 23 did reference yesterday or the day before that
 24 I know he, at various points, provided numbers
 25 of tests and tests that were back. They're

Page 146

1 not captured in the minutes, and I have--you
 2 know, I have no record available to me, but I
 3 know that he did. That's why I very much
 4 recall the ten percent that I referred to over
 5 time.
 6 THE COMMISSIONER:
 7 Q. So is this Dr. Williams as somehow
 8 representing the MAC?
 9 MS. DAWE:
 10 A. Yes, he's the Vice President of Medical
 11 Services. He is the link with the medical
 12 operations, and attends the Medical Advisory
 13 Committee, and Dr. Inkpen, as Chair of the
 14 Medical Advisory, would also report directly
 15 to the Board.
 16 THE COMMISSIONER:
 17 Q. My point, why wasn't Dr. Inkpen doing this and
 18 not---why would Dr. Williams be doing it?
 19 MS. DAWE:
 20 A. Because Dr. Williams is at the table, at the
 21 Board table regularly, as an executive member,
 22 and reports on medical matters, all medical
 23 matters. So he, as an operational person, he
 24 is the person who would normally--who would be
 25 reporting on this. Until we have the regional

Page 147

1 structures and the regional MAC bylaws that I
 2 referred to the last few days, until that's
 3 all defined, we're not--we haven't arrived at
 4 having the Chair of the MAC as an ex officio
 5 member of the Board yet. We bring that person
 6 in as necessary, and if she wants to come to
 7 meet with the Board, we--you know, there's
 8 opportunity to do that, but not--it's not a
 9 regular basis. Dr. Williams has always
 10 reported on this.
 11 THE COMMISSIONER:
 12 Q. Is the MAC unique?
 13 MS. DAWE:
 14 A. No. You mean to this province?
 15 THE COMMISSIONER:
 16 Q. No. Is it unique in your structure?
 17 MS. DAWE:
 18 A. No, no.
 19 THE COMMISSIONER:
 20 Q. In the sense of it seems to be one group
 21 within the organization who funnels directly
 22 to the Board?
 23 MS. DAWE:
 24 A. That is -
 25 THE COMMISSIONER:

Page 148

1 Q. Are there other Boards that have a similar -
 2 MS. DAWE:
 3 A. Oh, they all -
 4 THE COMMISSIONER:
 5 Q. - are there other groups, sorry, not boards?
 6 MS. DAWE:
 7 A. No, no, the MAC, because many of these--
 8 remember, excuse me, but they're not employees
 9 of the organization, okay. They're, you know,
 10 independent.
 11 THE COMMISSIONER:
 12 Q. Are we talking about fee-for-service doctors?
 13 MS. DAWE:
 14 A. Yes, yeah, many of these are.
 15 THE COMMISSIONER:
 16 Q. But some of the MACs are--oh, I'm sorry, I'm
 17 making the assumption. I had somehow
 18 understood that, for example, pathologists
 19 might either--might be, in fact employees.
 20 MS. DAWE:
 21 A. They are. I was going to explain. There are--
 22 the majority of the physicians would be fee-
 23 for-service. There are some specialists, in
 24 particular, and general practitioners, who
 25 would be salaried employees of the

Page 149

1 organization. But this model, nothing unique
 2 to Eastern Health, the model of an MAC is
 3 pretty standard across the country. It
 4 reports directly up through to the Board
 5 through its own structure. But on a day-to-
 6 day basis, the Vice President of Medical
 7 Services would be the person who is
 8 responsible for medical administration, as an
 9 employee of an organization and would be
 10 reporting to the Board. In time, if with the
 11 new set of bylaws, if there is the decision
 12 that the Chair of the Medical Advisory
 13 Committee would sit on the Board of MAC--
 14 sorry, the Chair of MAC would sit on the
 15 Board, if that becomes the case in the next
 16 year or so, then that person will be reporting
 17 directly on MAC matters.
 18 THE COMMISSIONER:
 19 Q. Now back to my original question, the MAC is
 20 unique in the sense of it is the one player
 21 that gets directly to the Board?
 22 MS. DAWE:
 23 A. Yes, yes, and that's not unique to
 24 Newfoundland. That's the way the -
 25 THE COMMISSIONER:

Page 150

1 Q. Oh, I understand your point on that, but in
 2 terms of the people that Eastern Health deals
 3 with on--and you've pointed out that employee-
 4 wise, you've got a lot of people in your
 5 organization, which contain a lot of, I'm
 6 sure, professional groups, aside from doctors.
 7 MS. DAWE:
 8 A. Absolutely.
 9 THE COMMISSIONER:
 10 Q. But the doctors are the group that gets
 11 directly to the Board?
 12 MS. DAWE:
 13 A. Yes.
 14 THE COMMISSIONER:
 15 Q. All right, thank you. Sorry, Mr. Simmons.
 16 I've done it to you again.
 17 MR. SIMMONS:
 18 Q. Thank you, Commissioner. There are three
 19 additional exhibits that I ask to have made
 20 available this morning, that I could put to
 21 Mrs. Dawe. I don't think they've been entered
 22 yet. They would be number 0120, 0121 and
 23 0122, all P exhibits.
 24 THE COMMISSIONER:
 25 Q. Somebody did provide me with a copy of those,

Page 151

1 if you'd just wait a moment. So that's P-
 2 0120, 0121 and 0122?
 3 MR. SIMMONS:
 4 Q. Yes.
 5 THE COMMISSIONER:
 6 Q. All right. Those exhibits will be entered.
 7 EXHIBITS ENTERED AND MARKED EXHIBITS P-0120, P-0121, P-
 8 0122
 9 MR. SIMMONS:
 10 Q. Now Mrs. Dawe, you've been shown already, in
 11 your examination, a lot of documents from
 12 within the operation of the organization that
 13 you hadn't seen before.
 14 MS. DAWE:
 15 A. Yes.
 16 MR. SIMMONS:
 17 Q. And many of those, I think, are ones that you
 18 would not normally see.
 19 MS. DAWE:
 20 A. Correct.
 21 MR. SIMMONS:
 22 Q. Now I'm going to do the same thing with a
 23 couple.
 24 MS. DAWE:
 25 A. Thank you.

Page 152

1 MR. SIMMONS:
 2 Q. One of those is P-0122, bring that up, please?
 3 And this is an excerpt from some--I think
 4 we'll hear when Mr. Tilley gets here, that
 5 these are notes that he kept in a book he had
 6 of meeting notes, and it starts out "Board of
 7 Trustees, September 21st 2005," which is the
 8 same date as the minutes of the meeting that
 9 we were looking at a few moments ago.
 10 MS. DAWE:
 11 A. Yes.
 12 MR. SIMMONS:
 13 Q. And Mr. Tilley, of course, will have to tell
 14 us what all this means--let me see if I got
 15 the right page here. But on the second page
 16 of this exhibit -
 17 MS. DAWE:
 18 A. Okay.
 19 MR. SIMMONS:
 20 Q. - there's a section that's headed ER/PR.
 21 MS. DAWE:
 22 A. Yes.
 23 MR. SIMMONS:
 24 Q. And the handwriting is often difficult to
 25 read, but if we look at it, it starts out with

Page 153

1 some description of tests and various
 2 information there, including, in the middle,
 3 what looks like something that says positivity
 4 rates with numbers, numbers for Newfoundland,
 5 reference to changes in therapy.
 6 MS. DAWE:
 7 A. Um-hm.
 8 MR. SIMMONS:
 9 Q. And you've told us that the minutes capture
 10 important points from Dr. Williams'
 11 presentation. Would these sorts of things
 12 that appear to be in these minutes be
 13 consistent with the type of additional
 14 information that you would think Dr. Williams
 15 presented?
 16 MS. DAWE:
 17 A. And I would recognize some of this, because
 18 Mr. Tilley sat next to me at Board meetings,
 19 and I know that he had his black book, and
 20 this would be capturing highlights of
 21 presentations.
 22 MR. SIMMONS:
 23 Q. Right, okay. So -
 24 THE COMMISSIONER:
 25 Q. Wait now. We're thinking that this is Mr.

Page 154

1 Tilley's noting of what was said at the Board
 2 meeting, as opposed to something Mr. Tilley
 3 was going to bring to the Board?
 4 MR. SIMMONS:
 5 Q. That's -
 6 MS. DAWE:
 7 A. Yes.
 8 THE COMMISSIONER:
 9 Q. Or do we know?
 10 MR. SIMMONS:
 11 Q. Well, we'll--we don't know. We can only draw
 12 assumptions based on it. I can tell you,
 13 Commissioner, that if we go back to the
 14 beginning and we look at the headings, he'd
 15 start out "community needs assessment, mental
 16 health, policy governance, Kingston, budget,"
 17 and if we go to the minutes of the meeting,
 18 you'll find that those seem to correspond with
 19 many of the headings in the same order.
 20 THE COMMISSIONER:
 21 Q. Correspond with, okay.
 22 MS. DAWE:
 23 A. I believe this was--this is his account of
 24 more detailed discussions at the meeting.
 25 MR. SIMMONS:

Page 155

1 Q. Right, and we don't know, of course, whether
 2 his notes are any kind of a complete record of
 3 what went on at the meeting, but they
 4 nevertheless are more notes of what went on.
 5 MS. DAWE:
 6 A. Yes.
 7 MR. SIMMONS:
 8 Q. And the reason, main reason I'm showing them
 9 to you is to ask you if the fact that Mr.
 10 Tilley had taken notes which have more detail
 11 than the minutes, would that be consistent
 12 with your recollection of Dr. Williams having
 13 made a more detailed presentation?
 14 MS. DAWE:
 15 A. Yes, because as you're showing me some of
 16 this, I recall. I recall some of that detail,
 17 yeah.
 18 MR. SIMMONS:
 19 Q. Okay. Now I'd like to take you back to the
 20 minutes now, P-0018 please. In the third
 21 paragraph of the portion that says "review of
 22 system, ER/PR testing for breast screening,"
 23 it says "patient safety and confidentiality
 24 are of paramount importance. The organization
 25 made a decision not to release any information

Page 156

1 publicly until the results of the retests were
 2 available." Now do you know, at this stage,
 3 if that was the only statement made to the
 4 Board or if there was more description and
 5 explanation of the reasons behind that
 6 decision?
 7 MS. DAWE:
 8 A. My recollection, as I've accounted over time
 9 and repeated, is the reason, it was on the
 10 advice of the clinicians that they wanted--the
 11 clinicians wanted to have the details with
 12 respect to the results of the retest before
 13 they communicated with patients, and that's
 14 been--that's my consistent understanding from
 15 the beginning.
 16 MR. SIMMONS:
 17 Q. Yes.
 18 MS. DAWE:
 19 A. That's the intent here.
 20 MR. SIMMONS:
 21 Q. So based on the information provided by Dr.
 22 Williams then at that meeting -
 23 MS. DAWE:
 24 A. Yes.
 25 MR. SIMMONS:

Page 157

1 Q. - you had no reason to think that there would
 2 have been any other factor?
 3 MS. DAWE:
 4 A. Well, no.
 5 MR. SIMMONS:
 6 Q. Okay. Now you were presented with a number of
 7 other documents to review that you hadn't seen
 8 before, that made references to the
 9 involvement of a lawyer in the process, and I
 10 believe there was only one of them that
 11 predated this meeting date of September 21st,
 12 and that is P-0073, if we could bring that up?
 13 Thank you.
 14 You've previously been shown this. It's
 15 an email message from Heather Predham to a
 16 number of parties on July 19th 2005, and in
 17 the body of it, there's an email message from
 18 Heather Predham to Dr. Williams, Dr. Cook and
 19 a number of others, same date. I have it up
 20 there right now. And it reports on a
 21 conversation with representatives of HIROC,
 22 and you were shown this earlier, you recall?
 23 MS. DAWE:
 24 A. Yes.
 25 MR. SIMMONS:

Page 158

1 Q. Okay. There's a description there of having
 2 been informed about a class action law suit
 3 that was then under way concerning the way in
 4 which Health Labrador had disclosed some
 5 issues to patients. See that?
 6 MS. DAWE:
 7 A. Yes.
 8 MR. SIMMONS:
 9 Q. And then the paragraph, the fourth paragraph
 10 there, says "this leads us to our situation.
 11 It's not that they don't want us to disclose.
 12 They just don't want us to disclose until we
 13 are sure of our facts," and that reports a
 14 quick voice mail from Dan. Now take your time
 15 and have a look at this. Is there anything in
 16 here to lead you to believe that the
 17 organization was prevented from disclosing
 18 information to patients because of the
 19 involvement of the insurers at this point?
 20 MS. DAWE:
 21 A. No, it was--no.
 22 MR. SIMMONS:
 23 Q. Okay. Now this is one piece of information.
 24 Have you had any involvement or do you have
 25 any means of knowing the extent of the

Page 159

1 discussion that went on in the organizational
 2 side of Eastern Health leading up to the
 3 decision to wait until test results were known
 4 before notifying patients?
 5 MS. DAWE:
 6 A. Not at all, and if you look here, this
 7 communication was July the 19th.
 8 MR. SIMMONS:
 9 Q. Right.
 10 MS. DAWE:
 11 A. My first email was July the 20th advising, and
 12 we would not, in any way, be involved in any
 13 of this or have knowledge of any of this
 14 discussion.
 15 MR. SIMMONS:
 16 Q. Right, right, so are you in any position to
 17 say what, if any, influence any advice from
 18 insurers or others had on the decision made
 19 within the operational side of the
 20 organization about disclosure?
 21 MS. DAWE:
 22 A. I'm not in a position and the fact that I have
 23 independent documents to look at from time to
 24 time, I've indicated the last two days, I'm
 25 concerned about the context that I would never

Page 160

1 have around the discussion, and that's why
 2 it's so important to wait and get the true
 3 story and the complete story from these people
 4 who are the authors of the documents.
 5 MR. SIMMONS:
 6 Q. Good, thank you. Now from the perspective of
 7 the Board and your position as the Chair of
 8 the Board, would there be anything regarded as
 9 inappropriate in any way in reporting a
 10 potential occurrence to the organization's
 11 insurer?
 12 MS. DAWE:
 13 A. I believe that there's a responsibility to
 14 report.
 15 MR. SIMMONS:
 16 Q. Okay. Would there be anything inappropriate
 17 in any way in the organization seeking legal
 18 advice on how to manage issues such as the
 19 disclosure?
 20 MS. DAWE:
 21 A. No, that would be an expectation, and I'm sure
 22 it's an ongoing practice.
 23 MR. SIMMONS:
 24 Q. Okay. Now you mentioned a moment ago that it
 25 was in the email of July 20th that you were

Page 161

1 first informed by Mr. Tilley of the existence
 2 of an issue surrounding hormone receptor
 3 testing at Eastern Health. When you were
 4 examined, I guess the day before yesterday,
 5 and shown that email for the first time, one
 6 of the things, I believe, you were asked was
 7 your reaction to the fact that the issue had
 8 first come up within Eastern Health as early
 9 as April or May of 2005 and you heard it on
 10 July 20th, 2005.

11 MS. DAWE:
 12 A. Yes.

13 MR. SIMMONS:
 14 Q. You were asked that question. Now later, you
 15 were also shown, I think, a copy of some notes
 16 that were presented to you as being Mr.
 17 Tilley's notes that referred to the 7th of
 18 July.

19 MS. DAWE:
 20 A. Yes.

21 MR. SIMMONS:
 22 Q. Now I'm just going to put a proposition to you
 23 now. I'm going to put the proposition that if
 24 we hear here that Mr. Tilley first became
 25 aware of the issue himself within the

Page 162

1 organization on the 7th of July -

2 MS. DAWE:
 3 A. Yes.

4 MR. SIMMONS:
 5 Q. - what would be your reaction to you not
 6 hearing of it until the 20th of July?

7 MS. DAWE:
 8 A. Well, that would be--I'd have a very different
 9 response again, if Mr. Tilley--and I think I
 10 indicated this yesterday, that I was beginning
 11 to wonder whether Mr. Tilley knew about this
 12 matter in the spring because the working
 13 relationship that we have had from the
 14 beginning has been very open and transparent
 15 and I have never had any reason to doubt that
 16 Mr. Tilley was in any way not sharing
 17 appropriately with the Board. I have no--I've
 18 never had any doubt about that because it
 19 doesn't reflect the kind of working
 20 relationship that we've had. So hence, that's
 21 why I made the comment yesterday.

22 MR. SIMMONS:
 23 Q. Back to P-0018, please. Okay, this is back to
 24 the minutes now, the Board minutes of
 25 September 21st. The first paragraph under

Page 163

1 review of system there says "there is an
 2 intensive investigation ongoing of the
 3 relative accuracies of two systems used to
 4 detect estrogen and progesterone receptors in
 5 breast cancer tissue." You were asked about
 6 this earlier and I understood you to say that
 7 the impression was certainly formed by you and
 8 by the Board that there was a technological
 9 issue here that was being addressed.

10 Now I'd like to refer you to another
 11 document you haven't seen before, and that's
 12 P-0081, please. This is a--it's a typewritten
 13 letter addressed to Dr. Williams and Dr. Cook.
 14 It's a handwritten note on the top, August
 15 8th, 2005. So it precedes the Board meeting
 16 that we just looked at the minutes from, and
 17 if you go down to the bottom, the signature
 18 there, I'm going to suggest, is the signature
 19 of Beverley Carter.

20 MS. DAWE:
 21 A. Yes.

22 MR. SIMMONS:
 23 Q. Who is a pathologist within Eastern Health,
 24 working out of St. Clare's, and it starts out
 25 by saying "the following are, to the best of

Page 164

1 my current knowledge, the figures I have
 2 compiled with respect to estrogen receptor and
 3 progesterone receptor testing for cases seen
 4 at Health Care Corporation of St. John's in
 5 2002," and there goes down then to be some
 6 technical evaluation, and if you go to the
 7 last paragraph, it says "from these very
 8 preliminary and very raw numbers, I believe
 9 that the idea that the DAKO system, both its
 10 performance and interpretation, greatly
 11 underestimated the number of women who would
 12 benefit from hormonal manipulation of their
 13 breast cancer and should be investigated.
 14 From these numbers it would also appear that
 15 the Ventana system," which is the second, the
 16 newer piece of technology, "is over estimating
 17 the number of patients who are ER positive.
 18 Could this finding with the recent 60 percent
 19 disagreement with Mount Sinai, etcetera, and
 20 it appears that we have another system that
 21 needs investigating." So I know you don't
 22 know the background and you've never seen this
 23 before, but would this appear to suggest that
 24 one of the pathologists at this point is
 25 concerned that there's a difference between

Page 165

1 the way the two systems performed in carrying
 2 out these tests?
 3 MS. DAWE:
 4 A. It's clear.
 5 MR. SIMMONS:
 6 Q. Now if we go back to P-0018 again, the Board
 7 minutes, and you look at that first paragraph
 8 again, is that consistent with what the
 9 minutes record was reported to the Board at
 10 that time?
 11 MS. DAWE:
 12 A. Yes. "Intensive investigation ongoing of the
 13 relative accuracies."
 14 MR. SIMMONS:
 15 Q. Yes.
 16 MS. DAWE:
 17 A. So it doesn't say, necessarily, that it's one
 18 or the other, but they're comparing the
 19 accuracies of the two systems.
 20 MR. SIMMONS:
 21 Q. Right, okay. And that letter we'd just seen
 22 had been directed to Dr. Williams and it's Dr.
 23 Williams who presented this report to the
 24 report?
 25 MS. DAWE:

Page 166

1 A. Was reporting, yes.
 2 MR. SIMMONS:
 3 Q. I'm going to bring you forward now a little
 4 bit to after that September 21st Board
 5 meeting. You've already been, I think,
 6 reminded that the news about the ER/PR
 7 retesting which was undergoing became public
 8 on October 2nd by a story in the Independent?
 9 MS. DAWE:
 10 A. Yes.
 11 MR. SIMMONS:
 12 Q. And we can look at it if you wish, but it's at
 13 P-0086 is the document that you'd been shown,
 14 which was the Independent news story. So that
 15 was the 2nd of October. We don't need to go
 16 to it right now, thank you. You were also
 17 shown a couple of other e-mail messages at
 18 various points in your examination and I want
 19 to take the two of them in sequence now
 20 following that. The Independent story as the
 21 2nd of October. And let's go to P-0088,
 22 please? You were shown this e-mail message
 23 from Heather Predham on October 6th, which
 24 would now be four days after the public
 25 disclosure?

Page 167

1 MS. DAWE:
 2 A. Um-hm.
 3 MR. SIMMONS:
 4 Q. And it will be for Ms. Predham to, I guess,
 5 explain what was going on here. In the lower
 6 part of it there's a message from Mr. Boone.
 7 And it's been read to you before, you can take
 8 a look at that paragraph there again now.
 9 MS. DAWE:
 10 A. Okay.
 11 MR. SIMMONS:
 12 Q. Okay. And then we see what Ms. Predham has
 13 written in her e-mail that went to Patricia
 14 Pilgrim, which appears to contain a draft of
 15 some wording for a letter. Would that be an
 16 inference we could draw from that?
 17 MS. DAWE:
 18 A. Yes.
 19 MR. SIMMONS:
 20 Q. Yes? And it ends by saying, "I checked with
 21 Dan and he's okay with this."
 22 MS. DAWE:
 23 A. Um-hm.
 24 MR. SIMMONS:
 25 Q. So is there anything about that suggesting

Page 168

1 that there is any kind of legal advice which
 2 is saying not to inform patients of anything
 3 at this stage?
 4 MS. DAWE:
 5 A. No, not, certainly not to not inform patients,
 6 no.
 7 MR. SIMMONS:
 8 Q. Okay. And then the other one that you were
 9 shown is a little bit later but it's still in
 10 October and it's P-0092, please? Again from
 11 Ms. Predham to a number of people. And it has
 12 a message from Mr. Boone to Ms. Predham. And
 13 it does start out saying, "My initial reaction
 14 is that I do not agree with sending this
 15 letter at this time." Now, you've already
 16 been asked about this this morning by Mr.
 17 Crosbie and you've identified that we don't
 18 know what this letter is and it was referring
 19 to "at this particular time", right. Now,
 20 this was the 18th of October. You may recall
 21 also that it was put to you that by the 20th
 22 of October the organization was contacting
 23 patients?
 24 MS. DAWE:
 25 A. Yes.

Page 169

1 MR. SIMMONS:
 2 Q. Yes.
 3 THE COMMISSIONER:
 4 Q. Sorry, the organization was?
 5 MR. SIMMONS:
 6 Q. Was contacting patients.
 7 THE COMMISSIONER:
 8 Q. Thank you.
 9 COFFEY, Q.C.:
 10 Q. She was phoning them.
 11 MR. SIMMONS:
 12 Q. Phoning, yeah. And not--and is your
 13 understanding that the patients who were being
 14 contacted were not just those who had changed
 15 results back but the patients who were going
 16 to be retested and for whom there were not yet
 17 results?
 18 MS. DAWE:
 19 A. Yes.
 20 MR. SIMMONS:
 21 Q. Were being contacted by telephone?
 22 MS. DAWE:
 23 A. That they were being--that they were being
 24 retested.
 25 MR. SIMMONS:

Page 170

1 Q. Yes, okay. But they were being contacted and
 2 informed of that fact?
 3 MS. DAWE:
 4 A. Of that.
 5 MR. SIMMONS:
 6 Q. Yes.
 7 MS. DAWE:
 8 A. And then as the results came back, that they
 9 would be contacted again.
 10 MR. SIMMONS:
 11 Q. Right. Which was a change in approach from
 12 what had been reported to you as the plan in
 13 September?
 14 MS. DAWE:
 15 A. Yes.
 16 MR. SIMMONS:
 17 Q. Right. So regardless of whatever was
 18 communicated on October 18th by this e-mail we
 19 do know, do we not, that by two days later the
 20 organization was contacting -
 21 MS. DAWE:
 22 A. Yes, was contacting -
 23 MR. SIMMONS:
 24 Q. - those patients?
 25 MS. DAWE:

Page 171

1 A. Um-hm.
 2 MR. SIMMONS:
 3 Q. Okay. Now, the next one I want to bring you
 4 to then is P-0095, please. This one you
 5 haven't been shown before on the--here. It's
 6 a little bit later, it's now October 26th,
 7 which is eight days after the e-mail we looked
 8 at before. It's from Heather Predham, it's to
 9 Dr. Williams and Ms. Pilgrim. The subject is
 10 "Current tally for ER/PR" and it starts out
 11 saying, "Here are the latest numbers from the
 12 ER/PR contacting. I just wanted to note that
 13 Nancy Parsons, Janet Laidley and Deanne
 14 Emberley have done a tremendous job with this
 15 task. It is extremely draining and they have
 16 done all this notification in the day and in
 17 the evenings with the utmost of compassion and
 18 professionalism." And then there's a report
 19 there under a heading, "Confirmed Negative"
 20 which says "41 patients." It gives the number
 21 contacted, the number of no answers and one
 22 from another region. You see that?
 23 MS. DAWE:
 24 A. Yes.
 25 MR. SIMMONS:

Page 172

1 Q. And then there's a heading, "Results Not
 2 Received, total 292 patients." And it has a
 3 number there for the number that have been
 4 contacted, the number no answer, the number
 5 deceased and so on. So from this report,
 6 again, and you haven't seen it before and you
 7 weren't involved?
 8 MS. DAWE:
 9 A. No.
 10 MR. SIMMONS:
 11 Q. But could you infer from this that by October
 12 26th, the organization was well under way to
 13 contacting -
 14 MS. DAWE:
 15 A. To contacting.
 16 MR. SIMMONS:
 17 Q. - those patients who either had results back
 18 or were to be retested, yet to be retested?
 19 MS. DAWE:
 20 A. Yes, clearly.
 21 MR. SIMMONS:
 22 Q. Now, from the information available to you at
 23 the Board level throughout this entire time,
 24 up to your evidence here at this Commission,
 25 has there ever been any indication or concern,

Page 173

1 aside from things that might have been raised
 2 in the media, about whether the involvement of
 3 lawyers or insurance companies or legal advice
 4 interfered in any adverse way in the decisions
 5 surrounding disclosure of information to
 6 patients?
 7 MS. DAWE:
 8 A. Absolutely not. The--and actually, I have to
 9 say and I think I gave evidence of this
 10 earlier, when Minister Wiseman made the
 11 comment last May, May of 2007, that the
 12 organization had carried out its activities
 13 for fear of, you know, I'm paraphrasing, but
 14 inferred that it was based on legal advice, I
 15 took strong exception to that because that's
 16 not, that's not the philosophy of the
 17 organization, it's not the philosophy of the
 18 Board, so--and I don't know whether I spoke to
 19 him directly then, but I certainly raised it
 20 at the Board level because I was so disturbed
 21 that that would be said publicly about the
 22 organization.
 23 MR. SIMMONS:
 24 Q. Okay.
 25 MS. DAWE:

Page 174

1 A. That's not, that's not clearly the way we
 2 operate.
 3 MR. SIMMONS:
 4 Q. Okay. I'd like to show you the minutes from
 5 the November Board meeting, please? That's
 6 back to P-0018 again. And let me see. They
 7 start here on page 16--on, no, I've got the
 8 wrong ones, I'm sorry. 34, I need. Thank
 9 you. Okay. Here are the minutes from
 10 November 25th, 2005, Board of Trustees
 11 meeting. And there is a report here which if
 12 I'm lucky, I'll find in a moment. You were
 13 referred to this earlier. This begins on page
 14 37, item 4.2 ER/PR retesting update.
 15 MS. DAWE:
 16 A. Um-hm.
 17 MR. SIMMONS:
 18 Q. And it said "Dr. Williams provided an update
 19 on the ER/PR retesting as follows." And one
 20 of the points noted here on the second
 21 paragraph on page 5 of the minutes, page 38 of
 22 the document is, "Reports are being prepared
 23 by the two external consultants we invited to
 24 undertake an assessment. The reports will
 25 outline recommendations and a plan of action."

Page 175

1 And I believe in your examination you were
 2 presented with the fact that those reports had
 3 been received within the organization at that
 4 time?
 5 MS. DAWE:
 6 A. Yes.
 7 MR. SIMMONS:
 8 Q. Okay. Now, I'd like to refer you to another
 9 set of Mr. Tilley's notes at page--document P-
 10 0120, please? And I'm going to go to the--
 11 these notes start out saying, "Board meeting,
 12 November 25th, 2005" which I believe is the
 13 same date as the minutes we just looked at?
 14 MS. DAWE:
 15 A. Yes.
 16 MR. SIMMONS:
 17 Q. And, Madam Commissioner, if you look at some
 18 of the subject matter, it does generally
 19 correspond with issues that are in the
 20 minutes. If you go to the top of the second
 21 page of this document, which is marked as page
 22 85 of the notes, there's a section there that
 23 says, "ER/PR, meeting with Deputy Minister,"
 24 or "DM", "Tests reported, 172 back. Mount
 25 Sinai automated stainer. NL" something "on

Page 176

1 Monday. National" something, "Canadian
 2 Association of Pathologists." And if we just
 3 flick back to the P-0018 for a moment again
 4 now, keeping some of those things in mind, we
 5 can see here that Dr. Williams' report starts
 6 with meeting the Minister, which is an item
 7 from the notes we just saw. You see that?
 8 MS. DAWE:
 9 A. Yes.
 10 MR. SIMMONS:
 11 Q. And it says, "Successful in making it a
 12 national issue." Reference to Canadian
 13 Association of Pathologists?
 14 MS. DAWE:
 15 A. Yes.
 16 MR. SIMMONS:
 17 Q. An item we just saw?
 18 MS. DAWE:
 19 A. Yes.
 20 MR. SIMMONS:
 21 Q. Mr. Tilley's notes had said 172 back, but we
 22 don't see that in the minutes?
 23 MS. DAWE:
 24 A. No.
 25 MR. SIMMONS:

Page 177

1 Q. And if we can go back to Mr. Tilley's minutes
 2 again, P-0120? The next item after "Canadian
 3 Association of Pathologists" says, it appears
 4 to say, and Mr. Tilley will have to tell us
 5 for sure, "Consultant reports," it looks like
 6 "staining interpretation, \$280,000" and it
 7 looks like "of staff training." And it says
 8 "Follow up on consultant report." You see
 9 those items?
 10 MS. DAWE:
 11 A. Yes.
 12 MR. SIMMONS:
 13 Q. Okay. Now, Mr. Tilley, of course, will have
 14 to tell us.
 15 MS. DAWE:
 16 A. Um-hm.
 17 MR. SIMMONS:
 18 Q. But from looking at these minutes, does it
 19 appear that there might have been some
 20 discussion at this point about the consultant
 21 reports, not just the fact that they were
 22 coming but some discussion about outcome from
 23 them?
 24 MS. DAWE:
 25 A. The content of.

Page 178

1 MR. SIMMONS:
 2 Q. Um-hm.
 3 MS. DAWE:
 4 A. Yes.
 5 MR. SIMMONS:
 6 Q. Okay. Now, there's a reference there to
 7 \$280,000. And I want to refer you to one
 8 other document, and that's just about it, and
 9 that's P-0121, please? This is called a
 10 "Review of Immunohistochemistry Lab, General
 11 Hospital Site, St. John's, Eastern Health.
 12 Prepared for Dr. B. Williams, VP. Prepared by
 13 Mr. Gulliver, Program Director, and Dr. Cook,
 14 Clinical Chief of Laboratory Medicine" dated
 15 October 13th, 2005.
 16 MS. DAWE:
 17 A. Um-hm.
 18 MR. SIMMONS:
 19 Q. This is not a document you would normally see
 20 in the course of your duties?
 21 MS. DAWE:
 22 A. No.
 23 MR. SIMMONS:
 24 Q. As Chair of the Board, no, okay. And I'm
 25 going to go here to the second page, and in

Page 179

1 particular, to paragraph marked as 1.4 . As
 2 background there 1.2 says, "The objective of
 3 this proposal is to identify the requirements
 4 needed to implement a complete quality
 5 assurance program for the immunohistochemistry
 6 lab, ensuring that we provide a standardized
 7 and reliable service equivalent to the Mount
 8 Sinai referenced lab in Toronto." And under
 9 1.4 "Methodology" it says, "Work processes
 10 were reviewed internally by the lab program,
 11 including the pathology manager,
 12 technologists," etcetera. "Additionally,
 13 suggestions in the QI review by Heather
 14 Predham and the on site visits by Dr. Banerjee
 15 from B.C. Cancer Agency and Trish Wegrynowski
 16 from Mount Sinai were also incorporated in
 17 this proposal." So this proposal makes a
 18 reference to those two external reports that
 19 you -
 20 MS. DAWE:
 21 A. Yes.
 22 MR. SIMMONS:
 23 Q. - have seen more recently?
 24 MS. DAWE:
 25 A. Yes.

Page 180

1 MR. SIMMONS:
 2 Q. And then if you go down to, we'll go to page 6
 3 of the report. It's actually page five of
 4 this document. There's a reference there to
 5 "all recommendations by Trish Wegrynowski be
 6 implemented," and it's got some detail there.
 7 So there's a reference in this report to
 8 implementing recommendations, and then when
 9 you go down near the end, we have--I want to
 10 get this here, a section that says "Five,
 11 overall impact analysis of recommendations,"
 12 which appears to start to tally up the cost of
 13 doing these things, and we go down to the end,
 14 conclusion, "the cost is \$282,200."
 15 MS. DAWE:
 16 A. Um-hm.
 17 MR. SIMMONS:
 18 Q. Now if we go back to Mr. Tilley's note at P-
 19 0120, under consultants reports, there's a
 20 figure there of \$280,000, which is very close.
 21 MS. DAWE:
 22 A. Yes.
 23 MR. SIMMONS:
 24 Q. Now I don't know if that triggers any
 25 recollections in your mind, but from looking

Page 181

1 at those documents, could we just as easily
 2 infer that the reports were referenced at the
 3 Board meeting?
 4 MS. DAWE:
 5 A. I think that Mr. Tilley's notes, as I said, he
 6 sat next to me and I know he was recording
 7 discussions, and follow up, more particularly
 8 what was relevant and then any follow up that
 9 he would be engaged in. So I would have to
 10 take his notes as pretty factual, because they
 11 would be reflective of the discussions as they
 12 occurred.
 13 MR. SIMMONS:
 14 Q. Good. We'll hear from Mr. Tilley, so we don't
 15 have to rely on you to be able to confirm
 16 that.
 17 MS. DAWE:
 18 A. No, but I -
 19 MR. SIMMONS:
 20 Q. But I wanted to just present that to you. And
 21 I have only one other document, you'll be glad
 22 to know, that I want to refer you to. And
 23 that is P-0106 please. You were shown this
 24 email message from Ms. Predham to Mr. Tilley
 25 dated May 16th 2007, and it's--you may want to

Page 182

1 take a read down through it again there, but I
 2 remind you that it was May 15th 2007 that
 3 there was the first news report which
 4 contained the retesting numbers that had come
 5 from the affidavit that had been filed with
 6 the Supreme Court in the class action
 7 proceeding.
 8 MS. DAWE:
 9 A. Um-hm.
 10 MR. SIMMONS:
 11 Q. So this is just following that event. Okay,
 12 and do you recall that it was very shortly
 13 after that announcement that Mr. Tilley held
 14 his press conference.
 15 MS. DAWE:
 16 A. Yes.
 17 MR. SIMMONS:
 18 Q. Where he did speak publicly on the ER/PR
 19 issue.
 20 MS. DAWE:
 21 A. Yes.
 22 MR. SIMMONS:
 23 Q. So regardless of what, if any, advice came to
 24 the Corporation on May 16th from lawyers or
 25 any other sources, we do know, do we not, that

Page 183

1 Eastern Health, through Mr. Tilley, did speak
 2 publicly and respond to questions within a
 3 couple days of this happening?
 4 MS. DAWE:
 5 A. Yes.
 6 MR. SIMMONS:
 7 Q. So from your knowledge, at that point, from
 8 your involvement of what you know from what
 9 happened, do you know anything about what
 10 role, if any, any legal advice played or
 11 didn't play in those decisions -
 12 MS. DAWE:
 13 A. No. No, but we -
 14 MR. SIMMONS:
 15 Q. - to give the public information at that time?
 16 MS. DAWE:
 17 A. Not at all, because we wouldn't be aware,
 18 again, of that level of discussion and the
 19 context around any of that, no.
 20 MR. SIMMONS:
 21 Q. Okay. You'd been asked a number of questions
 22 and you'd explained to us about how the
 23 reports to the Board, over time, had been that
 24 all the patients who were affected by the
 25 ER/PR testing had been notified.

Page 184

1 MS. DAWE:
 2 A. Yes.
 3 MR. SIMMONS:
 4 Q. And that I believe you've told us already,
 5 that you believed that Mr. Tilley and the
 6 other people within Eastern Health perhaps,
 7 believed that to be true when they made that
 8 report to you? Is that correct?
 9 MS. DAWE:
 10 A. Yes, I have no reason to doubt.
 11 MR. SIMMONS:
 12 Q. My question is, have you ever had any reason
 13 to suspect that Mr. Tilley or anyone else, in
 14 any way, intended to mislead the Board about
 15 contact with patients?
 16 MS. DAWE:
 17 A. Absolutely not. Absolutely not. I think, as
 18 I said again yesterday, I believe they acted
 19 on the basis of the information that was
 20 available to them at that time. We know now,
 21 we know after the fact, that some of that
 22 information wasn't accurate for any number of
 23 reasons, including the lack of sophistication
 24 and completeness of the databases. But I
 25 don't--I have no hesitation in saying I don't

Page 185

1 believe there's a person in that organization
 2 who withheld, consciously withheld information
 3 or didn't act appropriately, based on the
 4 information they had at that time.
 5 MR. SIMMONS:
 6 Q. You've now read the reports from the two
 7 external reviewers, Dr. Banerjee and Ms.
 8 Wegrynowski. You've told us already that you
 9 were--expressed some disappointment that the
 10 Board did not have more knowledge of some of
 11 the detail of those reports beforehand, and my
 12 question is a similar one to you. Do you have
 13 any reason to suspect, in any way, that Mr.
 14 Tilley or Dr. Williams intended to withhold
 15 any information from the Board that--or
 16 mislead the Board in any way about those
 17 reports?
 18 MS. DAWE:
 19 A. No. I truly believe they were acting on the
 20 basis of past practice with other
 21 organizations and with--even with our
 22 organization at that time, because of the
 23 concept of peer review and the confidentiality
 24 around there. You know, I mentioned yesterday
 25 particularly, Mr. Tilley and Dr. Williams are

Page 186

1 men of integrity, and I have no reason to ever
 2 doubt. Their activities were directed always
 3 at the best interest of patients.
 4 MR. SIMMONS:
 5 Q. My final point, you started your evidence,
 6 sometime ago now, with a statement that
 7 included an apology, which you presented, and
 8 my question is, why did you consider this, two
 9 days ago, to be the time to speak to those
 10 patients who had been affected?
 11 MS. DAWE:
 12 A. As I indicated, I think to the media at that
 13 time, I had been listening, as well as other,
 14 the Board trustees have been listening to
 15 patients express their concerns and not only
 16 their concerns, but the impression that we let
 17 them down. That we did less than was
 18 necessary to respond to people who came to us
 19 for service. That was always a concern of
 20 mine, but I knew I would have a day here. I
 21 didn't think I would have three days, but I
 22 knew I would have an opportunity to speak from
 23 my perspective and from the Board, to speak to
 24 people directly. So I felt that all along,
 25 for quite a while, but listening to the

Page 187

1 stories of patients and their families last
 2 week reenforced for me my resolve to speak to
 3 patients and their families and to the staff
 4 of Eastern Health, and so I have to say, I'm
 5 not a lawyer, don't aspire to be a lawyer, but
 6 the sentiment that I expressed this week, they
 7 were my sentiments. They were not crafted by
 8 a lawyer or anybody else. They were my
 9 sentiments and they were meant as expressed
 10 and that was truly and honestly, and I would
 11 repeat them today to the patients and
 12 families. I'm sorry, and we are here to find
 13 the answers to some very difficult and complex
 14 questions. I certainly don't have the answers
 15 to many of these questions.
 16 MR. SIMMONS:
 17 Q. Thank you very much. I don't have any other
 18 questions, Ms. Dawe.
 19 MS. DAWE:
 20 A. Thank you.
 21 THE COMMISSIONER:
 22 Q. Mr. Coffey, it's about the time for the break.
 23 COFFEY, Q.C.:
 24 Q. I'm going to suggest we come back this
 25 afternoon, Commissioner.

Page 188

1 THE COMMISSIONER:
 2 Q. All right. I might be inclined to press on if
 3 Mr. Coffey was willing to do so, but frankly,
 4 I have a conference call in a few moments,
 5 which I must take, and which is going to take
 6 some time. So we'll adjourn until two. I'm
 7 afraid it'll be a little bit longer, Mrs.
 8 Dawe.
 9 MS. DAWE:
 10 A. Thank you.
 11 THE COMMISSIONER:
 12 Q. Thank you.
 13 (LUNCH BREAK)
 14 THE COMMISSIONER:
 15 Q. Please be seated. Mr. Coffey.
 16 MS. JOAN DAWE, RE-EXAMINATION BY BERNARD COFFEY, Q.C.
 17 COFFEY, Q.C.:
 18 Q. Thank you, Commissioner. Ms. Dawe, you began
 19 by--you know, with an opening statement in
 20 which you apologized and when Mr. Simmons--one
 21 of the last questions Mr. Simmons asked you
 22 was about that apology, and you said, of
 23 course, you drafted it yourself. Did you have
 24 to vet it past anybody?
 25 MS. DAWE:

Page 189

1 A. No.
 2 COFFEY, Q.C.:
 3 Q. Okay, I just want to be clear on that.
 4 MS. DAWE:
 5 A. They're my sentiments, and I'm representing
 6 Eastern Health in my sentiments.
 7 COFFEY, Q.C.:
 8 Q. Ms. Newbury asked you about the issue of
 9 potential disconnect between what you
 10 understood about patient contact from the
 11 administration, all patients had been
 12 contacted and yet what you were hearing in the
 13 media, remember that?
 14 MS. DAWE:
 15 A. Yes, I do.
 16 COFFEY, Q.C.:
 17 Q. And in fact, one of the people you referenced
 18 that you were hearing in the media talking
 19 about problems with patient contact was Peter
 20 Dawe?
 21 MS. DAWE:
 22 A. I heard that, yes.
 23 COFFEY, Q.C.:
 24 Q. And so you were hearing one thing through the
 25 media from people, including Peter Dawe?

Page 190

1 MS. DAWE:
 2 A. Yes.
 3 COFFEY, Q.C.:
 4 Q. The representative of--local representative of
 5 the Canadian Cancer Society?
 6 MS. DAWE:
 7 A. Yes.
 8 COFFEY, Q.C.:
 9 Q. The administration is telling you something
 10 else?
 11 MS. DAWE:
 12 A. Yes.
 13 COFFEY, Q.C.:
 14 Q. You've--I gather you were getting assurances
 15 from the administration that their version was
 16 correct?
 17 MS. DAWE:
 18 A. I think I've said several times, I'd still
 19 believe that the information that they were
 20 providing was based on what they felt at the
 21 time to be accurate. We know now that that's
 22 not the case.
 23 COFFEY, Q.C.:
 24 Q. Did you ever consider picking up the phone and
 25 calling Peter?

Page 191

1 MS. DAWE:
 2 A. Me, personally?
 3 COFFEY, Q.C.:
 4 Q. Yes.
 5 MS. DAWE:
 6 A. No, no.
 7 COFFEY, Q.C.:
 8 Q. Any reason why not?
 9 MS. DAWE:
 10 A. I wouldn't normally do that, no.
 11 COFFEY, Q.C.:
 12 Q. Do you know if, you know, in terms of--because
 13 you said this was discussed a fair amount at
 14 the Board level, this disconnect between the
 15 issue of everybody being told and people
 16 asserting and it being reported that they had
 17 not been told. How far, if at all, did the
 18 Board challenge the administration in that
 19 regard?
 20 MS. DAWE:
 21 A. You mean on the numbers?
 22 COFFEY, Q.C.:
 23 Q. No, the assertion. You've told us that the
 24 Board was being told by the administration
 25 that all the patients had been notified.

Page 192

1 MS. DAWE:
 2 A. Yes. Yes, correct.
 3 COFFEY, Q.C.:
 4 Q. And that was repeated and repeated, correct?
 5 MS. DAWE:
 6 A. Any time that we asked and yes, I have -
 7 COFFEY, Q.C.:
 8 Q. You were also though, every--when that was
 9 going on, and we can look through -
 10 MS. DAWE:
 11 A. Yes.
 12 COFFEY, Q.C.:
 13 Q. I could, if necessary, look through quite a
 14 number of media reports to the contrary.
 15 MS. DAWE:
 16 A. Yes.
 17 COFFEY, Q.C.:
 18 Q. So your memory of that being a concern in the
 19 media is certainly accurate.
 20 MS. DAWE:
 21 A. Yes.
 22 COFFEY, Q.C.:
 23 Q. Hearing one--on the left, you're hearing one
 24 thing. On the right, you're hearing something
 25 else?

Page 193

1 MS. DAWE:
 2 A. Yes.
 3 COFFEY, Q.C.:
 4 Q. The Board was concerned about it?
 5 MS. DAWE:
 6 A. Yes.
 7 COFFEY, Q.C.:
 8 Q. It was a repeated topic.
 9 MS. DAWE:
 10 A. It was discussed a number of occasions, yes.
 11 COFFEY, Q.C.:
 12 Q. Yes. How much, if at all, did the Board
 13 challenge Mr. Tilley or Dr. Williams, or
 14 whoever else was there, about this disconnect?
 15 MS. DAWE:
 16 A. Quite often, Mr. Coffey. You know, I'm
 17 repeating but any time that this became an
 18 issue to discuss at the Board because we were
 19 hearing of this disconnect, it was discussed,
 20 and we--and the question was "are you sure?"
 21 Well, I can only -
 22 COFFEY, Q.C.:
 23 Q. See, ma'am, I appreciate they keep saying to
 24 you, yes, it was.
 25 MS. DAWE:

Page 194

1 A. Yes.
 2 COFFEY, Q.C.:
 3 Q. That's fine. But would there ever be a follow
 4 up question about "well, what about the lady
 5 we saw in the news a week ago? What about
 6 her? What's different about her?"
 7 MS. DAWE:
 8 A. I can't -
 9 COFFEY, Q.C.:
 10 Q. Was that--did that ever occur? I'm trying to
 11 get some sense, you know, for the Commissioner
 12 -
 13 MS. DAWE:
 14 A. Yes.
 15 COFFEY, Q.C.:
 16 Q. - of you say discuss, yes, discuss, but what
 17 was actually discussed?
 18 MS. DAWE:
 19 A. That in fact that we were hearing a different
 20 story in the media, and we were advised that
 21 as the process--now you know, in October it
 22 had commenced, but any time that I saw in a
 23 document, and they were in the media as well,
 24 that all patients were notified, I would
 25 challenge that, and to the best of my

Page 195

1 knowledge, every time that we questioned that,
 2 we were advised that patients were notified.
 3 I don't think for a moment Mr. Tilley would
 4 have, or any--you know, certainly I wouldn't--
 5 I don't think Mr. Tilley would have issued a
 6 press release if he truly didn't believe that
 7 the patients had been notified. Like why
 8 would he do that?
 9 COFFEY, Q.C.:
 10 Q. Did the administration ever advise the Board
 11 that there were exceptions to that assertion,
 12 that they were aware of exceptions to that
 13 assertion?
 14 MS. DAWE:
 15 A. It may have been after the fact, when the
 16 questions would go back and forth, as the new
 17 information became available down the line.
 18 But certainly not in the early stage.
 19 COFFEY, Q.C.:
 20 Q. Okay. Well, this is what I'm getting at is
 21 this, is that the first assertion, everybody
 22 is notified, being except--the media, in the
 23 media, there'd been an exception or two or
 24 three.
 25 MS. DAWE:

Page 196

1 A. Yes.
 2 COFFEY, Q.C.:
 3 Q. The Board would then--the administration would
 4 then assert, "well now we've notified
 5 everybody" and then more time would go on and
 6 then there'd be another exception. Is that
 7 the sort of -
 8 MS. DAWE:
 9 A. No, well, it's the sort of as I refer to the
 10 database and the inadequacies of the database,
 11 and you know, that they thought they had the
 12 names of all the patients and so therefore it
 13 was on that basis, and then I understand, Mr.
 14 Coffey, that even after the public
 15 announcements were made, that some patients
 16 called in. Okay, now all of this I'm saying
 17 after the fact.
 18 COFFEY, Q.C.:
 19 Q. In terms of that, because you did, I think, in
 20 answering I think it was a question again of
 21 Ms. Newbury's, that you indicated that you
 22 were certainly aware of, yourself personally,
 23 of inadequacies in relation to information
 24 management.
 25 MS. DAWE:

Page 197

1 A. Yes.
 2 COFFEY, Q.C.:
 3 Q. And you were aware of that for years?
 4 MS. DAWE:
 5 A. Well, generally.
 6 COFFEY, Q.C.:
 7 Q. As a general rule.
 8 MS. DAWE:
 9 A. As a general statement, I would never assert
 10 that our information systems are accurate so
 11 that they're timely and--no, would never
 12 assert that.
 13 COFFEY, Q.C.:
 14 Q. Do you know, in light of your knowledge, did
 15 you ever, you know, when the Board was
 16 sitting, when the executive was there, bring
 17 up with the executive "well, ladies and
 18 gentlemen, I know there are problems with the
 19 information systems. There are people in the
 20 public saying they haven't been notified. How
 21 certain are you, in light of those problems
 22 that I know to exist, that you've got
 23 everybody?"
 24 MS. DAWE:
 25 A. Because -

Page 198

1 COFFEY, Q.C.:
 2 Q. Was that ever brought up?
 3 MS. DAWE:
 4 A. Yes, but again, understanding or at least we
 5 understood there was a lot of--there were a
 6 number of people engaged, but there was manual
 7 extracting of information, I think, you know,
 8 okay, so that yes, indeed, there was a very
 9 general understanding that we do not have an
 10 adequate or near adequate system for
 11 information gathering and retrieval and
 12 analysis, and I think I've given evidence the
 13 last few days, this has been recognized. It's
 14 been requested as part of the budget process
 15 and all of this. It's not that it has not
 16 been attended to.
 17 COFFEY, Q.C.:
 18 Q. And I appreciate that, ma'am. I understand
 19 that, and frankly, you know, there'd be no
 20 issue taken with that. In light of that
 21 knowledge, what I'm curious about is that this
 22 disconnect that you've indicated that you'd
 23 had all along, you know, at least from early
 24 on, that you saw the disconnect, you knew
 25 there was a problem with information

Page 199

1 management systems?
 2 MS. DAWE:
 3 A. Yes.
 4 COFFEY, Q.C.:
 5 Q. Because they had been inadequately funded?
 6 MS. DAWE:
 7 A. Yes.
 8 COFFEY, Q.C.:
 9 Q. I'm asking you, in light of that knowledge of
 10 the inadequacy that you knew -
 11 MS. DAWE:
 12 A. Yes.
 13 COFFEY, Q.C.:
 14 Q. - did you discuss that with the executive, in
 15 terms of "well, how really certain are you,
 16 because ladies and gentlemen, I know that
 17 there's a problem with it." I'm just asking--
 18 did this come up with the Board? Is that the
 19 -
 20 MS. DAWE:
 21 A. Mr. Coffey, I have to again, every time this
 22 matter was raised to question is what has been
 23 said--is the information that's been provided
 24 to the Board about all patients, is that
 25 accurate? And I can only tell you again, to

Page 200

1 the best of the knowledge--that's what we were
 2 advised.
 3 COFFEY, Q.C.:
 4 Q. Okay.
 5 MS. DAWE:
 6 A. Okay, I'm sorry, but that's--I'm trying to be
 7 as honest in recalling to you.
 8 COFFEY, Q.C.:
 9 Q. I'm not taking any issue. If you're asserting
 10 that you weren't told anything any different
 11 than that everybody was told -
 12 MS. DAWE:
 13 A. That I wasn't told any -
 14 COFFEY, Q.C.:
 15 Q. No, that you were told -
 16 MS. DAWE:
 17 A. Yes.
 18 COFFEY, Q.C.:
 19 Q. - by George Tilley and whomever else that when
 20 I, George, say everyone was told, I mean it.
 21 MS. DAWE:
 22 A. Yes. Well, I mean -
 23 COFFEY, Q.C.:
 24 Q. And that's what you were told.
 25 MS. DAWE:

Page 201

1 A. I would have--if I asked the question, I have
 2 to trust the man that he knows his
 3 responsibility to the Board.
 4 COFFEY, Q.C.:
 5 Q. And did he ever, at any time, tell you that
 6 there were exceptions? That I, George, have
 7 been made aware that there are exceptions,
 8 there were people we missed?
 9 MS. DAWE:
 10 A. It would only have been after the fact when
 11 maybe it was made public that some patients
 12 called in, for example.
 13 COFFEY, Q.C.:
 14 Q. Okay.
 15 MS. DAWE:
 16 A. Okay, but not anytime that the information--
 17 that we would question back and forth, why is
 18 this happening.
 19 COFFEY, Q.C.:
 20 Q. So when -
 21 MS. DAWE:
 22 A. I can't--you know -
 23 COFFEY, Q.C.:
 24 Q. Do you recall when it was that Mr. Tilley
 25 would have kind of first alerted you to the

Page 202

1 fact, and you and the Board, that "actually,
 2 we did miss people?"
 3 MS. DAWE:
 4 A. No, I can't. I would have to go and research
 5 records, but it would only have been when it
 6 became public, okay.
 7 COFFEY, Q.C.:
 8 Q. Public?
 9 MS. DAWE:
 10 A. Publicly discussed that people, patients
 11 actually saying "I was not called," or "I was
 12 not contacted. I contacted Eastern Health."
 13 It's in that context, Mr. Coffey, that I would
 14 be expressing the concerns that how come this
 15 is being said publicly and we hear something
 16 else.
 17 COFFEY, Q.C.:
 18 Q. And was the Board then offered explanations as
 19 to how particular people were missed?
 20 MS. DAWE:
 21 A. Based on the database.
 22 COFFEY, Q.C.:
 23 Q. This is the database since May of 2007? Is
 24 that the--see, I'm trying to get some sense of
 25 is it -

Page 203

1 THE COMMISSIONER:
 2 Q. Are we talking about the database or the
 3 information system?
 4 MS. DAWE:
 5 A. Sorry, I'm -
 6 COFFEY, Q.C.:
 7 Q. I apologize. The Commission was called May of
 8 '07.
 9 MS. DAWE:
 10 A. Yes.
 11 COFFEY, Q.C.:
 12 Q. Established May of '07. Established, but
 13 certainly announced. Is it since then that
 14 you've learned that people weren't contacted?
 15 MS. DAWE:
 16 A. No. No, no, no, because it's prior to that
 17 that the patients were speaking publicly. I'm
 18 saying it goes--probably the first time I
 19 would have raised these matters, I'm not sure
 20 if it was the latter part of '05, but it was
 21 certainly into '06, and it really happened
 22 because of the public discussion. I would
 23 have to go back and look at some of the media
 24 coverage to really be able to give you an
 25 indication of when we would start to have

Page 204

1 raised that.
 2 COFFEY, Q.C.:
 3 Q. Okay. With respect to Mr. Crosbie was asking
 4 you some questions about legal liability
 5 concerns and how they might, if at all, play a
 6 part in disclosure of adverse events.
 7 MS. DAWE:
 8 A. Yes.
 9 COFFEY, Q.C.:
 10 Q. Do you know, and I appreciate that Mr. Simmons
 11 had you point out that the guidelines on
 12 disclosure of adverse events, located at P-
 13 0056, page 18, and the one at Exhibit P-0057,
 14 page one, the two I showed you yesterday.
 15 MS. DAWE:
 16 A. Yes, yeah.
 17 COFFEY, Q.C.:
 18 Q. Disclosure of Adverse Events, the one that
 19 dates back to '04 and then the current one.
 20 Mr. Simmons had you indicate that you're not
 21 familiar actually with their contents. Do you
 22 have any reason to believe that legal
 23 considerations or liability concerns are
 24 addressed or play any part in those?
 25 MS. DAWE:

Page 205

1 A. I'm aware, because I've seen the policy since
 2 I've become engaged here. I couldn't tell you
 3 who was involved at the operational level in
 4 the development of these policies.
 5 COFFEY, Q.C.:
 6 Q. No, I'm not -
 7 MS. DAWE:
 8 A. Could I see it?
 9 COFFEY, Q.C.:
 10 Q. Yes, ma'am, sure.
 11 MS. DAWE:
 12 A. Please.
 13 COFFEY, Q.C.:
 14 Q. Bring it up, please, P-0056, page 18. Here we
 15 are. You can scroll through it. Ma'am, in
 16 fact, you have the mouse, in fact you can
 17 actually scroll down through it, ma'am, and if
 18 you can see any reference to legal
 19 considerations, liability considerations.
 20 MS. DAWE:
 21 A. Is this--legal ethics you mean?
 22 COFFEY, Q.C.:
 23 Q. No, not ethics, no. Legal concerns, legal
 24 issues, liability concerns.
 25 MS. DAWE:

Page 206

1 A. Could I understand your question again,
 2 please?
 3 COFFEY, Q.C.:
 4 Q. My question is, do you see any reference to
 5 legal liability or liability in a legal sense
 6 playing any part in those?
 7 MS. DAWE:
 8 A. I don't see the word "legal" there.
 9 COFFEY, Q.C.:
 10 Q. Okay. The only thing I'm going to suggest to
 11 you that could in any way remotely relate to
 12 it is if you look up, go up the page a little
 13 bit further, just scroll back a bit, you'll
 14 see under J, "7J, accept responsibility for
 15 outcomes, but avoid attributions of blame."
 16 But that doesn't say whether or not there
 17 should be disclosure or not should play any
 18 part in it. Like the concern for legal
 19 liability should play no part in this, should
 20 it?
 21 MS. DAWE:
 22 A. And my understanding, these would have been
 23 modelled as well with the national standards
 24 from the Canadian Patient Safety Institute
 25 would the prior concerns.

Page 207

1 COFFEY, Q.C.:
 2 Q. So what I'm getting at is this, is that in
 3 relation to complying with the then prevalent
 4 guidelines on disclosure of adverse events,
 5 legal liability concerns would have played no
 6 part because they're not referred to?
 7 MS. DAWE:
 8 A. I don't see them referred to.
 9 COFFEY, Q.C.:
 10 Q. Now you were asked about the difference
 11 between or potential difference between the
 12 physician review panel process and the--I'll
 13 refer to it as the regular or routine
 14 physician patient process. Mr. Crosbie asked
 15 you about that.
 16 MS. DAWE:
 17 A. Yes.
 18 COFFEY, Q.C.:
 19 Q. And you indicated that there's--I think, if I
 20 got your words correctly, you said there's
 21 absolutely not any difference that you could
 22 see between the physician review panel process
 23 and the regular physician patient
 24 relationship?
 25 MS. DAWE:

Page 208

1 A. I don't recall precisely what I said. I guess
 2 you have it recorded then what -
 3 COFFEY, Q.C.:
 4 Q. I'm -
 5 MS. DAWE:
 6 A. I'm sorry.
 7 COFFEY, Q.C.:
 8 Q. I'm going to suggest, is that really your
 9 position, that there was absolutely no
 10 difference here?
 11 MS. DAWE:
 12 A. Not, not--no, not absolutely. I guess the
 13 message I was trying to convey is that on a
 14 regular basis, physicians consult with their
 15 colleagues in the best--in the interest of
 16 making sure patient care is at a level that
 17 can be provided. In this situation, with this
 18 panel, this was a very unusual circumstance,
 19 and within the organization, the clinicians,
 20 with other people, determined this was the
 21 best way of handling the situation. But it's
 22 not--the normal practice is physician client
 23 relationship. This was not a normal
 24 situation.
 25 COFFEY, Q.C.:

Page 209

1 Q. So then, there is a distinction because this
 2 was an unusual situation?
 3 MS. DAWE:
 4 A. Yes.
 5 COFFEY, Q.C.:
 6 Q. There was an unusual method adopted to address
 7 it?
 8 MS. DAWE:
 9 A. It appears, with the goal of ensuring patient
 10 care is at the level that is necessary.
 11 COFFEY, Q.C.:
 12 Q. Okay. Could you bring up, please, P-0039?
 13 Page 10 and 11, or 10, say. Thank you. Now,
 14 ma'am -
 15 THE COMMISSIONER:
 16 Q. This is the Hay Report?
 17 COFFEY, Q.C.:
 18 Q. Yes, it is, Commissioner.
 19 THE COMMISSIONER:
 20 Q. Hay Group on the bottom, but just to confirm.
 21 COFFEY, Q.C.:
 22 Q. Yes. Recommendation 96, and Mr. Simmons
 23 referred you to this -
 24 MS. DAWE:
 25 A. Yes.

Page 210

1 COFFEY, Q.C.:
 2 Q. - was that "the Director of Laboratory
 3 Services should reduce staffing in pathology
 4 by 2.0 full-time equivalents in cytology and
 5 1.0 full-time equivalent in histopathology and
 6 make investments to train three pathology
 7 assistants."
 8 MS. DAWE:
 9 A. Yes.
 10 COFFEY, Q.C.:
 11 Q. Now this is 2002.
 12 MS. DAWE:
 13 A. Yes.
 14 COFFEY, Q.C.:
 15 Q. My questions are as follows. Do you know
 16 whether or not that reduction in
 17 histopathology ever actually occurred?
 18 MS. DAWE:
 19 A. I can't tell you for sure. That's the Health
 20 Care Corporation days.
 21 COFFEY, Q.C.:
 22 Q. Yes.
 23 MS. DAWE:
 24 A. I couldn't--I was not -
 25 COFFEY, Q.C.:

Page 211

1 Q. And in terms of the training of the three
 2 pathology assistants, do you know, first of
 3 all, whether that occurred, and if so, when it
 4 began?
 5 MS. DAWE:
 6 A. I couldn't answer that. I couldn't answer
 7 that. I'd have to get the detail. Be happy
 8 to do so.
 9 COFFEY, Q.C.:
 10 Q. Okay. Actually, I, from the documentation -
 11 MS. DAWE:
 12 A. You know.
 13 COFFEY, Q.C.:
 14 Q. - could tell you.
 15 MS. DAWE:
 16 A. Yes.
 17 COFFEY, Q.C.:
 18 Q. But I'm more interested in the fact that, in
 19 fact, you were referred to it this morning,
 20 but you don't know.
 21 MS. DAWE:
 22 A. I know that there was a recommendation.
 23 COFFEY, Q.C.:
 24 Q. Recommendation, yes.
 25 MS. DAWE:

Page 212

1 A. Yes. If you would like, I'd be happy to
 2 provide the detail.
 3 THE COMMISSIONER:
 4 Q. I'm sure there will be a witness along who
 5 knows about that.
 6 MS. DAWE:
 7 A. Yes.
 8 COFFEY, Q.C.:
 9 Q. Yes, more than one. Mr. Simmons did ask you a
 10 number of questions about budgetary matters,
 11 and I appreciate the information that that
 12 provided to the Commission. I think it was
 13 very helpful, and in relation to this matter,
 14 and you have had a chance to review Dr.
 15 Banerjee's two reports and Trish Wegrynowski's
 16 two reports?
 17 MS. DAWE:
 18 A. Yes.
 19 COFFEY, Q.C.:
 20 Q. And I, in fact, showed you Dr. Banerjee's
 21 October 17th 2005 report. I have that. It's
 22 P-0046, and I'll just refer to it now, just in
 23 case you do wish to avail of it, and I'm not
 24 going to take you through myself the actual
 25 commentary because we looked at those before,

Page 213

1 but do you know if there's anything in Dr.
 2 Banerjee's report, in terms of the issue of--
 3 under the heading conclusions about the
 4 reasons for test failure, and if you wish, it
 5 is on page four, and goes into page five. Do
 6 you know if any of those, or to your
 7 knowledge, do any of those involve monetary
 8 matters, lack of funding, that you're aware
 9 of?
 10 MS. DAWE:
 11 A. Could you just refer me, please, to the issues
 12 again?
 13 COFFEY, Q.C.:
 14 Q. Okay, right here. They're right here, just if
 15 we could, right there. Conclusions about the
 16 reasons for test failure.
 17 MS. DAWE:
 18 A. Okay.
 19 COFFEY, Q.C.:
 20 Q. Is the DAKO system faulty? It's unlikely. So
 21 presumably that doesn't have a whole lot to do
 22 with money. You can have a look down through
 23 them and see if there's anything there that
 24 you can identify that you have reason to
 25 believe involves lack of money.

Page 214

1 MS. DAWE:
 2 A. You could relate number three and four.
 3 COFFEY, Q.C.:
 4 Q. So inadequate attention paid by the grossing
 5 pathologist?
 6 MS. DAWE:
 7 A. No, I'm saying to quality issues.
 8 COFFEY, Q.C.:
 9 Q. Oh yes, to the quality.
 10 MS. DAWE:
 11 A. No, no, no, but bear with me, okay.
 12 COFFEY, Q.C.:
 13 Q. Fair enough, sure.
 14 MS. DAWE:
 15 A. As I had given in the information this morning
 16 to the Hay Report and the focus of the Hay
 17 Report on operational and clinical
 18 efficiencies and little emphasis given on
 19 ensuring quality. So the outcome side.
 20 COFFEY, Q.C.:
 21 Q. Yes.
 22 MS. DAWE:
 23 A. So if you're asking me if there's any
 24 relationship here between funding and some of
 25 these recommendations, I would have to say to

Page 215

1 you, on the quality side, yes, that's what--
 2 you know, it's reflected here.
 3 COFFEY, Q.C.:
 4 Q. Well, I'm not -
 5 MS. DAWE:
 6 A. Because--no, because I understand and my
 7 reading of both reports, I had indicated to
 8 you on Wednesday the concerns about the
 9 inadequacies in the area of quality and
 10 control.
 11 COFFEY, Q.C.:
 12 Q. Well -
 13 THE COMMISSIONER:
 14 Q. Wait now, I'm not sure that--I think there's a
 15 question--you're answering a different
 16 question than he's asking, I think.
 17 COFFEY, Q.C.:
 18 Q. Yes. I'm asking you about these particular -
 19 THE COMMISSIONER:
 20 Q. Do they--are you inquiring as to whether or
 21 not those particular items are ones that
 22 demand the expenditure of money?
 23 COFFEY, Q.C.:
 24 Q. Yes. That's what I'm -
 25 MS. DAWE:

Page 216

1 A. Well, in terms of quality -
 2 COFFEY, Q.C.:
 3 Q. Ms. Wegrynowski's report, yes, that's a
 4 different issue.
 5 MS. DAWE:
 6 A. Yes.
 7 COFFEY, Q.C.:
 8 Q. I'm asking about these.
 9 MS. DAWE:
 10 A. Well, see, I--in order to ensure quality
 11 programs, you have to have a system of quality
 12 controls. That involves people and money.
 13 COFFEY, Q.C.:
 14 Q. If I could just refer you to this -
 15 MS. DAWE:
 16 A. Yes.
 17 COFFEY, Q.C.:
 18 Q. - do you know what tissue fixation is?
 19 MS. DAWE:
 20 A. It's preparing the tissue for the analysis of
 21 the pathologist. So there's a whole--it's
 22 quite a procedure. I can't go beyond that,
 23 but I know generally what it is, I think.
 24 COFFEY, Q.C.:
 25 Q. And has anyone told you that in addressing

Page 217

1 that concern that we, Eastern Health, have
 2 actually spent extra money to do so?
 3 MS. DAWE:
 4 A. No.
 5 COFFEY, Q.C.:
 6 Q. They haven't? Oh -
 7 MS. DAWE:
 8 A. But now, because I have not asked the
 9 question.
 10 COFFEY, Q.C.:
 11 Q. Okay, fair enough.
 12 MS. DAWE:
 13 A. Okay, I'm seeing the--I'm responding to you as
 14 I'm reading here.
 15 COFFEY, Q.C.:
 16 Q. The four is "inadequate or no attention paid
 17 by the reporting pathologist to the status of
 18 internal controls," and it goes on from there.
 19 MS. DAWE:
 20 A. Yes.
 21 COFFEY, Q.C.:
 22 Q. So do you have any reason to believe that that
 23 involves a lack of money?
 24 MS. DAWE:
 25 A. Only in as much as I'm not sure that there

Page 218

1 were--well, obviously there weren't adequate
 2 controls within the system.
 3 COFFEY, Q.C.:
 4 Q. This is not internal controls within the
 5 system, ma'am.
 6 MS. DAWE:
 7 A. In this lab, in this system.
 8 COFFEY, Q.C.:
 9 Q. No, this is not--that's not what this is
 10 referring to, or do you understand -
 11 MS. DAWE:
 12 A. I understand.
 13 COFFEY, Q.C.:
 14 Q. What's your understanding of what the status
 15 of internal controls is?
 16 MS. DAWE:
 17 A. The control, I know it's--you have one
 18 specimen and you have a control to ensure the
 19 consistency and the reliability.
 20 COFFEY, Q.C.:
 21 Q. That's an external control actually.
 22 MR. SIMMONS:
 23 Q. Commissioner -
 24 COFFEY, Q.C.:
 25 Q. So I'm just curious in terms of -

Page 219

1 THE COMMISSIONER:
 2 Q. Mr. Coffey, if you wouldn't mind, there are
 3 two other gentlemen on their feet. Mr.
 4 Simmons, Mr. Browne, which of you is -
 5 MR. BROWNE:
 6 Q. Mr. Simmons can go first. I may go after.
 7 THE COMMISSIONER:
 8 Q. All right.
 9 MR. SIMMONS:
 10 Q. Commissioner, Ms. Dawe, I questioned Ms. Dawe
 11 about budgeting and the history of restraint
 12 in the health care system for the purpose of
 13 putting some background before the Commission
 14 that we thought would be useful when it comes
 15 to considering root causes here. I don't
 16 believe that in questioning Ms. Dawe either I,
 17 nor she, asserted any direct connection
 18 between any particular item of financial
 19 restraint and specific contributors towards
 20 the problems with the ER/PR testing, and I get
 21 the feeling here that Ms. Dawe is being cross-
 22 examined as if she had drawn that connection
 23 and that the questions are directed towards -
 24 THE COMMISSIONER:
 25 Q. So wait now, Mr. Simmons, because I'm--perhaps

Page 220

1 I went down the same road as Mr. Coffey,
 2 because this morning when you were asking your
 3 questions around budgeting, I assumed it was
 4 because you wanted to make a point that the
 5 lack of expenditure in quality control in
 6 Eastern Health related to their budgetary
 7 problems and the amount of money that they
 8 were getting from the Provincial Government,
 9 etcetera, etcetera, etcetera.
 10 MR. SIMMONS:
 11 Q. And it will relate, I believe, to root causes
 12 behind the development of the environment in
 13 which these events occurred. But we were not
 14 relating them specifically to items in Dr.
 15 Banerjee's report or to the -
 16 THE COMMISSIONER:
 17 Q. Oh yes, but the -
 18 MR. SIMMONS:
 19 Q. - internal controls -
 20 THE COMMISSIONER:
 21 Q. - but the premise of your -
 22 MR. SIMMONS:
 23 Q. - or to fixation.
 24 THE COMMISSIONER:
 25 Q. With respect, Mr. Simmons, it seems to me that

Page 221

1 the premise of your questions goes to whether
 2 the relationship between the particular
 3 problem and issues related to budget. I'm not
 4 challenging at all in respect of whether or
 5 not that's a legitimate concern. I think it
 6 is. I think it has to go into the mix. But
 7 if, in the process of investigating these
 8 matters it is established that budgetary
 9 restraints are not relevant to the particular
 10 problem, then that's relevant to what I have
 11 to determine.

12 MR. SIMMONS:
 13 Q. My concern right now is not so much that issue
 14 as it is just that the approach and the
 15 questioning of Ms. Dawe is more in the manner
 16 of cross-examining her as if she had made a
 17 statement that needed to be challenged, and
 18 I'm pointing out that the questions that I had
 19 asked, she responded to by providing that
 20 general information. If that topic needs to
 21 be explored and it's appropriate to explore
 22 it, I would hope that it can be done in way
 23 that is not challenging Ms. Dawe as if she had
 24 already given an answer which needs to be,
 25 which needs to be questioned in that way.

Page 222

1 It's some concern about the tenor of the way
 2 the questions are being put to Ms. Dawe, who
 3 is the Commissions' witness.

4 THE COMMISSIONER:
 5 Q. Thank you. Mr. Browne, do you want to add?
 6 MR. BROWNE:
 7 Q. Yes, just one point. Thank you, Commissioner.
 8 I just on reflecting on Mr. Simmons' comments
 9 want to add the additional point, is this an
 10 appropriate line of questioning for this
 11 witness? This witness was not involved, and I
 12 think it will be acknowledged by Commission
 13 counsel, in any of the briefing meetings with
 14 Dr. Banerjee. We don't being asked questions
 15 which are not--we don't know the context of
 16 which these conclusions are being made and
 17 she's asked to draw inferences which may be
 18 inappropriate when put into the context of--
 19 through other witnesses. So my concern is is
 20 this witness an appropriate person to be asked
 21 these types of questions.

22 THE COMMISSIONER:
 23 Q. All right. Thank you.

24 MR. BROWNE:
 25 Q. Thank you.

Page 223

1 THE COMMISSIONER:
 2 Q. Mr. Coffey?
 3 COFFEY, Q.C.:
 4 Q. Commissioner, perhaps what I'll--I've heard my
 5 two colleagues. Perhaps I could phrase the
 6 question this way, other than general quality
 7 control issues in a general sense, has anyone
 8 in your role as Chair of the Board of Trustees
 9 told you that a lack of money caused the
 10 problems identified under "Conclusions About
 11 the Reasons for Test Failure" in Dr.
 12 Banerjee's report?
 13 MS. DAWE:
 14 A. No.
 15 COFFEY, Q.C.:
 16 Q. No.
 17 MS. DAWE:
 18 A. The answer to that question would be in--you
 19 know, other than what I've -
 20 COFFEY, Q.C.:
 21 Q. In a general way -
 22 MS. DAWE:
 23 A. - commented earlier, that obviously a quality,
 24 and to ensure quality you need resources.
 25 That was not the focus of the Hay Report, for

Page 224

1 sure, okay. So that really is the context in
 2 which I responded this morning and to you this
 3 afternoon.

4 COFFEY, Q.C.:
 5 Q. Okay.
 6 MS. DAWE:
 7 A. I, you know, if I might, I don't--I'm not a
 8 clinician. I don't have that background,
 9 either--I don't understand and neither should
 10 I, I have not the context around any of these
 11 discussions in the organization. And it's
 12 very difficult to be presented with a piece of
 13 information and to draw conclusions. That is
 14 beyond my role, beyond my ability to do so.

15 COFFEY, Q.C.:
 16 Q. Okay. And the response that you just gave to
 17 my question was that no one had drawn, to your
 18 knowledge, to your attention, a connection
 19 between lack of money, except in a very
 20 general way?
 21 MS. DAWE:
 22 A. Yeah.
 23 COFFEY, Q.C.:
 24 Q. And Dr. Banerjee's conclusions?
 25 MS. DAWE:

Page 225

1 A. You recall again, I saw Dr. Banerjee's
 2 conclusions several weeks ago. We have not
 3 even had the opportunity at our Board to
 4 pursue these--to have any discussion so that I
 5 wouldn't have had the opportunity to even have
 6 that kind of dialogue, sir.
 7 COFFEY, Q.C.:
 8 Q. Okay. Mr. Simmons introduced you to Exhibits
 9 P-0120 and P-0122. If we could bring up,
 10 please, P-0122? And I appreciate, as he
 11 pointed out to you, these are handwritten
 12 notes that apparently Mr. Tilley took of the
 13 Board meeting of September 21st, 2005. That's
 14 at page 1. On page 2 there's a list of, I
 15 suppose, topics under "ER/PR". And we get
 16 down to the bottom of the page there's a word,
 17 "independent review." Thank you. "Cancer,
 18 B.C. Institute." And "DR" I suspect is
 19 doctor. And "Mount Sinai-tech." You see
 20 that?
 21 MS. DAWE:
 22 A. Yes.
 23 COFFEY, Q.C.:
 24 Q. And we turn the page, thank you, to "Doctor's
 25 report." And there are references there to

Page 226

1 that. And then there's a "Chief tech." and
 2 there are certain references under "Chief
 3 tech." And then it goes on to "Montreal."
 4 Again, I just want to be clear on this because
 5 when I was asking you questions about the
 6 external reviewers, who we now know to be
 7 Banerjee and Wegrynowski.
 8 MS. DAWE:
 9 A. Yes.
 10 COFFEY, Q.C.:
 11 Q. You indicated that you had no recollection of
 12 ever being told what they had found?
 13 MS. DAWE:
 14 A. Um-hm.
 15 COFFEY, Q.C.:
 16 Q. And/or even what--until the very end what
 17 their recommendations were?
 18 MS. DAWE:
 19 A. And that, you asked me the question and
 20 absolutely that would be my response. And
 21 that's why there was such a concentration on
 22 the technology. I saw these notes this
 23 morning for the first time, as well, and I see
 24 that there's greater detail. There was none
 25 of this reflected in our minutes or any other

Page 227

1 records that I would have had.
 2 COFFEY, Q.C.:
 3 Q. Does this refresh your memory in any way?
 4 MS. DAWE:
 5 A. Well, you know, if these are -
 6 COFFEY, Q.C.:
 7 Q. If they're accurate?
 8 MS. DAWE:
 9 A. I have no reason to doubt their accuracy if,
 10 you know, they are reflective of Mr. Tilley's-
 11 -of any discussion. But I couldn't honestly
 12 tell you that I recall all of these items
 13 being discussed in detail because I had
 14 indicated to you and to others that there was
 15 a detailed presentation given by Dr. Williams,
 16 but this--if you ask me the same question
 17 today, do you remember the discussion around
 18 that, I'd have to say to you, no.
 19 COFFEY, Q.C.:
 20 Q. Because looking at these, and again, we'll
 21 ultimately have to hear from Mr. Tilley on
 22 this -
 23 MS. DAWE:
 24 A. Yes.
 25 COFFEY, Q.C.:

Page 228

1 Q. - but it seems to suggest that the Board was
 2 told by Dr. Williams about certain of the
 3 things the doctor had found, doctor's report,
 4 and certain of the things the chief
 5 technologist had found.
 6 MS. DAWE:
 7 A. Yeah. And I -
 8 COFFEY, Q.C.:
 9 Q. And that would suggest, ma'am.
 10 MS. DAWE:
 11 A. Yes.
 12 COFFEY, Q.C.:
 13 Q. That, in fact, the Board was being told about
 14 the findings by the Dr. Banerjee and the
 15 findings by Trish Wegrynowski during a meeting
 16 of September 21st, 2005.
 17 MS. DAWE:
 18 A. And I have to tell you again absolutely
 19 precisely if that I had no recollection or
 20 else my response to you and to others, because
 21 I have had discussion with trustees since the
 22 Banerjee--since the two reports were complete,
 23 to determine whether people recall this, and
 24 there is no recall, for sure.
 25 COFFEY, Q.C.:

Page 229

1 Q. And so I take it then you're telling us,
 2 you're telling the Commissioner, look, I know
 3 that Williams, Dr. Williams provided us with a
 4 detailed account, you have that recollection?
 5 MS. DAWE:
 6 A. Yes.
 7 COFFEY, Q.C.:
 8 Q. Certainly the formal minutes of the Board
 9 meeting don't have any -
 10 MS. DAWE:
 11 A. Don't reflect that.
 12 COFFEY, Q.C.:
 13 Q. Don't reflect that at all?
 14 MS. DAWE:
 15 A. No.
 16 COFFEY, Q.C.:
 17 Q. They just refer to these two independent
 18 reviewers and that's it?
 19 MS. DAWE:
 20 A. Yes.
 21 COFFEY, Q.C.:
 22 Q. You're not saying that we weren't told this
 23 sort of material that's in Mr. Tilley's notes
 24 because you have no memory of it?
 25 MS. DAWE:

Page 230

1 A. I'm not, no, I'm not saying--I'm not denying
 2 them, but I really couldn't confirm for you
 3 that the Board had knowledge and understood
 4 what I see here today.
 5 COFFEY, Q.C.:
 6 Q. If, indeed, if they are.
 7 MS. DAWE:
 8 A. Yes.
 9 COFFEY, Q.C.:
 10 Q. Notes as to what they purport to be, a
 11 doctor's report and a chief technologist's
 12 report, including, apparently, "the arrow
 13 shows specimens poorly fixated," if indeed
 14 they are those and do reflect what was
 15 actually said by Dr. Williams to the Board on
 16 September 21st, 2005, doesn't that suggest
 17 that at the time those reports were not
 18 considered peer review or quality assurance
 19 because you've told us -
 20 MS. DAWE:
 21 A. Yes.
 22 COFFEY, Q.C.:
 23 Q. - that you would not actually, as a Chair of
 24 the Board of Trustees, expect to receive that?
 25 MS. DAWE:

Page 231

1 A. Correct.
 2 COFFEY, Q.C.:
 3 Q. So this suggests, if indeed this happened, and
 4 we'll hear eventually.
 5 MS. DAWE:
 6 A. Yes.
 7 COFFEY, Q.C.:
 8 Q. If indeed this happened, this suggests that,
 9 in fact, at least in the minds of those
 10 present, it wasn't being treated -
 11 MS. DAWE:
 12 A. Yes.
 13 COFFEY, Q.C.:
 14 Q. - as a peer review or a quality assurance.
 15 And you would agree with that?
 16 MS. DAWE:
 17 A. I would agree with that.
 18 COFFEY, Q.C.:
 19 Q. Yet, certainly, and I understand your evidence
 20 of the past two days, certainly your
 21 understanding, looking back on it, was--
 22 whether you understood what was going, or
 23 really being said to you on September 21st of
 24 not, forever afterward -
 25 MS. DAWE:

Page 232

1 A. Absolutely.
 2 COFFEY, Q.C.:
 3 Q. - until Judge Diamond came to a contrary
 4 conclusion, you had always thought of these
 5 are peer review, quality assurance?
 6 MS. DAWE:
 7 A. These reports?
 8 COFFEY, Q.C.:
 9 Q. These reports.
 10 MS. DAWE:
 11 A. Yes.
 12 COFFEY, Q.C.:
 13 Q. Okay.
 14 MS. DAWE:
 15 A. And, you know, it's, now that I'm presented
 16 with handwritten notes, which are much greater
 17 detail -
 18 COFFEY, Q.C.:
 19 Q. Okay.
 20 MS. DAWE:
 21 A. You know.
 22 COFFEY, Q.C.:
 23 Q. Ma'am, with respect to the model, and Mr.
 24 Simmons took you through that in some detail
 25 and I appreciate his doing so, he put it in

Page 233

1 phrasing a question to you, he said, Policy
 2 Governance Model, and I'm just going to--I
 3 think you actually said, I think you said
 4 Modified Policy Governance Model.
 5 MS. DAWE:
 6 A. Yes, I did.
 7 COFFEY, Q.C.:
 8 Q. Actually. With respect to that, and just,
 9 just so we're clear, the actual model adopted
 10 by the Board, and I appreciate it's evolving.
 11 MS. DAWE:
 12 A. Yes.
 13 COFFEY, Q.C.:
 14 Q. And the policies, governance policies that you
 15 have adopted and will adopt.
 16 MS. DAWE:
 17 A. Yes.
 18 COFFEY, Q.C.:
 19 Q. Are entirely the choosing of the Board itself
 20 within the legislative framework, but the
 21 actual policies you adopt are your own?
 22 MS. DAWE:
 23 A. Yeah.
 24 COFFEY, Q.C.:
 25 Q. In terms of -

Page 234

1 MS. DAWE:
 2 A. As opposed to?
 3 COFFEY, Q.C.:
 4 Q. Presumably if you're adopting policy A, that
 5 means that's in contradistinction to trying B,
 6 so you choose your own policies?
 7 MS. DAWE:
 8 A. Yes. I guess what I'm asking, are you--you're
 9 not suggesting that somebody is directing us
 10 or government is directing us to do that?
 11 COFFEY, Q.C.:
 12 Q. Yes.
 13 MS. DAWE:
 14 A. Is that what you're suggesting?
 15 COFFEY, Q.C.:
 16 Q. Yes, I'm asking, are you being directed to?
 17 MS. DAWE:
 18 A. No.
 19 COFFEY, Q.C.:
 20 Q. Well, that's what I'm--okay, so this is--
 21 that's where I was going with it.
 22 MS. DAWE:
 23 A. Okay.
 24 COFFEY, Q.C.:
 25 Q. Thank you. Which is that then the policies

Page 235

1 adopted are those that the Board chooses to
 2 adopt and the Board assumes responsibility
 3 for?
 4 MS. DAWE:
 5 A. Yes.
 6 COFFEY, Q.C.:
 7 Q. And the wisdom or potential lack of wisdom of
 8 those policies are the Board's responsibility?
 9 MS. DAWE:
 10 A. Yes.
 11 COFFEY, Q.C.:
 12 Q. Okay.
 13 MS. DAWE:
 14 A. And it's based on, you know it's based on the
 15 legislation, the Transparency and
 16 Accountability legislation and so on.
 17 COFFEY, Q.C.:
 18 Q. Is there anything to prevent you, under the
 19 legislation, from adopting an operational
 20 model?
 21 MS. DAWE:
 22 A. It's a Board of Trustees -
 23 COFFEY, Q.C.:
 24 Q. I'm going to suggest to you that there's
 25 nothing actually legislatively.

Page 236

1 MS. DAWE:
 2 A. There's nothing, but the practicality of a
 3 board of operation with an organization of
 4 this size with volunteer trustees, the
 5 practicality of that.
 6 COFFEY, Q.C.:
 7 Q. And I'm not suggesting otherwise. I'm just
 8 saying, it's ultimately the Board makes its
 9 own decision?
 10 MS. DAWE:
 11 A. Yes, it chooses its policy framework and
 12 policies to fulfil its legislative mandate.
 13 COFFEY, Q.C.:
 14 Q. Sure. Is there a written governing policy
 15 that allowed the Board to intervene as it did
 16 on May 23rd, 2007 on a communications issue?
 17 MS. DAWE:
 18 A. Well, if you go back to the policy on
 19 communication about keeping the Board well
 20 informed and it relates, I think, as well, to
 21 public information and public discussion.
 22 COFFEY, Q.C.:
 23 Q. Yeah. If I could, because I want to assist
 24 you on that, Mr.--I believe it's probably,
 25 let's see, Commissioner, it's--just one

Page 237

1 moment. I apologize, Commissioner, I
 2 apologize, Ms. Dawe. I know I had it here.
 3 THE COMMISSIONER:
 4 Q. While Mr. Coffey is going down that road, I
 5 had a couple of questions and maybe we can
 6 deal with those. And this comes back to the
 7 matter of your involvement as a Board with--
 8 and the matter of priorities in the budget
 9 context.
 10 MS. DAWE:
 11 A. Yes.
 12 THE COMMISSIONER:
 13 Q. I think I understood your explanation of how
 14 the organization gets its budget. But I'm
 15 just wondering, when you get to the point
 16 where you have to start deciding what the
 17 priorities are going to be, and inevitably I'm
 18 sure that happens. You recognize you're not
 19 going to get your wish list every year?
 20 MS. DAWE:
 21 A. Um-hm.
 22 THE COMMISSIONER:
 23 Q. And that somebody has to make a decision about
 24 whether or not one puts an extra ten beds in
 25 your cardiac ward or buys a new piece of

Page 238

1 equipment for lab, for example, although
 2 equipment may be separate, I'm not sure.
 3 MS. DAWE:
 4 A. Yes, it is.
 5 THE COMMISSIONER:
 6 Q. Is that an operational decision or does the
 7 Board get involved at any level in setting the
 8 priorities for where any discretionary funding
 9 or money that you expect by way of increase in
 10 your budget would go within any one of the
 11 institutions that you operate?
 12 MS. DAWE:
 13 A. These decisions are, the input for these
 14 decisions very much at the department level
 15 and with input from the physicians, the
 16 clinical people and so on. That level of
 17 decision making would be more or less left to
 18 the executor in--they make recommendations to
 19 the Board and they're all taken into
 20 consideration. So the Finance Committee would
 21 have some level of involvement in the
 22 priorities based on the strategic directions
 23 of the Board.
 24 THE COMMISSIONER:
 25 Q. Okay.

Page 239

1 MS. DAWE:
 2 A. Okay. I've referred several times to our
 3 strategic plan. So we've gone out to the
 4 community, we hear from the community what the
 5 needs are. We have a set of recommendations
 6 based on that. So we would want to be assured
 7 that the strategic directions that we've
 8 agreed upon, that the resources are there to
 9 deal with these.
 10 THE COMMISSIONER:
 11 Q. Okay, so -
 12 MS. DAWE:
 13 A. So it's a high level again.
 14 THE COMMISSIONER:
 15 Q. All right. So you might anticipate that the
 16 Board might puts its oar in, as it were?
 17 MS. DAWE:
 18 A. Yes.
 19 THE COMMISSIONER:
 20 Q. If you felt that the proposals for the budget
 21 were inconsistent with your strategic plan?
 22 MS. DAWE:
 23 A. Strategic directions, absolutely.
 24 THE COMMISSIONER:
 25 Q. Is there in that process--are the institutions

Page 240

1 kept separate or is there any, if you will,
 2 trade off between whether you put money into
 3 one building, Miller Centre versus some home
 4 care institution -
 5 MS. DAWE:
 6 A. You mean -
 7 THE COMMISSIONER:
 8 Q. - versus active hospital?
 9 MS. DAWE:
 10 A. You mean on an operational, operational
 11 budget?
 12 THE COMMISSIONER:
 13 Q. Yeah, well, are they considered part of the
 14 massive budget all together or are they funded
 15 separately?
 16 MS. DAWE:
 17 A. No, they're part of the total budget, but then
 18 they're programs within the total budget.
 19 THE COMMISSIONER:
 20 Q. Okay, but in the budgetary process does one
 21 say I know we should be putting, you know,
 22 five extra people in the Miller Centre, but as
 23 well they need X number in the Janeway.
 24 MS. DAWE:
 25 A. Yes.

Page 241

1 THE COMMISSIONER:
 2 Q. And is somebody sitting there saying we got to
 3 make a choice, we're going with one or the
 4 other?
 5 MS. DAWE:
 6 A. And that's happening at the operational level.
 7 THE COMMISSIONER:
 8 Q. Okay.
 9 MS. DAWE:
 10 A. For sure. And an example of that, I think a
 11 very good example, would be now that the full
 12 system is under the one board, there is an
 13 ability with the working--in dealing with
 14 government to transfer money from the acute
 15 care system or the--into the community to
 16 better service the needs, all right.
 17 THE COMMISSIONER:
 18 Q. Okay.
 19 MS. DAWE:
 20 A. Because we have for so long felt that there
 21 were needs in the community that were never
 22 addressed. So that if we can find ways within
 23 the global budget to address particular areas
 24 that are of priority, there's the ability to
 25 do that.

Page 242

1 THE COMMISSIONER:
 2 Q. Okay.
 3 MS. DAWE:
 4 A. At the operational level. That wouldn't be -
 5 THE COMMISSIONER:
 6 Q. That wouldn't go to the Board?
 7 MS. DAWE:
 8 A. It wouldn't be, no.
 9 THE COMMISSIONER:
 10 Q. Okay. Thank you. Now, Mr. Coffey, have you
 11 found
 12 COFFEY, Q.C.:
 13 Q. Yes, I have, thank you, Commissioner. If we
 14 could, please, P-0053, page 11? Thank you.
 15 Is this the one you were--I was asking you
 16 about whether there is a policy of the Board
 17 pursuant to which it would purport to give
 18 direction to Mr. Tilley as it did on May 23rd,
 19 2007. And Mr. Simmons had taken you through
 20 the various policies.
 21 MS. DAWE:
 22 A. There's one here on, I believe it's informing
 23 the Board or communication with Board. If you
 24 could find that there?
 25 COFFEY, Q.C.:

Page 243

1 Q. Well, there is one here, it's--if you could.
 2 If I could just for a moment move up a bit
 3 here. I'm sorry. Keep the Board--I'm sorry.
 4 MS. DAWE:
 5 A. No, I think there's one specifically that uses
 6 communications, so.
 7 COFFEY, Q.C.:
 8 Q. Just a moment, please? Okay. Just a moment,
 9 please, Commissioner, I'm just--maybe I--just
 10 a moment, I apologize. Here we are.
 11 MS. DAWE:
 12 A. Yes.
 13 COFFEY, Q.C.:
 14 Q. This is, yes, it was--I apologize. This is
 15 page 21. I'm sorry, ma'am, you were--if you
 16 can just see here, this is executive
 17 limitations. And is there something here that
 18 -
 19 MS. DAWE:
 20 A. "Let the Board be unaware of relevant trends."
 21 No. 2. "Anticipated".
 22 COFFEY, Q.C.:
 23 Q. "He or she shall not let the Board be unaware
 24 of relevant trends."
 25 MS. DAWE:

Page 244

1 A. Yeah. "Anticipated adverse media coverage,"
 2 and so on. So, and then No. 4, "Fail to
 3 marshal", "points of view on issues and
 4 opinions so that the Board is fully informed,"
 5 and "fail to provide a mechanism for official
 6 Board office or committee communications."
 7 COFFEY, Q.C.:
 8 Q. So, ma'am, what does any of those have to do
 9 with the preparation of a fact sheet and the
 10 Board vetting it prior to its release to the
 11 public? I appreciate the preparation of a
 12 fact sheet for the Board, I understand that.
 13 MS. DAWE:
 14 A. Yes.
 15 COFFEY, Q.C.:
 16 Q. But what about vetting -
 17 MS. DAWE:
 18 A. But if you could, keep it in the context
 19 again. I had indicated to you the concern of
 20 this disconnect.
 21 COFFEY, Q.C.:
 22 Q. Yeah.
 23 MS. DAWE:
 24 A. And -
 25 COFFEY, Q.C.:

Page 245

1 Q. I'm not suggesting the Board shouldn't have
 2 intervened at all. I'm just asking is there
 3 anything in the policy, just so, you know,
 4 just so we understand, because there is a
 5 written policy?
 6 MS. DAWE:
 7 A. Yes.
 8 COFFEY, Q.C.:
 9 Q. And I heard you say to Mr. Simmons that
 10 anything within a reasonable person bounds -
 11 MS. DAWE:
 12 A. You leave -
 13 COFFEY, Q.C.:
 14 Q. - Mr. Tilley can carry on in that way?
 15 MS. DAWE:
 16 A. Yes.
 17 COFFEY, Q.C.:
 18 Q. I'm just wondering, is there anything in
 19 particular that you can point to that says,
 20 well, you know, we can intervene, we can
 21 overrule and step in or would it be on the
 22 basis that you're not being reasonable and
 23 therefore we are intervening?
 24 MS. DAWE:
 25 A. Well, we've intervened because we obviously

Page 246

1 felt the need.
 2 COFFEY, Q.C.:
 3 Q. Thank you. If we could, see, it's--yes. I'm
 4 going to go to EL--I apologize, I got--I'm
 5 sorry, could you -
 6 THE COMMISSIONER:
 7 Q. Yes. Do you know the page number you're
 8 looking for, Mr. Coffey?
 9 COFFEY, Q.C.:
 10 Q. What it is on the one I have--I'm
 11 (unintelligible).
 12 UNKNOWN SPEAKER:
 13 Q. (Inaudible).
 14 COFFEY, Q.C.:
 15 Q. Sorry? Okay. I'll remember that. It's--
 16 okay, I'm sorry, Commissioner, it's just
 17 further down here. EL 11, which is at page 31
 18 of 32, Commissioner, thank you. Now, this is
 19 a policy that Mr. Simmons referred you to and
 20 in relation to a certain type of monitoring
 21 report, I believe. Do you know if there was
 22 ever any, or there ever has been a monitoring
 23 report given to the Board about ER/PR?
 24 MS. DAWE:
 25 A. Not in this context.

Page 247

1 COFFEY, Q.C.:
 2 Q. Okay.
 3 MS. DAWE:
 4 A. No, certainly.
 5 COFFEY, Q.C.:
 6 Q. Now, I appreciate this was only in place
 7 February 28th, '07.
 8 MS. DAWE:
 9 A. Yes, that's what I'm saying.
 10 COFFEY, Q.C.:
 11 Q. I understand that.
 12 MS. DAWE:
 13 A. You know that this is still under development
 14 and we have not gone through the whole set of
 15 policies to receive monitoring reports. We
 16 have not received all monitoring reports yet
 17 based on these policies and they're--as you
 18 see there, that policy has been revised twice.
 19 COFFEY, Q.C.:
 20 Q. Yes.
 21 MS. DAWE:
 22 A. So you can see the development.
 23 COFFEY, Q.C.:
 24 Q. And in respect of EL 2, has there been any
 25 monitoring report in respect of ER submitted -

Page 248

1 MS. DAWE:
 2 A. No.
 3 COFFEY, Q.C.:
 4 Q. ER/PR submitted?
 5 MS. DAWE:
 6 A. No.
 7 COFFEY, Q.C.:
 8 Q. Okay. And this is one that's been a Board
 9 policy in force since May 24th, 2006?
 10 MS. DAWE:
 11 A. Yes.
 12 COFFEY, Q.C.:
 13 Q. And there hasn't been?
 14 MS. DAWE:
 15 A. No.
 16 COFFEY, Q.C.:
 17 Q. Is there any reason -
 18 MS. DAWE:
 19 A. On the ERs in particular, you mean?
 20 COFFEY, Q.C.:
 21 Q. No, on ER/PR.
 22 MS. DAWE:
 23 A. Yes, no.
 24 COFFEY, Q.C.:
 25 Q. Or in relation to where it would be covered?

Page 249

1 MS. DAWE:
 2 A. No, there hasn't been one yet.
 3 COFFEY, Q.C.:
 4 Q. It's now--we're getting on toward two years,
 5 is there any reason why not?
 6 MS. DAWE:
 7 A. No, I can't give you an explanation.
 8 COFFEY, Q.C.:
 9 Q. If we could please, Mr. Simmons did ask you
 10 about Mr. Tilley's handwritten notes in
 11 relation to--they have the entry for July
 12 19th, the one I referred you to, and he's
 13 pointed out that there is one for July 7th,
 14 earlier on that page, it's the handwritten
 15 notes.
 16 MS. DAWE:
 17 A. Yes.
 18 COFFEY, Q.C.:
 19 Q. Suggesting that perhaps Mr. Simmons posited it
 20 and I thank him for it that that's perhaps
 21 when Mr. Tilley first learned, at least that's
 22 what we understand he will say, and Mr.
 23 Simmons asked you to assume that that was the
 24 case.
 25 MS. DAWE:

Page 250

1 A. Yes.
 2 COFFEY, Q.C.:
 3 Q. In the same Board--in those Board minutes that
 4 we've looked at, the first report on ER/PR to
 5 the Board in September of '05 suggests or says
 6 that the organization first learned of the
 7 problem in the spring of 2005.
 8 MS. DAWE:
 9 A. Yes, I understand that, uh-hm.
 10 COFFEY, Q.C.:
 11 Q. Do you believe it would be acceptable or is it
 12 acceptable, if indeed that's true, it was the
 13 spring of 2005 -
 14 MS. DAWE:
 15 A. Yes.
 16 COFFEY, Q.C.:
 17 Q. I'm going to suggest in fact it will go back
 18 to April of 2005 and certainly by May of 2005
 19 that it would be acceptable for Mr. Tilley not
 20 to find out until July 7th, 2005? As a Board
 21 Chair, do you think that that would be
 22 acceptable?
 23 MS. DAWE:
 24 A. No, I don't.
 25 COFFEY, Q.C.:

Page 251

1 Q. Now Mr. Simmons did ask you whether you
 2 thought or had any reason to believe that
 3 provision or the providing of legal advice or
 4 any legal advice that Eastern Health may have
 5 received in any way adversely affected the
 6 patient disclosure in this matter?
 7 MS. DAWE:
 8 A. Yes.
 9 COFFEY, Q.C.:
 10 Q. How much do you actually know about that
 11 issue?
 12 MS. DAWE:
 13 A. And I think my response was based on the
 14 philosophy -
 15 COFFEY, Q.C.:
 16 Q. Oh, the philosophy, oh yeah but that -
 17 MS. DAWE:
 18 A. No, but I can't tell you any level of detail
 19 and I think I've indicated that as I see this
 20 new information, I said I'm seeing it for the
 21 first time. My response to the question to
 22 Mr. Simmons was clearly based on the
 23 philosophy of the organization and certainly
 24 that of the Board, okay, it would not--it
 25 would not be -

Page 252

1 COFFEY, Q.C.:
 2 Q. It should not play a part.
 3 MS. DAWE:
 4 A. Well it shouldn't be the--absolutely, I mean
 5 the disclosure to the--we exist for patient
 6 care.
 7 COFFEY, Q.C.:
 8 Q. Well I'm getting at that point. Should it
 9 play any part?
 10 MS. DAWE:
 11 A. I believe our prime concern is to service
 12 patients.
 13 COFFEY, Q.C.:
 14 Q. Should it play any part?
 15 MS. DAWE:
 16 A. And I don't--I think no, I think we should be
 17 servicing people, that's why we exist.
 18 COFFEY, Q.C.:
 19 Q. So it should not play any part, is that your
 20 view?
 21 MS. DAWE:
 22 A. If you're asking me my view and I'm saying
 23 yes, it should not play any part.
 24 COFFEY, Q.C.:
 25 Q. Thank you ma'am. That's what I understood

Page 253

1 from the questions I had for you.

2 MS. DAWE:

3 A. And from the beginning, absolutely, it's not

4 the philosophy of the organization, it's not

5 what we would expect. In other words, I might

6 say that if the Board were asked directly what

7 it should do, I'm pretty sure I could speak

8 with confidence on behalf of the Board, that

9 the Board would say, patients need to be

10 notified. If you recall my immediate response

11 to Mr. Tilley on July 20th when I received my

12 e-mails, I responded to him in a hour and a

13 half and I said, "I'm sorry about this

14 situation. I agree that patients need to be

15 notified ASAP when you receive the detail."

16 So I'm reflecting the philosophy of the

17 organization and the Board, certainly.

18 COFFEY, Q.C.:

19 Q. Oh yes, and I understand that, ma'am. Mr.

20 Simmons did ask you about the press conference

21 that Mr. Tilley held on May 18th, 2007.

22 MS. DAWE:

23 A. Yes.

24 COFFEY, Q.C.:

25 Q. Remember you answered a question about that.

Page 254

1 MS. DAWE:

2 A. Yes.

3 COFFEY, Q.C.:

4 Q. Do you have any knowledge as to who was

5 involved in deciding that there should be such

6 a press conference? Has anybody told you how

7 that actually came about?

8 MS. DAWE:

9 A. I certainly--I didn't know at the time, okay.

10 I certainly didn't know at the time and I'm

11 not even sure today that I could say to you

12 a), b), c), d) or e) advised to do that.

13 COFFEY, Q.C.:

14 Q. So you're not in a position to say that it was

15 Mr. Tilley's idea?

16 MS. DAWE:

17 A. No, I couldn't honestly say to you that--how

18 precisely it occurred.

19 COFFEY, Q.C.:

20 Q. And we will be hearing, of course, on how that

21 occurred.

22 MS. DAWE:

23 A. Yes.

24 COFFEY, Q.C.:

25 Q. Commissioner, thank you very much. Ms. Dawe,

Page 255

1 thank you for your patience.

2 THE COMMISSIONER:

3 Q. Thank you, Mr. Coffey.

4 MS. DAWE:

5 A. Thank you very much.

6 MS. JOAN DAWE, EXAMINATION BY THE COMMISSIONER

7 THE COMMISSIONER:

8 Q. Ms. Dawe, I just have--I know it's been a long

9 three days for you and I just have one more

10 question. What I'm interested in is your view

11 of the relationship between government and the

12 Board?

13 MS. DAWE:

14 A. Yes.

15 THE COMMISSIONER:

16 Q. And, for example, I think your new

17 legislation, which will become effective next

18 week, says that you are--specifies that you

19 are an agent of the Crown.

20 MS. DAWE:

21 A. Uh-hm.

22 THE COMMISSIONER:

23 Q. Does the Board view itself as a totally

24 independent body? Does it view itself as a

25 partner with government? Does it view itself

Page 256

1 in some other light--what do you see as your

2 relationship with government?

3 MS. DAWE:

4 A. Certainly not an independent board. We do not

5 have the ability to make decisions beyond

6 certain--I think the new legislation is even

7 more specific with respect to the role of the

8 Minister and the role of the Board.

9 THE COMMISSIONER:

10 Q. But it does, at least from a first glance, it

11 does appear that it's specified more clearly

12 what every one might argue about what it is

13 under the old legislation.

14 MS. DAWE:

15 A. Yes, but we are not autonomous, there is in

16 many respects, certainly the whole budgetary

17 process is dependant upon government approval.

18 The determination of services and programs and

19 I'm calling it again, but I think it's very

20 specific in this piece of legislation that the

21 Minister may determine services and programs

22 and the like. So as much as we would like to

23 think that we are autonomous, that we have a

24 great deal of autonomy, truly we don't. We

25 work within a framework that has to seek

Page 257

1 approval of the Minister, even to engage in
 2 leases and, I could go on and on, but I think
 3 that gives a flavour, we are--there are many
 4 constraints within how we operate. What we
 5 are--and we've been working on for many years,
 6 so it's not unique to Eastern Health, is to
 7 try to better define the rules of engagement
 8 between a board and the minister. And I think
 9 I went through with Mr. Coffey yesterday that
 10 I had asked Minister Ottenheimer and this was
 11 the first time, because of the magnitude of
 12 the responsibilities we were assuming as
 13 volunteers, that I wanted to understand
 14 clearly what was expected of me and the Board
 15 and that's how we have this two-pagers from
 16 Mr. Ottenheimer that we went through
 17 yesterday. So we're working on more clearly
 18 defining roles and responsibilities and rules
 19 of engagement. We are nowhere near where I
 20 believe we need to be and I sometimes use the
 21 word "partner", but we're really not truly
 22 partners because at the end of the day, the
 23 Minister of Health is ultimately responsible
 24 for the provision of services and programs, so
 25 the word "agent" is probably much more

Page 258

1 appropriate.
 2 THE COMMISSIONER:
 3 Q. I know I promised it was one question, but
 4 this is really a follow-up one. So then for
 5 example, if the Department of Health--I keep
 6 calling it that, I realize it has a much
 7 longer name, but wanted information, I presume
 8 either the Minister would call you or the
 9 Deputy Minister would call Mr. Tilley and
 10 accordingly, probably depending on the nature
 11 of the information which was being sought.
 12 MS. DAWE:
 13 A. Yes.
 14 THE COMMISSIONER:
 15 Q. Leaving aside personal information about
 16 patients, would there be any kind of
 17 information which Eastern Health would say to
 18 the Department of Health, "you can't have
 19 that"?
 20 MS. DAWE:
 21 A. I don't think we have the ability, beyond the
 22 patient confidentiality -
 23 THE COMMISSIONER:
 24 Q. Yes, yes.
 25 MS. DAWE:

Page 259

1 A. I don't think we have the ability to say no,
 2 and I think that's again, if I'm correct and
 3 I'm struggling here to recall because I have
 4 so many--but I think the new Regional Health
 5 Authorities Act more clearly defines
 6 information, that the Minister has the right
 7 to request information. I think that's
 8 contained in the new legislation as well, but
 9 beyond that information protected through the
 10 privacy legislation -
 11 THE COMMISSIONER:
 12 Q. Uh-hm.
 13 MS. DAWE:
 14 A. I wouldn't see that we would have the ability
 15 to say no.
 16 THE COMMISSIONER:
 17 Q. Well, perhaps we could go so far as is
 18 protected by legislation or law or some kind.
 19 MS. DAWE:
 20 A. Yes, yes.
 21 THE COMMISSIONER:
 22 Q. I'm not expecting you to answer the fine
 23 points of what's solicitor/client privilege or
 24 anything of that nature.
 25 MS. DAWE:

Page 260

1 A. No, but in that context, obviously -
 2 THE COMMISSIONER:
 3 Q. But in a general sense, I'm talking about the
 4 ability of the Department of Education if it
 5 needs or feels it needs or even if it doesn't
 6 need, if it wants, sorry, the Department of
 7 Health wants information from your
 8 organization, then the appropriate person can
 9 call his or her equivalent and say we'd like
 10 to know.
 11 MS. DAWE:
 12 A. Yeah.
 13 THE COMMISSIONER:
 14 Q. And would expect to receive the information.
 15 MS. DAWE:
 16 A. And for example, it's certainly not uncommon
 17 for an official within the Department of
 18 Health to make contact with an official within
 19 Eastern Health on a complaint if the Minister
 20 or if the Department were contacted because of
 21 some complaint by an individual, it's not
 22 unusual, it's common practice, actually, that
 23 somebody in the Department would make contact
 24 with an official and ask for, you know, what
 25 is the status, what is this, investigate this,

Page 261

1 let me know the status, that kind of thing.
 2 THE COMMISSIONER:
 3 Q. Perhaps stuff like how many appendectomies did
 4 you do last year or -
 5 MS. DAWE:
 6 A. Whatever or -
 7 THE COMMISSIONER:
 8 Q. Or what's the waiting list for cardiac -
 9 MS. DAWE:
 10 A. Or why is there, and you know, we have
 11 complaints about this nature, what is the
 12 reason for this. That's not uncommon. And
 13 then, of course, all matters related to
 14 financial and statistical information would be
 15 exchanged on a regular basis.
 16 THE COMMISSIONER:
 17 Q. I know it's been a long three days. I do very
 18 much appreciate your coming to give us your
 19 assistance in this matter. Thank you very
 20 much.
 21 MS. DAWE:
 22 A. Thank you very much. I look forward to the
 23 outcome of the Commission and its findings and
 24 I have to restate, I believe that
 25 Newfoundlanders and Labradorians will not only

Page 262

1 benefit from the outcome of this, but
 2 Canadians and I thank you very much and look
 3 forward to the results.
 4 THE COMMISSIONER:
 5 Q. Thank you Mrs. Dawe.
 6 COFFEY, Q.C.:
 7 Q. Thank you, Ms. Dawe, it has been very helpful.
 8 MS. DAWE:
 9 A. Thank you.
 10 COFFEY, Q.C.:
 11 Q. Commissioner, if there's nothing further,
 12 Monday at 9:30?
 13 THE COMMISSIONER:
 14 Q. Monday at 9:30 it is.
 15 COFFEY, Q.C.:
 16 Q. And we'll begin with Mr. Ottenheimer.
 17 THE COMMISSIONER:
 18 Q. Thank you.

Page 263

1 CERTIFICATE
 2 I, Judy Moss, hereby certify that the foregoing is
 3 a true and correct transcript in the matter of the
 4 Commission of Inquiry on Hormone Receptor Testing,
 5 heard on the 28th day of March, A.D., 2008 before
 6 the Honourable Justice Margaret A. Cameron,
 7 Commissioner, at the Commission of Inquiry, St.
 8 John's, Newfoundland and Labrador and was
 9 transcribed by me to the best of my ability by
 10 means of a sound apparatus.
 11 Dated at St. John's, Newfoundland and Labrador
 12 this 28th day of March, A.D., 2008
 13 Judy Moss

Inquiry on Hormone Receptor Testing

<p>-\$-</p> <p>\$18 [1] 101:24 \$2 [1] 103:25 \$20 [1] 77:10 \$280,000 [3] 177:6 178:7 180:20 \$282,200 [1] 180:14 \$50 [1] 100:24 \$60 [1] 97:1 \$79 [2] 76:18 104:2 \$81 [1] 101:18 \$86 [1] 100:23 \$97 [1] 83:17</p> <hr/> <p>-'-</p> <p>'04 [1] 204:19 '05 [2] 203:20 250:5 '06 [1] 203:21 '07 [5] 101:24 103:2 203:8,12 247:7 '80s [6] 66:11 67:10,11 67:21 84:3 88:20 '82 [1] 66:23 '84 [1] 67:4 '90s [5] 69:3 70:5 71:10 84:3 88:21</p> <hr/> <p>---</p> <p>-of [1] 227:11 -the [1] 148:22 -these [1] 16:11 -yes [1] 144:13</p> <hr/> <p>-.-</p> <p>.22 [2] 43:13 44:24</p> <hr/> <p>-0-</p> <p>0.0238 [1] 81:11 0001 [1] 123:8 0033 [1] 112:3 0056 [1] 204:13 0112 [1] 32:22 0113 [1] 19:11 0119 [1] 37:14 0120 [4] 150:22 151:2 175:10 180:19 0121 [2] 150:22 151:2 0122 [3] 150:23 151:2,8</p> <hr/> <p>-1-</p> <p>1 [3] 2:3 80:3 225:14 1.0 [1] 210:5 1.1 [2] 75:9 112:5 1.2 [1] 179:2 1.4 [2] 179:1,9 1.6 [1] 78:17 10 [2] 209:13,13</p>	<p>100 [3] 30:11 34:24 89:4 11 [4] 121:24 209:13 242:14 246:17 119 [2] 80:4,5 12,000 [1] 58:23 12.2 [1] 76:8 13 [1] 76:12 13th [1] 178:15 14 [3] 69:2 70:11 78:16 151 [1] 3:3 15th [1] 182:2 16 [1] 174:7 16th [2] 181:25 182:24 172 [2] 175:24 176:21 175 [1] 132:4 17th [1] 212:21 18 [2] 204:13 205:14 188 [2] 2:4,5 18th [3] 168:20 170:18 253:21 19 [1] 48:6 1980s [3] 67:17,17,25 1981 [1] 66:23 1982 [1] 67:4 1990 [2] 69:23,23 1990s [3] 66:12 68:1,2 1995 [1] 69:2 1997 [1] 12:3 19th [5] 22:10 24:7 157:16 159:7 249:12</p> <hr/> <p>-2-</p> <p>2 [5] 42:2 126:18 225:14 243:21 247:24 2.0 [1] 210:4 2000 [3] 70:6,14 76:8 2000s [1] 88:21 2001 [1] 76:8 2002 [3] 72:6 164:5 210:11 2003 [11] 16:11 23:22 24:2,9,21 26:9 29:11,16 30:20 32:10,23 2005 [36] 12:3 20:16 25:5 27:8 28:8 48:6 70:16,18 72:9 82:24 105:25 106:13 115:24 138:4,5,14 139:3 140:1 143:2 152:7 157:16 161:9,10 163:15 174:10 175:12 178:15 212:21 225:13 228:16 230:16 250:7,13,18,18,20 2006 [10] 43:9 100:22 101:23 103:2 114:4,4,8 127:9 132:14 248:9 2007 [16] 21:12 25:2,5,6 25:15,23 29:2 100:22 140:12 173:11 181:25 182:2 202:23 236:16 242:19 253:21 2008 [3] 1:4 263:5,12 209 [1] 131:12</p>	<p>20th [6] 159:11 160:25 161:10 162:6 168:21 253:11 21 [1] 243:15 21st [8] 152:7 157:11 162:25 166:4 225:13 228:16 230:16 231:23 22nd [1] 132:14 23rd [2] 236:16 242:18 24th [3] 114:8 127:9 248:9 255 [2] 2:5,6 25th [2] 174:10 175:12 261 [2] 2:6,7 262 [1] 2:7 26th [2] 171:6 172:12 28 [1] 1:4 28th [3] 247:7 263:5,12 292 [1] 172:2 2nd [3] 166:8,15,21</p> <hr/> <p>-3-</p> <p>3 [2] 42:20 114:7 300 [2] 77:11,11 31 [2] 128:18 246:17 31st [2] 28:25 29:2 32 [1] 246:18 34 [1] 174:8 37 [1] 174:14 38 [1] 174:21</p> <hr/> <p>-4-</p> <p>4 [3] 117:4 118:23 244:2 4.1 [1] 76:10 4.2 [1] 174:14 41 [1] 171:20</p> <hr/> <p>-5-</p> <p>5 [4] 3:2 101:19 103:25 174:21 5.3 [1] 143:19 5.7 [1] 101:25 54 [1] 69:1 55 [2] 2:3,4</p> <hr/> <p>-6-</p> <p>6 [2] 80:1 180:2 60 [1] 164:18 6th [1] 166:23</p> <hr/> <p>-7-</p> <p>7 [2] 43:9 112:13 70 [2] 67:19,19 7J [1] 206:14 7th [4] 161:17 162:1 249:13 250:20</p> <hr/> <p>-8-</p> <p>80 [2] 67:19 83:23</p>	<p>85 [1] 175:22 89 [2] 80:22,22 8th [1] 163:15</p> <hr/> <p>-9-</p> <p>90 [1] 81:3 91 [1] 81:4 92 [1] 81:6 93 [1] 81:8 94 [1] 81:10 95 [1] 81:13 96 [2] 81:14 209:22 9:30 [2] 262:12,14</p> <hr/> <p>-A-</p> <p>A.D [2] 263:5,12 ability [17] 8:18 69:5,11 86:14 91:13 102:6 104:14 127:16 224:14 241:13,24 256:5 258:21 259:1,14 260:4 263:9 able [17] 11:6 15:13 42:7 85:21 86:5 91:4,10,14 92:16 93:21 97:5 100:7 104:3 139:7 142:11 181:15 203:24 absolutely [27] 12:25 15:4 31:2 36:10,17 37:11 58:12 76:16 86:22 100:17 106:10 134:25 137:21,21 150:8 173:8 184:17,17 207:21 208:9,12 226:20 228:18 232:1 239:23 252:4 253:3 accept [3] 8:19 134:8 206:14 acceptable [4] 250:11 250:12,19,22 accepted [4] 7:7 12:18 13:2 14:9 accepting [1] 12:21 access [4] 90:12 91:10 91:12,14 accessed [1] 104:9 accommodate [3] 67:12 70:23 141:17 accordingly [1] 258:10 account [6] 58:10 61:1 62:2,20 154:23 229:4 accountabilities [4] 108:19,20 110:6 111:25 accountability [8] 109:1,21,22 112:11 124:15 135:12,15 235:16 accountable [4] 124:17 124:23 125:5 126:16 accounted [1] 156:8 accreditation [3] 63:16 63:21 127:2 accredited [1] 63:19 accreditor [1] 64:1 accumulated [2] 76:20 86:18</p>	<p>accuracies [3] 163:3 165:13,19 accuracy [1] 227:9 accurate [11] 18:8 34:15 34:22 35:2 43:25 184:22 190:21 192:19 197:10 199:25 227:7 accurately [1] 35:22 achieve [9] 67:23 78:21 78:23 115:9,15,16 116:10 119:20,22 achieved [6] 78:25 103:22 117:8 119:17 120:2 123:22 achievements [1] 123:10 achieving [5] 77:14 79:14 82:13 106:4 115:9 acknowledged [1] 222:12 act [6] 104:13 109:1,2 124:7 185:3 259:5 acted [2] 8:9 184:18 acting [3] 49:4,24 185:19 action [5] 1:12 122:17 158:2 174:25 182:6 actions [1] 123:23 active [1] 240:8 activities [6] 112:21,24 119:8 132:16 173:12 186:2 actual [6] 7:20 57:21 132:11 212:24 233:9,21 acute [2] 69:20 241:14 add [3] 136:10 222:5,9 added [1] 10:23 addition [4] 59:6 83:17 88:7 134:14 additional [5] 89:20 117:7 150:19 153:13 222:9 Additionally [1] 179:12 address [9] 10:18 50:5 90:15 92:16,23 114:22 115:6 209:6 241:23 addressed [4] 163:9,13 204:24 241:22 addresses [2] 123:16 133:10 addressing [2] 90:21 216:25 adequate [7] 87:25 88:12 89:4 105:8 198:10,10 218:1 adequately [1] 86:6 adherence [1] 114:22 adjourn [1] 188:6 administration [16] 44:22 66:3 86:13 95:2 104:13 107:24 108:8 120:1 149:8 189:11 190:9 190:15 191:18,24 195:10 196:3 administrations [1] 67:22</p>
---	--	---	--	--

<p>administrative [5] 62:17 77:24 94:6 118:2 118:19</p> <p>administrators [2] 62:22 63:11</p> <p>admiration [1] 5:8</p> <p>admiring [1] 4:5</p> <p>admitting [1] 53:5</p> <p>adopt [3] 233:15,21 235:2</p> <p>adopted [10] 107:17 109:16 111:13 113:3 114:16 140:18 209:6 233:9,15 235:1</p> <p>adopting [2] 234:4 235:19</p> <p>adoption [1] 127:8</p> <p>advantage [1] 8:11</p> <p>adverse [7] 140:10 173:4 204:6,12,18 207:4 244:1</p> <p>adversely [1] 251:5</p> <p>advice [36] 7:13 12:12 14:9 30:7 32:8,21 34:14 34:16 35:2,14 45:21 46:1 47:9 51:12,15,22 52:10 52:15,19,22 53:6 55:18 57:7,14 58:9 85:23 156:10 159:17 160:18 168:1 173:3,14 182:23 183:10 251:3,4</p> <p>advise [2] 122:12 195:10</p> <p>advised [4] 194:20 195:2 200:2 254:12</p> <p>advising [1] 159:11</p> <p>Advisory [4] 143:20 146:12,14 149:12</p> <p>affected [3] 183:24 186:10 251:5</p> <p>affecting [1] 61:14</p> <p>affidavit [1] 182:5</p> <p>afraid [1] 188:7</p> <p>afternoon [2] 187:25 224:3</p> <p>afterward [1] 231:24</p> <p>again [45] 8:6 11:6 12:13 24:4 25:25 29:7 35:16 50:25 51:1,6 67:11 69:3 74:21 82:22 85:20 86:11 134:3 150:16 162:9 165:6 165:8 167:8 168:10 170:9 172:6 174:6 176:3 177:2 182:1 183:18 184:18 196:20 198:4 199:21,25 206:1 213:12 225:1 226:4 227:20 228:18 239:13 244:19 256:19 259:2</p> <p>agency [2] 73:16 179:15</p> <p>agenda [3] 125:24 126:3 127:14</p> <p>agent [2] 255:19 257:25</p> <p>ages [1] 43:11</p> <p>ago [7] 39:22 152:9 160:24 186:6,9 194:5 225:2</p> <p>agree [17] 12:22 13:9,13 32:20 35:6,10 36:12,21</p>	<p>37:8 45:16 51:3 52:8 134:16 168:14 231:15,17 253:14</p> <p>agreed [4] 34:2 35:19 90:10 239:8</p> <p>alerted [1] 201:25</p> <p>alleged [1] 40:6</p> <p>allow [2] 129:15,17</p> <p>allowed [1] 236:15</p> <p>allowing [1] 123:23</p> <p>allows [1] 137:8</p> <p>almost [2] 25:16,19</p> <p>along [6] 30:22 65:9 124:13 186:24 198:23 212:4</p> <p>always [7] 12:23 15:23 129:5 147:9 186:2,19 232:4</p> <p>amalgamated [2] 43:9 83:11</p> <p>amalgamations [2] 69:14 71:11</p> <p>among [2] 77:22 117:12</p> <p>amount [8] 26:10 40:12 44:12 95:7 96:24 97:16 191:13 220:7</p> <p>analysing [1] 97:18</p> <p>analysis [3] 180:11 198:12 216:20</p> <p>announced [1] 203:13</p> <p>announcement [1] 182:13</p> <p>announcements [1] 196:15</p> <p>announces [1] 99:16</p> <p>answer [11] 6:16 14:18 26:25 28:16 29:17 172:4 211:6,6 221:24 223:18 259:22</p> <p>answered [1] 253:25</p> <p>answering [3] 52:2 196:20 215:15</p> <p>answers [4] 29:6 171:21 187:13,14</p> <p>anticipate [1] 239:15</p> <p>Anticipated [2] 243:21 244:1</p> <p>anytime [1] 201:16</p> <p>anyway [3] 20:16 21:15 29:25</p> <p>apart [1] 94:7</p> <p>apologize [6] 203:7 237:1,2 243:10,14 246:4</p> <p>apologized [1] 188:20</p> <p>apology [2] 186:7 188:22</p> <p>apparatus [1] 263:10</p> <p>apparent [1] 75:18</p> <p>appear [10] 28:8 44:19 44:24 49:24 120:11 153:12 164:14,23 177:19 256:11</p> <p>Appearances [1] 1:5</p> <p>appeared [1] 21:14</p>	<p>appendectomies [1] 261:3</p> <p>applied [1] 40:8</p> <p>appointed [1] 67:6</p> <p>appreciate [14] 5:15 51:6 105:10 109:17 193:23 198:18 204:10 212:11 225:10 232:25 233:10 244:11 247:6 261:18</p> <p>approach [5] 47:24 117:21 137:8 170:11 221:14</p> <p>appropriate [10] 6:9 8:15 39:6 56:18 138:17 221:21 222:10,20 258:1 260:8</p> <p>appropriately [4] 105:15 142:19 162:17 185:3</p> <p>approval [6] 100:23 101:25 116:1 122:16 256:17 257:1</p> <p>approve [1] 140:24</p> <p>approved [7] 97:22,25 99:19 100:3 101:18 113:24 114:8</p> <p>April [3] 82:24 161:9 250:18</p> <p>area [15] 36:25 37:3 54:13,16 55:8,10 64:4 81:14 91:6 96:9 105:9 107:12 129:17 137:10 215:9</p> <p>areas [13] 48:10 54:12 54:16 63:23 82:7 90:20 93:22 94:21 102:9 105:6 105:8 106:6 241:23</p> <p>argue [1] 256:12</p> <p>argued [1] 40:6</p> <p>arising [4] 32:10 37:20 38:2 39:5</p> <p>arrangements [1] 56:23</p> <p>arrived [1] 147:3</p> <p>arrow [1] 230:12</p> <p>ASAP [1] 253:15</p> <p>aside [5] 62:16 98:18 150:6 173:1 258:15</p> <p>aspect [2] 65:1,7</p> <p>aspects [2] 40:8 107:16</p> <p>aspire [1] 187:5</p> <p>Assembly [6] 16:19 17:14,25 20:16 21:2 26:14</p> <p>assert [3] 196:4 197:9,12</p> <p>asserted [1] 219:17</p> <p>asserting [2] 191:16 200:9</p> <p>assertion [4] 191:23 195:11,13,21</p> <p>assessed [2] 83:10 136:7</p> <p>assessment [3] 119:11 154:15 174:24</p> <p>assigned [1] 122:6</p> <p>assist [3] 63:11 123:1</p>	<p>236:23</p> <p>assistance [2] 18:13 261:19</p> <p>assistants [3] 82:5 210:7 211:2</p> <p>Association [3] 176:2 176:13 177:3</p> <p>assume [3] 22:1 121:12 249:23</p> <p>assumed [5] 12:1 14:4 21:19 76:18 220:3</p> <p>assumes [1] 235:2</p> <p>assuming [4] 41:9 43:25 109:13 257:12</p> <p>assumption [2] 32:7 148:17</p> <p>assumptions [2] 109:7 154:12</p> <p>assurance [5] 88:17 179:5 230:18 231:14 232:5</p> <p>assurances [1] 190:14</p> <p>assure [1] 141:15</p> <p>assured [1] 239:6</p> <p>attempt [1] 40:11</p> <p>attended [2] 63:22 198:16</p> <p>attending [4] 57:2,4,10 57:24</p> <p>attends [1] 146:12</p> <p>attention [10] 21:21 22:2 22:3 23:11 24:19 26:7 28:11 214:4 217:16 224:18</p> <p>attributions [1] 206:15</p> <p>audited [2] 127:1,4</p> <p>August [1] 163:14</p> <p>authorities [4] 1:15 70:12 109:2 259:5</p> <p>authority [2] 1:10 122:13</p> <p>authors [1] 160:4</p> <p>auto [1] 44:18</p> <p>automated [1] 175:25</p> <p>autonomous [2] 256:15 256:23</p> <p>autonomy [1] 256:24</p> <p>avail [1] 212:23</p> <p>available [16] 8:11 31:10 46:7,16 60:13 74:9 75:18 92:5,6 106:7 146:2 150:20 156:2 172:22 184:20 195:17</p> <p>average [2] 43:12,21</p> <p>avoid [2] 119:18 206:15</p> <p>avoided [2] 119:18 123:23</p> <p>aware [21] 20:13 23:20 26:11 28:1 59:8 60:18 72:15 84:3 85:20 86:5 92:1 113:13 141:6 161:25 183:17 195:12 196:22 197:3 201:7 205:1 213:8</p> <p>away [1] 40:7</p>	<p style="text-align: center;">-B-</p> <p>b [5] 98:16 120:13 178:12 234:5 254:12</p> <p>B.C [2] 179:15 225:18</p> <p>background [9] 7:1 15:22 65:25 66:20 75:9 164:22 179:2 219:13 224:8</p> <p>balance [1] 22:11</p> <p>balanced [1] 103:8</p> <p>balancing [1] 105:11</p> <p>Banerjee [6] 179:14 185:7 222:14 226:7 228:14,22</p> <p>Banerjee's [7] 212:15 212:20 213:2 220:15 223:12 224:24 225:1</p> <p>based [26] 13:13 15:21 23:12 25:25 30:1,10 52:2 67:15 85:22 86:2 98:8 105:23 126:2 154:12 156:21 173:14 185:3 190:20 202:21 235:14,14 238:22 239:6 247:17 251:13,22</p> <p>basis [11] 41:9 109:13 127:11 147:9 149:6 184:19 185:20 196:13 208:14 245:22 261:15</p> <p>bear [2] 60:2 214:11</p> <p>bearing [1] 40:1</p> <p>became [9] 24:25 67:25 83:4 106:8 161:24 166:7 193:17 195:17 202:6</p> <p>become [3] 122:23 205:2 255:17</p> <p>becomes [2] 55:13 149:15</p> <p>beds [2] 91:1 237:24</p> <p>beforehand [1] 185:11</p> <p>began [4] 54:12 66:14 188:18 211:4</p> <p>begin [4] 72:4 80:22 91:5 262:16</p> <p>beginning [10] 66:11 71:17 128:24 129:20 138:11 154:14 156:15 162:10,14 253:3</p> <p>begins [7] 54:13 80:2 117:5 122:5 132:19 133:3 174:13</p> <p>behalf [4] 49:4,24 109:25 253:8</p> <p>behind [5] 39:14,24 142:12 156:5 220:12</p> <p>Bell [1] 69:21</p> <p>below [1] 128:25</p> <p>benefit [3] 29:5 164:12 262:1</p> <p>benefits [3] 44:16 90:7 120:20</p> <p>Bernard [3] 1:6 2:5 188:16</p> <p>best [21] 8:9,22,23 12:14</p>
---	---	---	--	---

<p>12:18 18:7,10 37:3 57:7 57:18 63:14 64:10 71:5 131:5 163:25 186:3 194:25 200:1 208:15,21 263:9 bet [1] 143:18 better [3] 111:14 241:16 257:7 between [25] 8:3 12:3 13:4 18:1 54:14 56:16 56:21 99:10 108:5,9 135:14 139:8 164:25 189:9 191:14 207:11,11 207:22 214:24 219:18 221:2 224:19 240:2 255:11 257:8 Beverley [1] 163:19 beyond [11] 8:17 9:17 11:6 92:25 121:21 216:22 224:14,14 256:5 258:21 259:9 bit [14] 20:3 49:2 65:25 107:19,20 111:14 125:11 166:4 168:9 171:6 188:7 206:13,13 243:2 bits [2] 52:15,19 black [1] 153:19 blame [1] 206:15 blamed [1] 39:25 board [225] 6:10,16 9:11 11:13,13 12:8,11,16 22:6 24:19,21 26:7,18 27:21 28:1,11 29:5,16 30:7 31:2,4 32:2 34:14 35:17 36:3,12,19 37:19 43:10 58:18 71:19,24 73:10,11 83:21 84:11 85:24 94:7 97:12,20,22 98:1 99:14 99:21 107:17,24 108:7 110:1,1,4,11,14 111:1 112:24 113:18,25 114:17 114:23 115:8,15 116:20 117:22 119:3,15,18,25 120:2,3,9 121:25 122:5 122:8,10,11,13,15,17,21 123:2,6,19 124:7,18,24 125:5 126:9 127:4,9,16 127:25 128:3 132:23 133:6,12,18 134:8,19,21 134:23 135:16 136:14 137:24 138:9,19 139:24 140:13,24 141:6,16,25 142:10,23 143:3 144:6,9 145:3,20 146:15,21 147:5 147:7,22 149:4,10,13,15 149:21 150:11 152:6 153:18 154:1,3 156:4 160:7,8 162:17,24 163:8 163:15 165:6,9 166:4 172:23 173:18,20 174:5 174:10 175:11 178:24 181:3 183:23 184:14 185:10,15,16 186:14,23 191:14,18,24 193:4,12 193:18 195:10 196:3 197:15 199:18,24 201:3 202:1,18 223:8 225:3,13 228:1,13 229:8 230:3,15 230:24 233:10,19 235:1 235:2,22 236:3,8,15,19</p>	<p>237:7 238:7,19,23 239:16 241:12 242:6,16,23,23 243:3,20,23 244:4,6,10 244:12 245:1 246:23 248:8 250:3,3,5,20 251:24 253:6,8,9,17 255:12,23 256:4,8 257:8 257:14 Board's [9] 109:14 112:20 119:8 122:7 123:8 135:14,24 139:9 235:8 boards [10] 67:20 69:1,2 70:12 83:12 100:4 110:19 111:3 148:1,5 bodily [1] 44:12 body [4] 49:2 50:18 157:17 255:24 Bonnell [1] 48:19 book [5] 18:22 19:9,13 152:5 153:19 Boone [3] 51:2 167:6 168:12 Boone's [1] 52:3 bottom [5] 19:17 29:9 163:17 209:20 225:16 bounds [1] 245:10 breadth [2] 58:20 138:19 break [4] 102:18,25 187:22 188:13 breast [5] 1:11 144:1 155:22 163:5 164:13 briefing [1] 222:13 bring [23] 19:17 21:20 22:1,2,9,10 24:18 26:6 37:13 49:2 80:20 111:19 120:6 147:5 152:2 154:3 157:12 166:3 171:3 197:16 205:14 209:12 225:9 bringing [4] 71:2,3 90:25 97:9 broad [1] 51:11 broader [2] 44:9 137:9 brought [9] 18:16 25:4 28:10 43:11 46:17 78:15 136:8 138:14 198:2 Browne [7] 112:4,7 219:4,5 222:5,6,24 BS [1] 123:7 BS-0004 [1] 124:15 BS-0005 [1] 125:9 budget [38] 41:12 67:3 67:12 74:3 81:7 86:4 92:12 93:25 94:5,9,14 95:13,15 97:9,10,18 99:15,17 100:3,10,11 103:1,2,8,22 104:9 154:16 198:14 221:3 237:8,14 238:10 239:20 240:11,14,17,18 241:23 budgetary [5] 212:10 220:6 221:8 240:20 256:16 budgeting [3] 72:17 219:11 220:3 budgets [4] 95:19 98:21</p>	<p>99:2 100:13 building [1] 240:3 buildings [7] 83:23,23 84:5,25 86:20 88:8 93:19 built [1] 125:24 bullets [1] 78:18 burden [1] 83:18 buys [1] 237:25 bylaws [2] 147:1 149:11 <hr/><p style="text-align: center;">-C-</p><hr/>c [4] 43:4 98:16 120:13 254:12 calls [1] 81:14 Cameron [2] 1:3 263:6 Canada [1] 64:10 Canadian [7] 1:13 107:5 176:1,12 177:2 190:5 206:24 Canadian's [1] 90:12 Canadians [1] 262:2 cancer [9] 1:11,13 12:22 13:3 163:5 164:13 179:15 190:5 225:17 cannot [4] 90:19 91:15 98:15 122:13 capable [1] 12:1 capacity [6] 11:13 71:24 88:16 90:22 137:16 142:10 capital [12] 79:1,7 84:24 85:3,5,8,17 86:24 92:24 93:2 95:19 101:16 capture [1] 153:9 captured [3] 80:13 145:13 146:1 capturing [1] 153:20 cardiac [6] 85:12 90:16 92:5,12 237:25 261:8 care [60] 7:2 8:23 12:22 13:3 23:13,14 24:21 26:2 26:3 30:2 32:9,23 33:4 33:14,18 40:9,10 46:12 53:18 55:11 57:21 60:9 61:13,14 66:2 69:15,18 69:20,22 71:12,25 72:15 72:21 73:9,21 74:3 75:17 76:2 77:19 78:8,21 81:11 83:15 87:11 89:20 90:18 92:6,12 106:3 110:12 139:12 143:20 164:4 208:16 209:10 210:20 219:12 240:4 241:15 252:6 career [1] 66:14 careful [1] 54:17 carried [1] 173:12 carry [4] 41:20 107:24 111:17 245:14 carrying [3] 76:19 83:18 165:1 Carter [1] 163:19 case [13] 14:2 43:22 46:17 47:10,18,18,25 121:13</p>	<p>132:21 149:15 190:22 212:23 249:24 cases [1] 164:3 category [1] 44:10 caused [1] 223:9 causes [2] 219:15 220:11 cc [1] 50:3 Central [1] 1:14 centre [4] 78:24 79:6 240:3,22 CEO [23] 21:19 22:1 109:3 110:15 111:2 124:5 124:23 126:6 127:10 128:5 130:4,10,15,17 134:25 135:16 136:21,23 137:9,17,25 138:22 139:22 CEO's [2] 134:20 135:15 CEOs [1] 139:14 certain [7] 197:21 199:15 226:2 228:2,4 246:20 256:6 certainly [34] 8:17 41:1 45:12 50:10 65:11 68:1 68:18 88:19 89:5 107:12 137:25 139:16 163:7 168:5 173:19 187:14 192:19 195:4,18 196:22 203:13,21 229:8 231:19 231:20 247:4 250:18 251:23 253:17 254:9,10 256:4,16 260:16 Certificate [2] 2:8 263:1 certify [1] 263:2 cessation [1] 12:3 chair [13] 11:14 58:18 71:18 83:4 146:13 147:4 149:12,14 160:7 178:24 223:8 230:23 250:21 challenge [4] 12:17 191:18 193:13 194:25 challenged [1] 221:17 challenging [3] 93:22 221:4,23 chance [1] 212:14 change [7] 14:20 32:14 32:25 70:22 78:20 80:1 170:11 changed [3] 131:1,5 169:14 changes [8] 6:8 68:4,8 70:2 71:7 100:9 136:10 153:5 changing [2] 106:14 136:13 charge [1] 81:7 chart [1] 9:1 Chaytor [1] 1:7 check [2] 45:12 65:14 checked [1] 167:20 Chesley [3] 1:11 2:3 4:3 chief [27] 109:9,19 119:3 121:7,11 122:9,14 123:11 123:17,19,24 124:15,16 126:1,10,14 127:24 129:7</p>	<p>129:14 134:3,12 141:15 178:14 226:1,2 228:4 230:11 chiefs [1] 95:6 children [1] 13:20 choice [1] 241:3 choose [1] 234:6 chooses [2] 235:1 236:11 choosing [1] 233:19 chose [1] 40:19 circumstance [4] 9:23 10:8 11:5 208:18 circumstances [4] 14:25 27:23 28:13 129:16 claims [3] 37:20 38:2 59:6 Clare's [4] 66:24 81:5,5 163:24 clarification [1] 7:24 clarify [5] 16:17 17:16 134:12,16,25 class [3] 1:12 158:2 182:6 clear [6] 115:14 119:3 165:4 189:3 226:4 233:9 clearer [1] 109:5 clearly [18] 10:7 77:7 104:21 108:18 110:6 118:20 119:24 121:19 129:12 135:21 138:16 172:20 174:1 251:22 256:11 257:14,17 259:5 client [3] 54:15 55:18 208:22 climate [1] 70:25 clinic [2] 83:25 91:2 clinical [18] 7:2 8:1,13 9:2 10:11 13:2,3 14:6 73:8 77:8,24 78:22 95:5 95:6 96:2 178:14 214:17 238:16 clinician [3] 7:22 8:3 224:8 clinicians [12] 8:8 10:18 12:12 14:10 45:21 61:23 61:24 63:2 85:22 156:10 156:11 208:19 close [3] 101:18,19 180:20 Co-counsel [3] 1:6,7,16 cod [1] 68:3 Coffey [225] 1:6 2:5 5:25 143:5 169:9 187:22,23 188:3,15,16,17 189:2,7 189:16,23 190:3,8,13,23 191:3,7,11,22 192:3,7,11 192:12,17,22 193:3,7,11 193:16,22 194:2,9,15 195:9,19 196:2,14,18 197:2,6,13 198:1,17 199:4,8,13,21 200:3,8 200:14,18,23 201:4,13 201:19,23 202:7,13,17 202:22 203:6,11 204:2,9 204:17 205:5,9,13,22 206:3,9 207:1,9,18 208:3 208:7,25 209:5,11,17,21</p>
--	---	--	--	--

<p>210:1,10,14,21,25 211:9 211:13,17,23 212:8,19 213:13,19 214:3,8,12,20 215:3,11,17,23 216:2,7 216:13,17,24 217:5,10 217:15,21 218:3,8,13,20 218:24 219:2 220:1 223:2 223:3,15,20 224:4,15,23 225:7,23 226:10,15 227:2 227:6,19,25 228:8,12,25 229:7,12,16,21 230:5,9 230:22 231:2,7,13,18 232:2,8,12,18,22 233:7 233:13,18,24 234:3,11 234:15,19,24 235:6,11 235:17,23 236:6,13,22 237:4 242:10,12,25 243:7 243:13,22 244:7,15,21 244:25 245:8,13,17 246:2 246:8,9,14 247:1,5,10 247:19,23 248:3,7,12,16 248:20,24 249:3,8,18 250:2,10,16,25 251:9,15 252:1,7,13,18,24 253:18 253:24 254:3,13,19,24 255:3 257:9 262:6,10,15</p> <p>colleagues [5] 7:18,23 58:9 208:15 223:5</p> <p>Column [1] 43:3</p> <p>comfortable [2] 4:7 142:11</p> <p>coming [3] 144:8 177:22 261:18</p> <p>commenced [1] 194:22</p> <p>comment [7] 5:15 8:13 8:18 9:19 104:15 162:21 173:11</p> <p>commentary [1] 212:25</p> <p>commented [1] 223:23</p> <p>comments [3] 30:10 92:19 222:8</p> <p>commission [19] 1:1,6 1:7 16:13 50:17 66:9 67:5,9 74:14 90:14 107:21 172:24 203:7 212:12 219:13 222:12 261:23 263:4,7</p> <p>commissioned [1] 76:14</p> <p>Commissioner [162] 1:3 2:6 4:1,6,9,17,23 5:2 18:11,17,21 19:1,12,19 19:25 22:12,22 23:1 38:15,16 39:8,25 40:20 40:23 41:8,18 42:1,5,15 42:19,25 54:2,5,6,12,19 54:24 55:12 64:14,19,24 65:5,16,21 75:1 102:13 102:16,17,21,24 111:7 111:12,16 112:6 120:7 131:3,16,24 132:3 136:19 137:1,11,18 146:6,16 147:11,15,19,25 148:4 148:11,15 149:18,25 150:9,14,18,24 151:5 153:24 154:8,13,20 169:3 169:7 175:17 187:21,25 188:1,11,14,18 194:11 203:1 209:15,18,19 212:3 215:13,19 218:23 219:1 219:7,10,24 220:16,20</p>	<p>220:24 222:4,7,22 223:1 223:4 229:2 236:25 237:1 237:3,12,22 238:5,24 239:10,14,19,24 240:7 240:12,19 241:1,7,17 242:1,5,9,13 243:9 246:6 246:16,18 254:25 255:2 255:6,7,15,22 256:9 258:2,14,23 259:11,16 259:21 260:2,13 261:2,7 261:16 262:4,11,13,17 263:7</p> <p>Commissions' [1] 222:3</p> <p>committee [16] 36:18 37:4 38:10 96:5 97:11 97:19 121:25 122:17 143:13,17,20 144:8 146:13 149:13 238:20 244:6</p> <p>committees [5] 122:5 122:10,13,22,23</p> <p>common [2] 24:25 260:22</p> <p>communicate [1] 112:20</p> <p>communicated [2] 156:13 170:18</p> <p>communication [5] 39:17 51:13 159:7 236:19 242:23</p> <p>communications [3] 236:16 243:6 244:6</p> <p>community [14] 5:11 69:6 70:2 71:19 75:13 86:1 110:10 119:9,10 154:15 239:4,4 241:15 241:21</p> <p>companies [1] 173:3</p> <p>company [3] 49:4,8 50:20</p> <p>comparability [1] 78:2</p> <p>compare [1] 108:14</p> <p>compared [2] 69:5 145:7</p> <p>comparing [1] 165:18</p> <p>compassion [1] 171:17</p> <p>compiled [1] 164:2</p> <p>complaint [2] 260:19,21</p> <p>complaints [1] 261:11</p> <p>complete [9] 34:20,22 35:22 88:1 97:1 155:2 160:3 179:4 228:22</p> <p>completely [1] 7:14</p> <p>completeness [1] 184:24</p> <p>complex [1] 187:13</p> <p>compliance [2] 127:23 128:2</p> <p>complications [1] 90:21</p> <p>complying [1] 207:3</p> <p>component [2] 73:13 126:24</p> <p>composed [1] 6:1</p> <p>comprehensive [3] 84:23 88:13 145:12</p> <p>concentration [1] 226:21</p>	<p>concept [1] 185:23</p> <p>concepts [1] 140:4</p> <p>concern [17] 29:19 32:16 33:12 40:24 84:6 113:4 172:25 186:19 192:18 206:18 217:1 221:5,13 222:1,19 244:19 252:11</p> <p>concerned [5] 77:25 80:21 159:25 164:25 193:4</p> <p>concerning [6] 56:15 60:1,3 108:4 141:22 158:3</p> <p>concerns [18] 30:20 39:14,23 40:25 46:25 47:14 90:12 93:1 186:15 186:16 202:14 204:5,23 205:23,24 206:25 207:5 215:8</p> <p>conclusion [2] 180:14 232:4</p> <p>conclusions [7] 213:3 213:15 222:16 223:10 224:13,24 225:2</p> <p>condition [2] 36:15 132:16</p> <p>conditions [1] 129:15</p> <p>conduct [3] 73:17 75:14 123:10</p> <p>conference [4] 182:14 188:4 253:20 254:6</p> <p>confidence [3] 40:3,16 253:8</p> <p>confident [1] 12:16</p> <p>confidentiality [3] 155:23 185:23 258:22</p> <p>confirm [3] 181:15 209:20 230:2</p> <p>Confirmed [1] 171:19</p> <p>confused [1] 25:24</p> <p>connection [5] 123:7,9 219:17,22 224:18</p> <p>consciously [1] 185:2</p> <p>consider [5] 6:8 57:7 62:6 186:8 190:24</p> <p>considerable [8] 70:22 77:21 78:4,4 95:7 96:23 97:16,17</p> <p>consideration [6] 12:12 47:5,8 50:17 63:1 238:20</p> <p>considerations [9] 53:8 60:1,2,25 62:2,19 204:23 205:19,19</p> <p>considered [2] 230:18 240:13</p> <p>considering [1] 219:15</p> <p>consistency [1] 218:19</p> <p>consistent [10] 30:8,12 30:14 75:19 76:12 79:8 153:13 155:11 156:14 165:8</p> <p>consisting [1] 57:12</p> <p>consolidate [2] 67:22 81:8</p> <p>consolidation [3] 70:11</p>	<p>81:3,4</p> <p>constraining [2] 137:22 137:22</p> <p>constraints [3] 91:6 121:6 257:4</p> <p>constrictions [1] 15:18</p> <p>consult [3] 7:12 8:22 208:14</p> <p>consultant [3] 177:5,8 177:20</p> <p>consultants [4] 46:16 46:21 174:23 180:19</p> <p>consultation [1] 58:1</p> <p>consulting [1] 75:14</p> <p>consumers [1] 120:20</p> <p>contact [5] 184:15 189:10,19 260:18,23</p> <p>contacted [11] 169:14 169:21 170:1,9 171:21 172:4 189:12 202:12,12 203:14 260:20</p> <p>contacting [7] 168:22 169:6 170:20,22 171:12 172:13,15</p> <p>contain [2] 150:5 167:14</p> <p>contained [3] 126:12 182:4 259:8</p> <p>content [4] 40:21 50:18 55:15 177:25</p> <p>contents [4] 2:1 35:23 116:18 204:21</p> <p>context [15] 8:6 27:18 40:16 52:12 159:25 183:19 202:13 222:15,18 224:1,10 237:9 244:18 246:25 260:1</p> <p>contingent [1] 44:15</p> <p>continuation [1] 110:2</p> <p>continue [3] 105:19 116:14 126:8</p> <p>continued [1] 72:8</p> <p>continues [1] 87:15</p> <p>continuing [1] 66:12</p> <p>continuum [1] 71:3</p> <p>contradistinction [1] 234:5</p> <p>contrary [2] 192:14 232:3</p> <p>contrast [2] 33:16 34:19</p> <p>contributors [1] 219:19</p> <p>control [7] 22:14 215:10 218:17,18,21 220:5 223:7</p> <p>controls [6] 216:12 217:18 218:2,4,15 220:19</p> <p>convenient [1] 102:14</p> <p>conversation [1] 157:21</p> <p>convey [1] 208:13</p> <p>Cook [3] 157:18 163:13 178:13</p> <p>copied [1] 50:12</p> <p>copy [4] 42:8,9 150:25 161:15</p> <p>core [1] 80:23</p>	<p>corporation [24] 23:14 24:21 26:3 41:12 69:15 69:19,22 71:12,25 72:16 72:21 73:9,21 74:4 75:17 76:2 79:19 84:18 110:12 139:13 143:21 164:4 182:24 210:20</p> <p>Corporation's [1] 112:19</p> <p>correct [25] 6:19 7:22 8:4 24:2,13 55:4 103:12 112:2 114:10 115:2 120:15 123:1,1 128:1,8 134:17 138:24 151:20 184:8 190:16 192:2,4 231:1 259:2 263:3</p> <p>correctly [2] 143:7 207:20</p> <p>correspond [4] 131:13 154:18,21 175:19</p> <p>correspondence [3] 51:9,25 52:3</p> <p>cost [4] 44:10 120:22 180:12,14</p> <p>costs [5] 42:22 43:19 44:7 44:8 67:5</p> <p>Council [2] 63:16,21</p> <p>counsel [2] 66:9 222:13</p> <p>country [3] 10:1 110:20 149:3</p> <p>couple [9] 17:9 66:7 98:22 141:21 142:22 151:23 166:17 183:3 237:5</p> <p>course [16] 27:4,13 30:18 31:16 53:1 59:21 116:4 124:13 142:2 152:13 155:1 177:13 178:20 188:23 254:20 261:13</p> <p>Court [2] 25:20 182:6</p> <p>Courthouse [1] 4:13</p> <p>coverage [3] 44:11 203:24 244:1</p> <p>covered [1] 248:25</p> <p>covers [2] 44:12 132:25</p> <p>crafted [1] 187:7</p> <p>created [6] 69:16,22 71:13 72:9 82:25 89:1</p> <p>creation [4] 86:17 110:9 113:11 138:23</p> <p>crisis [1] 40:19</p> <p>critical [2] 93:7 105:17</p> <p>criticism [1] 112:10</p> <p>Crosbie [183] 1:11 2:3 4:2,3,4,11,16,18,21,25 5:5,16,22 6:6,15,20,24 7:5,15 8:7,25 9:6,14,18 10:12,21 11:2,12,17,23 12:20 13:1,8,12,18,25 14:11,19 15:1,6,12,17 15:25 16:4,9,20 17:1,8 17:15,21 18:12,15 19:6 19:16,21,23 20:2,8,12 20:19 21:5,9,13,18,25 22:8,14,19,24 23:3,7,19 23:25 24:6,10,14,23 25:3 25:10,14 26:16,22 27:2</p>
--	---	--	--	---

<p>27:11 28:5,15,19 29:1 29:14,23 30:6,13,17,23 31:6,11,15,19,23 32:6 32:15,19 33:2,8,15,22 34:1,5,9,13,21 35:1,5,9 35:13,18 36:1,7,11,20 37:7,12,25 38:6,24 39:2 39:10,12 41:2,10,13,20 41:23 42:3,13,17,21 43:2 43:7,16 44:3 45:6,14,20 45:25 46:5,10,15,20,24 47:11,17,22 48:3,12,17 48:22 49:7,11,17,22 50:2 50:9,15 51:10,17,21 52:4 52:14,18,25 53:4,11,16 54:3,8 55:20 56:9,9 59:25 168:17 204:3 207:14</p> <p>Crosbie's [1] 55:6 cross [1] 219:21 cross-examining [1] 221:16</p> <p>Crown [1] 255:19 culture [2] 129:9 136:13 curiosity [1] 136:20 curious [2] 198:21 218:25 current [3] 164:1 171:10 204:19 cutbacks [1] 66:10 cytology [2] 82:3 210:4</p>	<p>32:13,17,24 33:6,10,20 33:24 34:3,7,11,18,23 35:3,7,11,15,21 36:5,9 36:16,22 37:10,22 38:4 38:8,25 39:7,22 41:3 42:9,11 43:4,5,14,23 45:3,10,18,23 46:3,8,13 46:18,22 47:3,15,19 48:1 48:8,14,20 49:5,9,15,20 49:25 50:7,13,21 51:14 51:19,23 52:6,16,21 53:2 53:9,14,20 55:6,22,24 56:4,12 57:1,5,17,23 58:3,11,22 59:2,7,13,18 59:22 60:5,10,15,20 61:3 61:8,18 62:3,9,13,21 63:13 64:9,13 65:2,8,19 65:24 66:16,21 68:11,17 69:17 70:1,9,15,19 71:14 71:20 72:1,5,10,19 73:2 73:6,18,22 74:2,7,16,22 75:21 76:15,24 77:6,17 78:11 79:10,15,20,24 80:9,16,25 81:17,21,25 82:10,16,20 83:1,5,16 84:10,14,21 85:11,16 86:10,21,25 87:9,14,19 88:5,11,18,24 89:9,17 89:23 90:2,8 91:9,19,23 92:9,14 93:10,18 94:1 94:11,19,25 95:16,20,24 96:8,16,21 97:15 98:6 98:12,24 99:5,9 100:1 100:16,21 101:2,6,10,15 101:22 102:3,24 103:9 103:13,18,23 104:11,18 105:3 106:9,16,24 107:3 108:1,11,17 110:17 111:5 111:20 112:8,17 113:7 113:14,20,21 114:2,13 114:18 115:1,7,13,21 116:7,13,23 117:9,18,23 118:3,7,13,18,25 119:5 119:21 120:16,24 121:5 121:18 122:2,18,25 123:13 124:1,8,20 125:1 125:6,14 126:7,22 127:12 127:18 128:7,13,21 129:4 129:25 130:6,12,18 131:14,20 132:7,10,13 132:24 133:7,14,21 134:2 134:24 135:11,19 136:2 136:24 137:3,20 138:6 138:12,25 139:4,10 140:2 140:15,21 141:1,9 142:3 142:7,14,24 143:14,22 144:3,10,17,22 145:5,21 146:9,19 147:13,17,23 148:2,6,13,20 149:22 150:7,12,21 151:10,14 151:19,24 152:10,17,21 153:6,16 154:6,22 155:5 155:14 156:7,18,23 157:3 157:23 158:6,20 159:5 159:10,21 160:12,20 161:11,19 162:2,7 163:20 165:3,11,16,25 166:9 167:1,9,17,22 168:4,24 169:18,22 170:3,7,14,21 170:25 171:23 172:8,14 172:19 173:7,25 174:15 175:5,14 176:8,14,18,23 177:10,15,24 178:3,16</p>	<p>178:21 179:20,24 180:15 180:21 181:4,17 182:8 182:15,20 183:4,12,16 184:1,9,16 185:18 186:11 187:18,19 188:8,9,16,18 188:25 189:4,14,20,21 189:25 190:1,6,11,17 191:1,5,9,20 192:1,5,10 192:15,20 193:1,5,9,15 193:25 194:7,13,18 195:14,25 196:8,25 197:4 197:8,24 198:3 199:2,6 199:11,20 200:5,12,16 200:21,25 201:9,15,21 202:3,9,20 203:4,9,15 204:7,15,25 205:7,11,20 205:25 206:7,21 207:7 207:16,25 208:5,11 209:3 209:8,24 210:8,12,18,23 211:5,11,15,21,25 212:6 212:17 213:10,17 214:1 214:6,10,14,22 215:5,25 216:5,9,15,19 217:3,7 217:12,19,24 218:6,11 218:16 219:10,10,16,21 221:15,23 222:2 223:13 223:17,22 224:6,21,25 225:21 226:8,13,18 227:4 227:8,23 228:6,10,17 229:5,10,14,19,25 230:7 230:20,25 231:5,11,16 231:25 232:6,10,14,20 233:5,11,16,22 234:1,7 234:13,17,22 235:4,9,13 235:21 236:1,10,17 237:2 237:10,20 238:3,12 239:1 239:12,17,22 240:5,9,16 240:24 241:5,9,19 242:3 242:7,21 243:4,11,19,25 244:13,17,23 245:6,11 245:15,24 246:24 247:3 247:8,12,21 248:1,5,10 248:14,18,22 249:1,6,16 249:25 250:8,14,23 251:7 251:12,17 252:3,10,15 252:21 253:2,22 254:1,8 254:16,22,25 255:4,6,8 255:13,20 256:3,14 258:12,20,25 259:13,19 259:25 260:11,15 261:5 261:9,21 262:5,7,8</p> <p>day-to [1] 149:5 days [20] 18:6 87:24 93:12,13 107:8 141:22 142:17 147:2 159:24 166:24 170:19 171:7 183:3 186:9,21 198:13 210:20 231:20 255:9 261:17 deal [10] 10:3 40:19 57:16 67:2,6 72:21 96:23 237:6 239:9 256:24 dealing [5] 61:23 63:12 72:17 105:13 241:13 deals [3] 41:5 80:23 150:2 dealt [1] 104:20 Deane [1] 14:2 Deanne [1] 171:13 debate [2] 77:21 78:5</p>	<p>debt [6] 76:19,20 83:17 104:2,2,6 debts [2] 133:19 136:22 decade [1] 70:22 decades [3] 66:7,22 70:20 deceased [1] 172:5 decide [1] 12:1 decided [1] 75:13 deciding [3] 47:1 237:16 254:5 decision [17] 7:21,25 14:1 39:15 40:18,25 60:3 63:1 149:11 155:25 156:6 159:3,18 236:9 237:23 238:6,17 decisions [8] 12:5 57:21 61:14 173:4 183:11 238:13,14 256:5 deficit [7] 67:3 74:3 76:8 76:9,11 77:5 86:19 deficits [2] 74:3 76:7 define [2] 129:12 257:7 defined [6] 10:7 108:20 109:10 110:7 135:21 147:3 defines [2] 121:19 259:5 defining [3] 115:20 139:21 257:18 definition [1] 129:10 definitions [2] 120:12 141:23 degree [3] 84:17 88:19 106:2 delegation [3] 122:8 123:17 124:13 delighted [1] 92:21 delineation [1] 109:6 deliver [1] 86:1 demand [1] 215:22 demands [5] 46:17 67:15 69:7,12 74:9 demonstrate [3] 8:20 36:17 40:12 demonstrated [2] 91:6 93:11 demonstration [1] 36:23 denying [1] 230:1 department [25] 58:21 68:21 73:3 94:13,21 95:3 96:1 97:23 98:9 99:3,12 99:13,16,18,20 100:2,7 238:14 258:5,18 260:4,6 260:17,20,23 departments [2] 95:13 98:3 dependant [1] 256:17 depending [2] 125:16 258:10 Deputy [2] 175:23 258:9 describe [8] 24:15,17 26:5 28:9 35:2 78:18 123:22 133:12</p>	<p>described [6] 58:8,15 58:16 87:3 107:16 110:24 describes [4] 75:11 76:3 76:7 120:12 description [9] 8:4 58:19 109:11 117:7 120:23 135:17 153:1 156:4 158:1 desire [1] 112:20 detail [25] 11:10 12:10 36:25 38:5,7 59:14 74:20 80:18 118:2,19 130:9 142:20 144:24 155:10,16 180:6 185:11 211:7 212:2 226:24 227:13 232:17,24 251:18 253:15 detailed [5] 145:7 154:24 155:13 227:15 229:4 details [5] 27:22 49:12 59:8 129:22 156:11 detect [1] 163:4 deteriorating [1] 75:16 deterioration [1] 84:6 determination [1] 256:18 determine [8] 10:2 27:24 39:4 85:25 115:6 221:11 228:23 256:21 determined [3] 126:3 134:20 208:20 determining [1] 115:20 developed [2] 125:15 139:16 development [7] 93:4 105:6 126:10 205:4 220:12 247:13,22 devoted [2] 40:13 97:17 diagnosis [3] 23:11 25:25 30:1 diagnostic [1] 90:17 dialogue [1] 225:6 Diamond [1] 232:3 difference [10] 108:5,9 111:8 136:20 137:2 164:25 207:10,11,21 208:10 different [13] 58:6 66:3 81:6 83:12 92:21 106:15 141:12 162:8 194:6,19 200:10 215:15 216:4 differentiation [2] 108:6 111:1 difficult [4] 10:3 152:24 187:13 224:12 difficulties [2] 93:14 105:10 difficulty [2] 71:8 72:20 dimensions [1] 28:9 direct [5] 23:11 66:9 87:10 91:25 219:17 directed [6] 12:14 89:6 165:22 186:2 219:23 234:16 directing [2] 234:9,10 direction [5] 98:15</p>
<p>-D-</p>				
<p>d [2] 98:16 254:12 DAKO [2] 164:9 213:20 damage [1] 44:13 Dan [3] 38:19 158:14 167:21 Dan's [1] 48:25 Daniel [3] 1:9 2:4 55:22 data [2] 77:25 78:2 database [5] 196:10,10 202:21,23 203:2 databases [1] 184:24 date [12] 24:4,5 28:22,23 114:3,8 135:24 140:12 152:8 157:11,19 175:13 dated [3] 178:14 181:25 263:11 dates [1] 204:19 David [1] 1:14 Dawe [742] 2:2 4:3,14,15 5:6,14,20 6:4,13,18,22 7:3,10 8:5 9:4,9,16,21 10:15,25 11:4,15,21 12:6 12:24 13:6,10,16,23 14:8 14:17,23 15:3,9,15,20 16:2,7,15,22 17:4,10,18 17:23 18:19,24 19:4,10 19:14 20:4,10,17,24 21:7 21:11,16,23 22:4 23:4,5 23:17,23 24:3,8,12,20 25:1,8,12 26:8,19,24 27:9,14 28:12,17,24 29:12,21 30:4,9,15,21 30:25 31:8,13,17,21 32:4</p>	<p>32:13,17,24 33:6,10,20 33:24 34:3,7,11,18,23 35:3,7,11,15,21 36:5,9 36:16,22 37:10,22 38:4 38:8,25 39:7,22 41:3 42:9,11 43:4,5,14,23 45:3,10,18,23 46:3,8,13 46:18,22 47:3,15,19 48:1 48:8,14,20 49:5,9,15,20 49:25 50:7,13,21 51:14 51:19,23 52:6,16,21 53:2 53:9,14,20 55:6,22,24 56:4,12 57:1,5,17,23 58:3,11,22 59:2,7,13,18 59:22 60:5,10,15,20 61:3 61:8,18 62:3,9,13,21 63:13 64:9,13 65:2,8,19 65:24 66:16,21 68:11,17 69:17 70:1,9,15,19 71:14 71:20 72:1,5,10,19 73:2 73:6,18,22 74:2,7,16,22 75:21 76:15,24 77:6,17 78:11 79:10,15,20,24 80:9,16,25 81:17,21,25 82:10,16,20 83:1,5,16 84:10,14,21 85:11,16 86:10,21,25 87:9,14,19 88:5,11,18,24 89:9,17 89:23 90:2,8 91:9,19,23 92:9,14 93:10,18 94:1 94:11,19,25 95:16,20,24 96:8,16,21 97:15 98:6 98:12,24 99:5,9 100:1 100:16,21 101:2,6,10,15 101:22 102:3,24 103:9 103:13,18,23 104:11,18 105:3 106:9,16,24 107:3 108:1,11,17 110:17 111:5 111:20 112:8,17 113:7 113:14,20,21 114:2,13 114:18 115:1,7,13,21 116:7,13,23 117:9,18,23 118:3,7,13,18,25 119:5 119:21 120:16,24 121:5 121:18 122:2,18,25 123:13 124:1,8,20 125:1 125:6,14 126:7,22 127:12 127:18 128:7,13,21 129:4 129:25 130:6,12,18 131:14,20 132:7,10,13 132:24 133:7,14,21 134:2 134:24 135:11,19 136:2 136:24 137:3,20 138:6 138:12,25 139:4,10 140:2 140:15,21 141:1,9 142:3 142:7,14,24 143:14,22 144:3,10,17,22 145:5,21 146:9,19 147:13,17,23 148:2,6,13,20 149:22 150:7,12,21 151:10,14 151:19,24 152:10,17,21 153:6,16 154:6,22 155:5 155:14 156:7,18,23 157:3 157:23 158:6,20 159:5 159:10,21 160:12,20 161:11,19 162:2,7 163:20 165:3,11,16,25 166:9 167:1,9,17,22 168:4,24 169:18,22 170:3,7,14,21 170:25 171:23 172:8,14 172:19 173:7,25 174:15 175:5,14 176:8,14,18,23 177:10,15,24 178:3,16</p>	<p>178:21 179:20,24 180:15 180:21 181:4,17 182:8 182:15,20 183:4,12,16 184:1,9,16 185:18 186:11 187:18,19 188:8,9,16,18 188:25 189:4,14,20,21 189:25 190:1,6,11,17 191:1,5,9,20 192:1,5,10 192:15,20 193:1,5,9,15 193:25 194:7,13,18 195:14,25 196:8,25 197:4 197:8,24 198:3 199:2,6 199:11,20 200:5,12,16 200:21,25 201:9,15,21 202:3,9,20 203:4,9,15 204:7,15,25 205:7,11,20 205:25 206:7,21 207:7 207:16,25 208:5,11 209:3 209:8,24 210:8,12,18,23 211:5,11,15,21,25 212:6 212:17 213:10,17 214:1 214:6,10,14,22 215:5,25 216:5,9,15,19 217:3,7 217:12,19,24 218:6,11 218:16 219:10,10,16,21 221:15,23 222:2 223:13 223:17,22 224:6,21,25 225:21 226:8,13,18 227:4 227:8,23 228:6,10,17 229:5,10,14,19,25 230:7 230:20,25 231:5,11,16 231:25 232:6,10,14,20 233:5,11,16,22 234:1,7 234:13,17,22 235:4,9,13 235:21 236:1,10,17 237:2 237:10,20 238:3,12 239:1 239:12,17,22 240:5,9,16 240:24 241:5,9,19 242:3 242:7,21 243:4,11,19,25 244:13,17,23 245:6,11 245:15,24 246:24 247:3 247:8,12,21 248:1,5,10 248:14,18,22 249:1,6,16 249:25 250:8,14,23 251:7 251:12,17 252:3,10,15 252:21 253:2,22 254:1,8 254:16,22,25 255:4,6,8 255:13,20 256:3,14 258:12,20,25 259:13,19 259:25 260:11,15 261:5 261:9,21 262:5,7,8</p> <p>day-to [1] 149:5 days [20] 18:6 87:24 93:12,13 107:8 141:22 142:17 147:2 159:24 166:24 170:19 171:7 183:3 186:9,21 198:13 210:20 231:20 255:9 261:17 deal [10] 10:3 40:19 57:16 67:2,6 72:21 96:23 237:6 239:9 256:24 dealing [5] 61:23 63:12 72:17 105:13 241:13 deals [3] 41:5 80:23 150:2 dealt [1] 104:20 Deane [1] 14:2 Deanne [1] 171:13 debate [2] 77:21 78:5</p>	<p>debt [6] 76:19,20 83:17 104:2,2,6 debts [2] 133:19 136:22 decade [1] 70:22 decades [3] 66:7,22 70:20 deceased [1] 172:5 decide [1] 12:1 decided [1] 75:13 deciding [3] 47:1 237:16 254:5 decision [17] 7:21,25 14:1 39:15 40:18,25 60:3 63:1 149:11 155:25 156:6 159:3,18 236:9 237:23 238:6,17 decisions [8] 12:5 57:21 61:14 173:4 183:11 238:13,14 256:5 deficit [7] 67:3 74:3 76:8 76:9,11 77:5 86:19 deficits [2] 74:3 76:7 define [2] 129:12 257:7 defined [6] 10:7 108:20 109:10 110:7 135:21 147:3 defines [2] 121:19 259:5 defining [3] 115:20 139:21 257:18 definition [1] 129:10 definitions [2] 120:12 141:23 degree [3] 84:17 88:19 106:2 delegation [3] 122:8 123:17 124:13 delighted [1] 92:21 delineation [1] 109:6 deliver [1] 86:1 demand [1] 215:22 demands [5] 46:17 67:15 69:7,12 74:9 demonstrate [3] 8:20 36:17 40:12 demonstrated [2] 91:6 93:11 demonstration [1] 36:23 denying [1] 230:1 department [25] 58:21 68:21 73:3 94:13,21 95:3 96:1 97:23 98:9 99:3,12 99:13,16,18,20 100:2,7 238:14 258:5,18 260:4,6 260:17,20,23 departments [2] 95:13 98:3 dependant [1] 256:17 depending [2] 125:16 258:10 Deputy [2] 175:23 258:9 describe [8] 24:15,17 26:5 28:9 35:2 78:18 123:22 133:12</p>	<p>described [6] 58:8,15 58:16 87:3 107:16 110:24 describes [4] 75:11 76:3 76:7 120:12 description [9] 8:4 58:19 109:11 117:7 120:23 135:17 153:1 156:4 158:1 desire [1] 112:20 detail [25] 11:10 12:10 36:25 38:5,7 59:14 74:20 80:18 118:2,19 130:9</p>

<p>109:15 110:2 111:22 242:18 directions [10] 83:21 106:15 110:6 112:19 116:8,15 118:10 238:22 239:7,23 directly [14] 56:23 104:5 105:15 125:5 133:5 146:14 147:21 149:4,17 149:21 150:11 173:19 186:24 253:6 director [6] 46:11 60:9 61:2 65:12 178:13 210:2 disagreement [1] 164:19 disappointment [1] 185:9 discipline [1] 45:8 disclose [2] 158:11,12 disclosed [1] 158:4 disclosing [1] 158:17 disclosure [23] 39:16 45:15,22 47:2,8,24 51:12 60:3 61:25 107:9,10 140:9 159:20 160:19 166:25 173:5 204:6,12 204:18 206:17 207:4 251:6 252:5 discomfort [1] 142:16 disconnect [7] 189:9 191:14 193:14,19 198:22 198:24 244:20 discovered [1] 85:2 discretionary [1] 238:8 discuss [5] 135:2 193:18 194:16,16 199:14 discussed [10] 6:11,17 7:21 134:8 191:13 193:10 193:19 194:17 202:10 227:13 discussion [21] 2:7 8:2 9:2 28:14 97:21 99:10 136:7 137:12 145:9 159:1 159:14 160:1 177:20,22 183:18 203:22 225:4 227:11,17 228:21 236:21 discussions [8] 51:8 65:12 138:13 145:15 154:24 181:7,11 224:11 distinction [4] 115:14 118:21 119:3 209:1 disturbed [1] 173:20 diversity [1] 117:15 division [2] 1:13 135:14 DM [1] 175:24 doctor [3] 14:14 225:19 228:3 doctor's [3] 225:24 228:3 230:11 doctors [4] 14:12 148:12 150:6,10 document [30] 17:14 21:1 23:2 26:17 38:22 41:5,25 43:17 45:5 53:6 54:20 55:1,6,16 78:16 113:18 116:18 117:4</p>	<p>121:25 140:8 163:11 166:13 174:22 175:9,21 178:8,19 180:4 181:21 194:23 documentation [1] 211:10 documented [2] 64:4 135:22 documents [10] 20:21 21:4,14 27:17,25 151:11 157:7 159:23 160:4 181:1 doesn't [9] 25:17 34:24 35:19 162:19 165:17 206:16 213:21 230:16 260:5 dollar [1] 85:2 dollars [2] 68:22 91:12 done [7] 29:11,15 71:5 150:16 171:14,16 221:22 doubt [8] 31:2,3 36:8 162:15,18 184:10 186:2 227:9 down [25] 4:12 20:1,3 22:18 29:3,8 80:4,20 95:3 128:17 143:17 163:17 164:5 180:2,9,13 182:1 186:17 195:17 205:17 213:22 220:1 225:16 237:4 246:17 Dr [55] 17:12 23:20 27:5 27:19,21 34:25 35:23 48:18 65:4,11 144:15,23 145:2,11,18 146:7,13,17 146:18,20 147:9 153:10 153:14 155:12 156:21 157:18,18 163:13,13 165:22,22 171:9 174:18 176:5 178:12,13 179:14 185:7,14,25 193:13 212:14,20 213:1 220:14 222:14 223:11 224:24 225:1,18 227:15 228:2 228:14 229:3 230:15 draft [1] 167:14 drafted [1] 188:23 draining [1] 171:15 draw [5] 10:1 154:11 167:16 222:17 224:13 drawn [3] 139:8 219:22 224:17 draws [1] 40:7 driven [3] 67:13 70:24 82:12 drove [2] 40:18,25 due [6] 27:4,12 31:16 53:1 59:21 121:10 during [3] 72:13 73:12 228:15 duties [3] 5:9 58:20 178:20</p> <hr/> <p style="text-align: center;">-E-</p> <hr/> <p>e [1] 254:12 e-mail [10] 49:23 50:5 50:10,19,19 166:17,22 167:13 170:18 171:7</p>	<p>e-mails [1] 253:12 E-N-D-S [1] 114:12 early [5] 88:21 107:15 161:8 195:18 198:23 easily [1] 181:1 Easter [1] 258:17 Eastern [65] 1:9 37:16 37:17 38:19,22 40:9,19 42:23 43:8,11,24 46:6 48:9 53:17 54:25 55:2 58:24 60:8,23,24 62:18 63:7,15,19 64:3 72:9 76:17 82:24 83:9 86:17 88:25 90:6 98:20 100:13 103:6,16 105:25 106:12 106:22 107:18,23 110:9 111:13 113:11,25 138:22 140:9 141:11 149:2 150:2 159:2 161:3,8 163:23 178:11 183:1 184:6 187:4 189:6 202:12 217:1 220:6 251:4 257:6 260:19 Eaton [1] 1:14 echoed [1] 5:7 economic [1] 105:6 economy [1] 105:5 educate [1] 63:11 education [4] 62:23 105:5,16 260:4 effect [3] 83:14 113:12 138:5 effective [1] 255:17 effectiveness [1] 112:14 efficiencies [11] 73:8 77:7,8,9,14 78:22 79:14 82:13,17 106:4 214:18 effort [2] 67:20 96:24 efforts [2] 5:12 67:21 eight [3] 67:1 143:18 171:7 either [12] 9:22 19:8 52:1 99:21 107:13 122:24 127:17 148:19 172:17 219:16 224:9 258:8 Ejeckam [6] 16:6,10 23:20 29:24 30:8 33:17 Ejeckam's [3] 17:12 34:25 35:23 EL [3] 246:4,17 247:24 EL10 [1] 128:18 EL8 [1] 132:22 elaborates [1] 51:5 electrocuted [1] 4:8 elsewhere [2] 10:1 137:14 email [6] 157:15,17 159:11 160:25 161:5 181:24 embark [1] 84:15 embarked [1] 138:9 Emberley [1] 171:14 emphasis [4] 89:1 106:18 107:2 214:18 employee [5] 44:15 121:8 126:9 149:9 150:3</p>	<p>employee's [1] 59:9 employees [5] 58:24 85:22 148:8,19,25 employer's [1] 44:15 encapsulated [1] 80:6 encouraged [1] 92:19 encouragement [1] 117:15 end [6] 19:13 80:4 180:9 180:13 226:16 257:22 endorsed [1] 110:1 ends [13] 109:18 114:12 114:14 115:5,8,9,20 116:9 119:17 120:12,14 123:21 167:20 engage [4] 22:6 75:13 95:3 257:1 engaged [5] 61:11 65:12 181:9 198:6 205:2 engagement [3] 119:10 257:7,19 ensure [4] 105:15 216:10 218:18 223:24 ensuring [3] 179:6 209:9 214:19 entered [6] 5:3,4 38:21 150:21 151:6,7 entire [1] 172:23 entirely [2] 140:19 233:19 entitled [3] 42:22 120:8 125:9 entry [1] 249:11 environment [2] 105:5 220:12 environmental [1] 44:17 equipment [13] 85:4,6,8 85:12,17 86:24 88:7 93:2 101:23 102:9 129:18 238:1,2 equipped [1] 62:6 equivalent [4] 81:18 179:7 210:5 260:9 equivalents [2] 82:8 210:4 ER [2] 164:17 247:25 ER/PR [20] 14:22 27:22 61:25 144:1 152:20 155:22 166:6 171:10,12 174:14,19 175:23 182:18 183:25 219:20 225:15 246:23 248:4,21 250:4 era [2] 66:14 106:1 errors [1] 44:16 ERs [1] 248:19 establish [4] 41:10 81:10 119:15 122:21 established [5] 6:7 112:22 203:12,12 221:8 establishing [2] 118:9 119:19 establishment [1] 5:18 estimating [1] 164:16</p>	<p>estrogen [2] 163:4 164:2 etcetera [5] 164:19 179:12 220:9,9,9 ethical [16] 45:17 46:1,6 50:17 60:1,2,25 61:5,11 61:12 62:1,12,19 63:12 64:1,2 ethicist [3] 61:1,15 65:1 ethicists [2] 52:22 60:14 ethics [9] 46:12,21 50:23 53:8 60:9 62:25 64:16 205:21,23 evaluation [1] 164:6 evenings [1] 171:17 event [2] 15:5 182:11 events [7] 66:5 140:10 204:6,12,18 207:4 220:13 eventually [1] 231:4 everybody [8] 5:8 42:7 124:25 191:15 195:21 196:5 197:23 200:11 evidence [8] 74:15 103:5 107:15 172:24 173:9 186:5 198:12 231:19 evolution [1] 66:5 evolve [1] 116:14 evolving [3] 109:17,23 233:10 ex [4] 71:23 72:13 110:11 147:4 exactly [1] 141:7 examination [13] 2:3,4 2:6 4:3 55:5,15,22 66:9 141:21 151:11 166:18 175:1 255:6 examined [2] 161:4 219:22 examining [1] 138:10 example [30] 13:19 14:1 61:19 76:20 85:9 87:23 90:23 92:5 96:3,25 97:3 98:18 100:22 107:5 111:8 121:10 124:11 125:18 128:17 130:23 132:11 133:19 148:18 201:12 238:1 241:10,11 255:16 258:5 260:16 examples [2] 80:14 110:23 excellence [2] 12:22 13:3 excellent [2] 14:5,15 except [2] 195:22 224:19 exception [3] 173:15 195:23 196:6 exceptions [4] 195:11 195:12 201:6,7 excerpt [1] 152:3 exchanged [1] 261:15 excuse [4] 38:15 45:7 64:15 148:8 executive [49] 62:17 63:10 75:8 95:10 96:3,4 96:11,22 97:3,11 99:11 109:9,19 110:5 116:21 119:3 120:13 121:3,7,11</p>
--	---	--	--	---

<p>122:9,14,17 123:11,17 123:19,24 124:16,17 125:9,12 126:1,10,15 127:24 128:12 129:2,7 129:14,24 132:20 134:3 134:12 141:15 146:21 197:16,17 199:14 243:16</p> <p>executor [1] 238:18</p> <p>exercise [4] 40:2,3 55:11 122:13</p> <p>exhibit [18] 3:2 4:19,24 5:4,4 37:13 38:20 48:4 74:13,25 75:7 79:24 112:2,14 128:18 130:24 152:16 204:13</p> <p>exhibits [9] 3:1,3 75:2 150:19,23 151:6,7,7 225:8</p> <p>exist [7] 87:20 139:25 141:8,16 197:22 252:5 252:17</p> <p>existed [1] 28:1</p> <p>existence [3] 24:24 98:21 161:1</p> <p>existing [1] 84:5</p> <p>expand [4] 90:23,24 91:4 91:13</p> <p>expanded [1] 84:22</p> <p>expect [11] 24:18 26:6 50:23 61:22,25 141:6,13 230:24 238:9 253:5 260:14</p> <p>expectation [6] 129:6 129:11 139:16,17 144:12 160:21</p> <p>expectations [4] 67:16 69:6,12 121:20</p> <p>expected [4] 88:14 127:10 137:24 257:14</p> <p>expecting [2] 134:15 259:22</p> <p>expenditure [3] 43:18 215:22 220:5</p> <p>expenditures [2] 43:19 44:25</p> <p>expense [1] 13:21</p> <p>Expenses [1] 42:23</p> <p>experience [6] 9:25 66:23 67:4 110:13 135:24 137:14</p> <p>explain [5] 39:3 109:8 121:10 148:21 167:5</p> <p>explained [1] 183:22</p> <p>explains [1] 44:6</p> <p>explanation [3] 156:5 237:13 249:7</p> <p>explanations [1] 202:18</p> <p>exploration [1] 138:16</p> <p>explore [4] 40:24 41:2 107:20 221:21</p> <p>explored [2] 54:18 221:21</p> <p>exploring [3] 41:7 55:8 140:3</p> <p>expose [2] 23:14 26:2</p>	<p>express [2] 5:6 186:15</p> <p>expressed [3] 185:9 187:6,9</p> <p>expressing [1] 202:14</p> <p>extend [2] 13:21 15:7</p> <p>extensive [2] 145:22,22</p> <p>extensiveness [1] 145:18</p> <p>extent [2] 54:17 158:25</p> <p>external [11] 73:16 75:14 126:23 127:6,17 131:19 174:23 179:18 185:7 218:21 226:6</p> <p>extra [3] 217:2 237:24 240:22</p> <p>extracting [1] 198:7</p> <p>extremely [2] 64:5 171:15</p> <p>eyes [1] 96:12</p> <hr/> <p style="text-align: center;">-F-</p> <hr/> <p>face [2] 34:16 39:1</p> <p>facilitating [2] 78:25 79:7</p> <p>facilitator [3] 115:24 136:8 138:14</p> <p>facilities [1] 69:20</p> <p>fact [30] 20:22 40:6 46:11 76:17 86:13 103:21 148:19 155:9 159:22 161:7 170:2 175:2 177:21 184:21 189:17 194:19 195:15 196:17 201:10 202:1 205:16,16 211:18 211:19 212:20 228:13 231:9 244:9,12 250:17</p> <p>factor [5] 47:6,7 88:7 94:21 157:2</p> <p>factors [4] 47:4,20,21 47:23</p> <p>facts [1] 158:13</p> <p>factual [1] 181:10</p> <p>fail [5] 129:8 130:4 136:21 244:2,5</p> <p>failed [1] 133:19</p> <p>failure [3] 213:4,16 223:11</p> <p>failures [1] 45:9</p> <p>fair [7] 86:16 88:25 106:1 135:17 191:13 214:13 217:11</p> <p>fairly [1] 145:12</p> <p>faith [1] 32:3</p> <p>fall [5] 115:24 136:5,8,11 138:4</p> <p>familiar [4] 58:18 90:1 113:20 204:21</p> <p>familiarize [1] 74:21</p> <p>families [3] 187:1,3,12</p> <p>far [7] 98:23 105:24 121:21 135:6 143:18 191:17 259:17</p> <p>faulty [1] 213:20</p> <p>favourable [1] 102:7</p>	<p>fear [2] 137:23 173:13</p> <p>fears [1] 40:17</p> <p>feature [1] 114:17</p> <p>features [1] 114:11</p> <p>February [2] 16:12 247:7</p> <p>federal [4] 68:4,9 89:21 90:9</p> <p>fee [1] 148:22</p> <p>fee-for-service [1] 148:12</p> <p>feedback [1] 48:25</p> <p>feeling [1] 219:21</p> <p>feels [2] 93:13 260:5</p> <p>feet [1] 219:3</p> <p>felt [8] 67:23 84:15 134:20 186:24 190:20 239:20 241:20 246:1</p> <p>few [13] 4:12 87:24 89:14 92:18,20 93:12,12,13 107:7 147:2 152:9 188:4 198:13</p> <p>Fifteen [1] 102:18</p> <p>figure [1] 180:20</p> <p>figures [2] 37:23 164:1</p> <p>filed [1] 182:5</p> <p>final [2] 73:10 186:5</p> <p>finally [3] 97:22 99:15 99:16</p> <p>Finance [3] 97:11,19 238:20</p> <p>financial [11] 36:15 40:13 41:6 71:8 75:16 92:21 104:12 127:1 132:16 219:18 261:14</p> <p>financially [3] 45:1 70:24 125:18</p> <p>finding [1] 164:18</p> <p>findings [3] 228:14,15 261:23</p> <p>fine [2] 194:3 259:22</p> <p>fingers [1] 69:9</p> <p>finishes [1] 99:13</p> <p>first [58] 5:6 16:10,24 17:2,11,16 18:3 26:15 44:1 52:7 56:7,22 58:17 63:20 66:14,23 67:3,18 67:24 68:1 76:17 80:2 83:4,19 89:15 90:9,10 94:4,12 95:25 103:25 108:4 114:6 116:1 117:2 117:13 143:2,9 159:11 161:1,5,8,24 162:25 165:7 182:3 195:21 201:25 203:18 211:2 219:6 226:23 249:21 250:4,6 251:21 256:10 257:11</p> <p>fiscal [2] 76:9 106:2</p> <p>fit [2] 31:5 130:17</p> <p>fits [1] 143:9</p> <p>five [8] 14:12 23:21 67:10 143:12 180:3,10 213:5 240:22</p> <p>fixated [1] 230:13</p>	<p>fixation [2] 216:18 220:23</p> <p>flavour [1] 257:3</p> <p>flick [1] 176:3</p> <p>flipping [1] 113:2</p> <p>focus [10] 29:17 32:11 71:6 77:7,14 79:13,18 112:21 214:16 223:25</p> <p>focused [2] 70:25 73:7</p> <p>follow [5] 56:7 177:8 181:7,8 194:3</p> <p>follow-up [1] 258:4</p> <p>following [7] 29:16 76:11 90:13 127:8 163:25 166:20 182:11</p> <p>follows [2] 174:19 210:15</p> <p>for-service [1] 148:23</p> <p>force [1] 248:9</p> <p>foregoing [1] 263:2</p> <p>forever [1] 231:24</p> <p>forget [1] 137:23</p> <p>forgot [1] 137:6</p> <p>formal [1] 229:8</p> <p>formally [1] 112:23</p> <p>format [2] 129:3 133:3</p> <p>formation [1] 76:3</p> <p>formed [3] 105:25 106:13 163:7</p> <p>former [2] 70:11 143:20</p> <p>forth [4] 105:19 113:8 195:16 201:17</p> <p>forward [5] 102:7 136:1 166:3 261:22 262:3</p> <p>found [4] 226:12 228:3,5 242:11</p> <p>four [9] 67:10 70:12 124:14 127:21 143:11 166:24 213:5 214:2 217:16</p> <p>fourth [4] 28:21 29:3,4 158:9</p> <p>frame [1] 133:1</p> <p>framework [5] 112:22 139:18 233:20 236:11 256:25</p> <p>frankly [2] 188:3 198:19</p> <p>free [2] 38:24 41:2</p> <p>freedom [4] 37:16 124:4 130:16 139:21</p> <p>frees [1] 92:6</p> <p>frolic [1] 39:10</p> <p>front [1] 22:15</p> <p>front-line [2] 87:16 106:5</p> <p>FTEs [3] 81:15,16 82:7</p> <p>fulfil [3] 110:7 122:11 236:12</p> <p>fulfilment [1] 124:18</p> <p>full [4] 63:22 84:22 122:15 241:11</p> <p>full-time [6] 81:18,20 82:1,7 210:4,5</p>	<p>full-time-equivalent [1] 77:12</p> <p>fully [4] 12:1 37:4 110:1 244:4</p> <p>function [2] 108:7,8</p> <p>functional [2] 78:24 79:6</p> <p>functioning [2] 121:7 129:18</p> <p>functions [1] 107:25</p> <p>fund [6] 67:14 69:5,11 86:14 97:6 100:7</p> <p>funded [3] 99:21 199:5 240:14</p> <p>funding [17] 66:6 67:2,7 68:5,8 69:4 72:17 83:14 89:12,16 90:5,9 105:8 105:15 213:8 214:24 238:8</p> <p>funds [3] 40:7 75:19 102:5</p> <p>funnels [1] 147:21</p> <p>future [2] 55:11 118:14</p> <hr/> <p style="text-align: center;">-G-</p> <hr/> <p>gamut [1] 44:18</p> <p>gather [2] 20:20 190:14</p> <p>gathering [1] 198:11</p> <p>general [24] 5:11 15:8 44:11 47:12 73:11 77:3 81:4 94:8 114:24 129:5 129:19 130:5,7 148:24 178:10 197:7,9 198:9 221:20 223:6,7,21 224:20 260:3</p> <p>generality [1] 129:12</p> <p>generally [14] 7:7 41:5 60:18 65:6 66:22 74:20 78:12 80:12 108:14 144:24 145:19 175:18 197:5 216:23</p> <p>generate [1] 95:14</p> <p>gentleman [1] 49:23</p> <p>gentleman's [1] 50:4</p> <p>gentlemen [3] 197:18 199:16 219:3</p> <p>George [4] 28:23 200:19 200:20 201:6</p> <p>given [25] 8:10 27:22 31:24 42:9 43:17 47:1 47:24 73:11 83:11 86:7 87:7,7 100:3 103:6 106:6 124:4 138:18,18,20 198:12 214:15,18 221:24 227:15 246:23</p> <p>giving [3] 55:18,18 56:19</p> <p>glad [2] 7:17 181:21</p> <p>glance [1] 256:10</p> <p>glass [1] 25:18</p> <p>global [3] 123:7 133:4 241:23</p> <p>goal [4] 12:23 69:3 115:15 209:9</p> <p>goals [5] 109:11,18 117:7 120:1,25</p>
--	--	--	--	---

<p>goes [12] 97:22 99:13,17 104:5 117:6 130:9 164:5 203:18 213:5 217:18 221:1 226:3</p> <p>gone [5] 104:1 135:6 143:18 239:3 247:14</p> <p>good [11] 4:13,16 5:12 32:3 64:8 89:5 120:21 130:21 160:6 181:14 241:11</p> <p>governance [21] 79:4 107:17 108:10,21,24 110:25 113:19 114:10 116:20 117:2 120:3,14 123:7 135:9 138:10,17 141:17 154:16 233:2,4 233:14</p> <p>governing [2] 117:17 236:14</p> <p>government [20] 68:10 72:24 86:4 89:21 94:10 97:6 99:3,16,23 100:14 103:3,7 105:20 220:8 234:10 241:14 255:11,25 256:2,17</p> <p>GP-0002 [1] 117:3</p> <p>GP-0003 [1] 120:7</p> <p>GP-0007 [1] 121:24</p> <p>great [11] 22:20 38:5,7 40:4 59:14 72:20 83:8 84:6 96:23 121:13 256:24 232:16</p> <p>greater [3] 107:2 226:24 232:16</p> <p>greatly [1] 164:10</p> <p>grossing [1] 214:4</p> <p>ground [2] 7:1 135:18</p> <p>group [7] 57:12 99:11 123:4 128:10 147:20 150:10 209:20</p> <p>grouped [1] 116:19</p> <p>groups [2] 148:5 150:6</p> <p>guess [12] 10:4 37:14 47:12 50:4,19 63:3 75:22 161:4 167:4 208:1,12 234:8</p> <p>guidelines [5] 94:13,16 98:9 204:11 207:4</p> <p>Gulliver [1] 178:13</p>	<p>214:16 223:25</p> <p>HayGroup [5] 73:15,16 74:1 77:3 82:6</p> <p>he'd [2] 139:17 154:14</p> <p>headed [1] 152:20</p> <p>heading [3] 171:19 172:1 213:3</p> <p>headings [3] 116:20 154:14,19</p> <p>heads [1] 57:14</p> <p>health [120] 1:10,15 7:2 23:14 24:21 26:3 37:16 37:18 38:19,22 40:9,10 40:19 42:23 43:8,11,25 46:6 48:9 53:18,18 54:25 55:2 58:24 60:8,23,24 62:18 63:7,15,19 64:3 66:2 67:7 68:5,21 69:15 69:18,22 70:3,21 71:12 71:25 72:9,15,20 73:9 73:21 74:3 75:12,16 76:2 76:4,17 82:25 83:9,15 84:17 89:1,20 90:7 94:13 94:21 98:20 99:3,18,20 100:2,14 103:7,16 104:22 105:7,9,16,25 106:2,12 106:22 107:18 110:10,11 110:19 111:13 113:11,25 138:22 139:12 140:9 141:11 143:20 149:2 150:2 154:16 158:4 159:2 161:3,8 163:23 164:4 178:11 183:1 184:6 187:4 189:6 202:12 210:19 217:1 219:12 220:6 251:4 257:6,23 258:5,17,18 259:4 260:7,18,19</p> <p>Health's [2] 86:17 107:23</p> <p>hear [14] 27:15 28:2 31:16,25 47:12 59:16 92:22 152:4 161:24 181:14 202:15 227:21 231:4 239:4</p> <p>heard [10] 14:2 16:16,23 16:24 17:11 161:9 189:22 223:4 245:9 263:5</p> <p>hearing [10] 162:6 189:12,18,24 192:23,23 192:24 193:19 194:19 254:20</p> <p>Heather [10] 48:5,15 51:20,24 52:11 157:15 157:18 166:23 171:8 179:13</p> <p>held [3] 126:16 182:13 253:21</p> <p>help [3] 10:2 122:10,11</p> <p>helpful [5] 18:25 41:6 121:9 212:13 262:7</p> <p>hence [1] 162:20</p> <p>hereby [1] 263:2</p> <p>hesitate [1] 54:2</p> <p>hesitation [2] 37:5 184:25</p> <p>high [2] 118:8 239:13</p> <p>highlights [2] 145:14 153:20</p>	<p>highly [1] 64:1</p> <p>himself [1] 161:25</p> <p>HIROC [6] 49:10,12,24 53:15,22 157:21</p> <p>hiroc.com [1] 50:5</p> <p>hiroc.com. [1] 50:6</p> <p>histopathology [3] 82:3 210:5,17</p> <p>historical [1] 110:18</p> <p>historically [1] 137:14</p> <p>history [3] 65:25 83:14 219:11</p> <p>home [3] 67:5 83:25 240:3</p> <p>honest [1] 200:7</p> <p>honestly [3] 187:10 227:11 254:17</p> <p>Honourable [2] 1:3 263:6</p> <p>honoured [1] 63:24</p> <p>hope [1] 221:22</p> <p>hormonal [1] 164:12</p> <p>hormone [4] 1:2 12:2 161:2 263:4</p> <p>hospital [9] 36:12 37:9 66:24 67:5 69:21 80:24 83:24 178:11 240:8</p> <p>hospital's [1] 36:14</p> <p>hour [1] 253:12</p> <p>hours [3] 81:11 97:17,17</p> <p>House [6] 16:19 17:14 17:25 20:16 21:2 26:14</p> <p>human [3] 93:5,20 102:10</p> <p>hundred [1] 85:1</p> <p>hundreds [3] 68:22 141:10,11</p>	<p>impairment [1] 44:17</p> <p>impediment [1] 55:14</p> <p>implement [5] 81:6 129:8 134:22 138:11 179:4</p> <p>implementation [5] 67:8 78:17,19 79:8 136:5</p> <p>implemented [2] 37:4 180:6</p> <p>implementing [6] 78:6 79:1,3,5 80:23 180:8</p> <p>implications [1] 78:5</p> <p>imply [1] 35:19</p> <p>importance [4] 22:5 40:4 111:22 155:24</p> <p>important [9] 20:21 21:15,20 27:19 37:1 40:8 107:21 153:10 160:2</p> <p>impression [3] 107:13 163:7 186:16</p> <p>improve [2] 71:1 91:12</p> <p>improvement [4] 36:18 38:10 89:6 128:19</p> <p>improvements [6] 77:19 78:24 79:2,3,5 89:2</p> <p>inability [3] 67:14 75:18 84:4</p> <p>inaccurate [1] 35:6</p> <p>inadequacies [3] 196:10 196:23 215:9</p> <p>inadequacy [2] 88:6 199:10</p> <p>inadequate [3] 10:10 214:4 217:16</p> <p>inadequately [1] 199:5</p> <p>inappropriate [7] 9:13 23:12 26:1 30:1 160:9 160:16 222:18</p> <p>Inaudible [1] 246:13</p> <p>incidents [1] 38:11</p> <p>inclined [1] 188:2</p> <p>include [4] 82:6 101:11 126:25 127:1</p> <p>included [1] 186:7</p> <p>includes [1] 16:1</p> <p>including [9] 29:10 66:3 91:22 114:11 153:2 179:11 184:23 189:25 230:12</p> <p>inclusive [1] 137:8</p> <p>inconsistency [1] 33:19</p> <p>inconsistent [1] 239:21</p> <p>incorporated [2] 99:14 179:16</p> <p>increase [3] 101:1,5 238:9</p> <p>increased [1] 106:18</p> <p>increases [1] 95:15</p> <p>indeed [6] 198:8 230:6 230:13 231:3,8 250:12</p> <p>independent [10] 67:19 148:10 159:23 166:8,14 166:20 225:17 229:17</p>	<p>255:24 256:4</p> <p>indicate [1] 204:20</p> <p>indicated [18] 9:17 16:25 17:13 102:5 106:17 115:23 145:10 159:24 162:10 186:12 196:21 198:22 207:19 215:7 226:11 227:14 244:19 251:19</p> <p>indicates [1] 129:14</p> <p>indicating [1] 69:10</p> <p>indication [8] 29:19 32:12,14,25 33:11 129:21 172:25 203:25</p> <p>indicator [1] 50:3</p> <p>individual [1] 260:21</p> <p>individuals [1] 48:24</p> <p>inevitably [1] 237:17</p> <p>infer [3] 47:6 172:11 181:2</p> <p>inference [2] 44:20 167:16</p> <p>inferences [1] 222:17</p> <p>inferred [1] 173:14</p> <p>inflation [1] 101:11</p> <p>influence [1] 159:17</p> <p>inform [3] 22:6 168:2,5</p> <p>information [69] 8:7 12:8 18:6 26:10 30:11 31:9 32:1 34:19,20 37:6 37:14,17,19 38:13,23 41:6 44:2 53:23 65:10 65:18 86:6 87:22 88:1 97:9 99:17 100:3 107:10 126:12 153:2,14 155:25 156:21 158:18,23 172:22 173:5 183:15 184:19,22 185:2,4,15 190:19 195:17 196:23 197:10,19 198:7 198:11,25 199:23 201:16 203:3 212:11 214:15 221:20 224:13 236:21 251:20 258:7,11,15,17 259:6,7,9 260:7,14 261:14</p> <p>informed [9] 31:1,4 53:7 141:7 158:2 161:1 170:2 236:20 244:4</p> <p>informing [1] 242:22</p> <p>infrastructure [5] 83:22 84:25 92:24 93:2 102:9</p> <p>initial [2] 12:2 168:13</p> <p>initiative [1] 107:11</p> <p>initiatives [3] 77:18 78:20 88:17</p> <p>injured [2] 44:9 45:2</p> <p>injuries [3] 37:21 38:3 40:14</p> <p>injury [1] 44:13</p> <p>Inkpen [2] 146:13,17</p> <p>input [8] 7:18 85:25 86:2 95:7,8,25 238:13,15</p> <p>inquiring [1] 215:20</p> <p>Inquiry [4] 1:1 39:4 263:4,7</p>	
<p align="center">-H-</p> <p>half [2] 68:1 253:13</p> <p>halted [1] 23:21</p> <p>halting [1] 24:1</p> <p>hand-in-glove [1] 116:3</p> <p>handling [1] 208:21</p> <p>handwriting [1] 152:24</p> <p>handwritten [5] 163:14 225:11 232:16 249:10,14</p> <p>happening [3] 183:3 201:18 241:6</p> <p>happy [8] 27:15 28:2 45:12 53:22 65:14 136:12 211:7 212:1</p> <p>Hay [8] 72:23 74:12 111:23 209:16,20 214:16</p>		<p>Heather [10] 48:5,15 51:20,24 52:11 157:15 157:18 166:23 171:8 179:13</p> <p>held [3] 126:16 182:13 253:21</p> <p>help [3] 10:2 122:10,11</p> <p>helpful [5] 18:25 41:6 121:9 212:13 262:7</p> <p>hence [1] 162:20</p> <p>hereby [1] 263:2</p> <p>hesitate [1] 54:2</p> <p>hesitation [2] 37:5 184:25</p> <p>high [2] 118:8 239:13</p> <p>highlights [2] 145:14 153:20</p>	<p align="center">-I-</p> <p>idea [4] 59:11 118:24 164:9 254:15</p> <p>identification [2] 109:5 114:12</p> <p>identified [4] 117:3 127:13 168:17 223:10</p> <p>identify [4] 119:24 137:23 179:3 213:24</p> <p>identifying [2] 73:7 132:21</p> <p>IHC [1] 23:21</p> <p>illustrate [2] 111:14,22</p> <p>imaging [1] 90:17</p> <p>immediate [4] 27:6 45:12 92:2 253:10</p> <p>Immediately [1] 110:9</p> <p>immuno [3] 23:12 26:1 30:1</p> <p>immunohistochemistry [2] 178:10 179:5</p> <p>impact [5] 68:13 78:7 83:19 105:7 180:11</p> <p>impacts [1] 120:19</p>	<p>impairment [1] 44:17</p> <p>impediment [1] 55:14</p> <p>implement [5] 81:6 129:8 134:22 138:11 179:4</p> <p>implementation [5] 67:8 78:17,19 79:8 136:5</p> <p>implemented [2] 37:4 180:6</p> <p>implementing [6] 78:6 79:1,3,5 80:23 180:8</p> <p>implications [1] 78:5</p> <p>imply [1] 35:19</p> <p>importance [4] 22:5 40:4 111:22 155:24</p> <p>important [9] 20:21 21:15,20 27:19 37:1 40:8 107:21 153:10 160:2</p> <p>impression [3] 107:13 163:7 186:16</p> <p>improve [2] 71:1 91:12</p> <p>improvement [4] 36:18 38:10 89:6 128:19</p> <p>improvements [6] 77:19 78:24 79:2,3,5 89:2</p> <p>inability [3] 67:14 75:18 84:4</p> <p>inaccurate [1] 35:6</p> <p>inadequacies [3] 196:10 196:23 215:9</p> <p>inadequacy [2] 88:6 199:10</p> <p>inadequate [3] 10:10 214:4 217:16</p> <p>inadequately [1] 199:5</p> <p>inappropriate [7] 9:13 23:12 26:1 30:1 160:9 160:16 222:18</p> <p>Inaudible [1] 246:13</p> <p>incidents [1] 38:11</p> <p>inclined [1] 188:2</p> <p>include [4] 82:6 101:11 126:25 127:1</p> <p>included [1] 186:7</p> <p>includes [1] 16:1</p> <p>including [9] 29:10 66:3 91:22 114:11 153:2 179:11 184:23 189:25 230:12</p> <p>inclusive [1] 137:8</p> <p>inconsistency [1] 33:19</p> <p>inconsistent [1] 239:21</p> <p>incorporated [2] 99:14 179:16</p> <p>increase [3] 101:1,5 238:9</p> <p>increased [1] 106:18</p> <p>increases [1] 95:15</p> <p>indeed [6] 198:8 230:6 230:13 231:3,8 250:12</p> <p>independent [10] 67:19 148:10 159:23 166:8,14 166:20 225:17 229:17</p>	<p>255:24 256:4</p> <p>indicate [1] 204:20</p> <p>indicated [18] 9:17 16:25 17:13 102:5 106:17 115:23 145:10 159:24 162:10 186:12 196:21 198:22 207:19 215:7 226:11 227:14 244:19 251:19</p> <p>indicates [1] 129:14</p> <p>indicating [1] 69:10</p> <p>indication [8] 29:19 32:12,14,25 33:11 129:21 172:25 203:25</p> <p>indicator [1] 50:3</p> <p>individual [1] 260:21</p> <p>individuals [1] 48:24</p> <p>inevitably [1] 237:17</p> <p>infer [3] 47:6 172:11 181:2</p> <p>inference [2] 44:20 167:16</p> <p>inferences [1] 222:17</p> <p>inferred [1] 173:14</p> <p>inflation [1] 101:11</p> <p>influence [1] 159:17</p> <p>inform [3] 22:6 168:2,5</p> <p>information [69] 8:7 12:8 18:6 26:10 30:11 31:9 32:1 34:19,20 37:6 37:14,17,19 38:13,23 41:6 44:2 53:23 65:10 65:18 86:6 87:22 88:1 97:9 99:17 100:3 107:10 126:12 153:2,14 155:25 156:21 158:18,23 172:22 173:5 183:15 184:19,22 185:2,4,15 190:19 195:17 196:23 197:10,19 198:7 198:11,25 199:23 201:16 203:3 212:11 214:15 221:20 224:13 236:21 251:20 258:7,11,15,17 259:6,7,9 260:7,14 261:14</p> <p>informed [9] 31:1,4 53:7 141:7 158:2 161:1 170:2 236:20 244:4</p> <p>informing [1] 242:22</p> <p>infrastructure [5] 83:22 84:25 92:24 93:2 102:9</p> <p>initial [2] 12:2 168:13</p> <p>initiative [1] 107:11</p> <p>initiatives [3] 77:18 78:20 88:17</p> <p>injured [2] 44:9 45:2</p> <p>injuries [3] 37:21 38:3 40:14</p> <p>injury [1] 44:13</p> <p>Inkpen [2] 146:13,17</p> <p>input [8] 7:18 85:25 86:2 95:7,8,25 238:13,15</p> <p>inquiring [1] 215:20</p> <p>Inquiry [4] 1:1 39:4 263:4,7</p>

<p>instance [1] 67:24 instead [1] 121:11 Institute [3] 107:6 206:24 225:18 institution [3] 40:4 49:18 240:4 institutions [2] 238:11 239:25 instruction [1] 123:19 insurance [9] 42:22 43:19 44:8,10 49:4,8,13 50:20 173:3 insurer [1] 160:11 insurers [2] 158:19 159:18 integrated [3] 1:9,15 70:5 integrity [1] 186:1 intended [3] 118:6 184:14 185:14 intending [1] 111:11 intense [1] 63:23 intensive [2] 163:2 165:12 intent [3] 122:22 142:12 156:19 intention [2] 35:17 135:8 intentions [1] 135:25 interaction [1] 14:6 interest [9] 8:9,22 12:14 12:18 53:12 55:19 57:18 186:3 208:15 interested [2] 211:18 255:10 interesting [1] 37:18 interests [1] 53:17 interfere [1] 122:8 interfered [1] 173:4 interfering [1] 56:20 internal [9] 78:4 117:14 118:15 126:18 127:6 217:18 218:4,15 220:19 internally [1] 179:10 internet [1] 10:6 interpret [4] 32:18 33:3 53:21 142:12 interpretation [16] 30:19 78:3 123:25 124:10 127:25 128:3 133:25 134:4,5,11,17,21 135:1 137:16 164:10 177:6 interpretations [2] 124:5,7 interrelated [1] 93:19 interrupt [1] 64:25 intervene [2] 236:15 245:20 intervened [2] 245:2,25 intervening [1] 245:23 interviewed [1] 16:13 introduced [2] 144:19 225:8 investigate [1] 260:25</p>	<p>investigated [1] 164:13 investigating [2] 164:21 221:7 investigation [4] 11:9 63:23 163:2 165:12 investment [2] 79:1,7 investments [2] 82:4 210:6 invited [1] 174:23 involve [3] 61:15 142:1 213:7 involved [22] 21:21 27:18 32:10 33:5 56:23 61:24 63:6 65:1,4 66:2 68:19,21 110:10 111:4 122:23 140:14 159:12 172:7 205:3 222:11 238:7 254:5 involvement [10] 58:2 65:13 87:5 157:9 158:19 158:24 173:2 183:8 237:7 238:21 involves [3] 213:25 216:12 217:23 involving [3] 61:1 78:19 96:1 Island [1] 69:21 issue [29] 5:17 7:23 32:9 32:23 33:13 37:1 40:24 66:20 67:2 82:22 123:16 140:12 145:3 161:2,7,25 163:9 176:12 182:19 189:8 191:15 193:18 198:20 200:9 213:2 216:4 221:13 236:16 251:11 issued [1] 195:5 issues [22] 7:17 33:4 45:15,17,22 47:1 61:24 62:12 63:12 67:7 72:16 80:12 142:18 158:5 160:18 175:19 205:24 213:11 214:7 221:3 223:7 244:3 it'll [2] 19:13 188:7 item [7] 37:13 118:23 174:14 176:6,17 177:2 219:18 items [4] 177:9 215:21 220:14 227:12 itself [9] 26:17 39:24 55:2 125:22 126:14 233:19 255:23,24,25</p>	<p>John's [13] 23:15 26:3 69:15,20 71:12 75:17 76:3 110:12 143:21 164:4 178:11 263:8,11 joined [1] 73:10 Judge [1] 232:3 Judy [2] 263:2,13 July [14] 138:15,16 157:16 159:7,11 160:25 161:10,18 162:1,6 249:11 249:13 250:20 253:11 June [3] 22:10 24:7 138:15 Justice [2] 1:3 263:6</p> <hr/> <p style="text-align: center;">-K-</p> <hr/> <p>keep [6] 8:6 31:4 193:23 243:3 244:18 258:5 keeping [4] 108:24 109:14 176:4 236:19 kept [2] 152:5 240:1 kind [14] 38:12 62:7 63:9 110:23,24 111:2 155:2 162:19 168:1 201:25 225:6 258:16 259:18 261:1 Kingston [1] 154:16 knew [9] 21:2 27:7,25 31:4 162:11 186:20,22 198:24 199:10 knowing [1] 158:25 knowledge [26] 6:19 18:8,10 24:25 26:15 41:3 44:23 45:11,13 62:7 73:12 84:1 91:24 159:13 164:1 183:7 185:10 195:1 197:14 198:21 199:9 200:1 213:7 224:18 230:3 254:4 known [3] 11:19 89:13 159:3 knows [3] 100:2 201:2 212:5</p> <hr/> <p style="text-align: center;">-L-</p> <hr/> <p>lab [6] 178:10 179:6,8,10 218:7 238:1 laboratory [10] 80:21 80:23 81:8,9,14 85:13 91:18 92:13 178:14 210:2 Labrador [5] 68:24 70:21 158:4 263:8,11 Labrador-Grenfell [1] 1:14 Labradorians [1] 261:25 lack [10] 111:24 112:11 184:23 213:8,25 217:23 220:5 223:9 224:19 235:7 ladies [2] 197:17 199:16 lady [1] 194:4 Laidley [1] 171:13 large [1] 75:3 last [26] 18:5 25:13 37:15 66:7 70:20 87:24 89:13</p>	<p>89:14 92:17,20 93:11 103:19 104:1 107:7 119:8 128:11 141:21 142:16 147:2 159:24 164:7 173:11 187:1 188:21 198:13 261:4 late [2] 37:15 70:5 latest [1] 171:11 latter [2] 69:2 203:20 law [3] 39:25 158:2 259:18 lawyer [15] 34:4 49:1,1 49:3,3 50:11,20,22 52:20 53:12 54:14 157:9 187:5 187:5,8 lawyer's [2] 54:15 55:8 lawyers [3] 16:13 173:3 182:24 lay [1] 66:24 lead [2] 94:9 158:16 leadership [1] 118:1 leading [1] 159:2 leads [1] 158:10 learned [4] 9:24 203:14 249:21 250:6 leases [1] 257:2 least [13] 6:2 20:15 29:25 36:14 39:15,18 74:20 98:22 198:4,23 231:9 249:21 256:10 leave [3] 104:15 107:13 245:12 Leaving [1] 258:15 led [1] 33:12 left [5] 92:17 96:22 130:15 192:23 238:17 Legacy [1] 42:24 legal [22] 37:20 38:2 44:14 47:9 160:17 168:1 173:3,14 183:10 204:4 204:22 205:18,21,23,23 206:5,5,8,18 207:5 251:3 251:4 legislation [12] 109:11 138:18 235:15,16,19 255:17 256:6,13,20 259:8 259:10,18 legislative [4] 108:25 109:10 233:20 236:12 legislatively [1] 235:25 legitimate [1] 221:5 less [8] 34:14 41:16 43:20 44:24 88:12 108:15 186:17 238:17 letter [21] 18:9 26:13 34:25 35:24 49:2 50:11 50:18,19,22,24 51:3,11 52:8,8,9,24 163:13 165:21 167:15 168:15,18 level [42] 9:12 10:10 12:10 15:14 37:2 63:3 65:13 68:4 85:24 95:12 96:22 97:21 105:11,14 110:4,5 116:1 118:8,14 136:16 139:20,21,24 141:17 142:15,19 145:18</p>	<p>172:23 173:20 183:18 191:14 205:3 208:16 209:10 238:7,14,16,21 239:13 241:6 242:4 251:18 levels [4] 66:3 95:4,8 141:12 liability [22] 42:22 43:19 44:7,8,10,14,14,15,16 44:17,18 46:25 47:9,14 204:4,23 205:19,24 206:5 206:5,19 207:5 life [2] 13:21,22 light [5] 197:14,21 198:20 199:9 256:1 limitation [3] 133:4,13 133:18 limitations [9] 116:21 120:13 121:3 128:12 129:2,24 130:10 132:20 243:17 limits [1] 139:22 line [4] 25:17 39:6 195:17 222:10 lines [2] 108:18 139:8 link [2] 91:25 146:11 linked [1] 116:9 list [6] 3:1 92:16 96:25 225:14 237:19 261:8 listed [1] 117:12 listening [3] 186:13,14 186:25 listing [1] 117:5 lists [2] 90:13 95:14 literally [1] 141:10 litigation [5] 23:15 26:4 40:6,18,25 litigation-driven [2] 39:14,23 live [2] 100:9,10 local [1] 190:4 located [1] 204:12 longer [2] 188:7 258:7 look [27] 19:2,8 29:3 47:18 52:10 74:25 75:10 114:9 127:16 139:7 152:25 154:14 158:15 159:6,23 165:7 166:12 167:8 175:17 192:9,13 203:23 206:12 213:22 229:2 261:22 262:2 looked [9] 18:4 29:24 48:5 135:17 163:16 171:7 175:13 212:25 250:4 looking [15] 22:10,21 32:22 44:6 53:6 55:1 71:4 102:7 104:22 152:9 177:18 180:25 227:20 231:21 246:8 looks [4] 80:4 153:3 177:5,7 lost [3] 63:18 68:22 98:17 love [1] 104:3 lower [1] 167:5 lucky [1] 174:12</p>
--	---	--	--	--

Inquiry on Hormone Receptor Testing

<p>LUNCH [1] 188:13 lunchtime [1] 56:3</p> <hr/> <p style="text-align: center;">-M-</p> <p>ma'am [13] 193:23 198:18 205:10,15,17 209:14 218:5 228:9 232:23 243:15 244:8 252:25 253:19</p> <p>MAC [12] 95:5 144:7 146:8 147:1,4,12 148:7 149:2,13,14,17,19</p> <p>MACs [1] 148:16</p> <p>Madam [3] 40:23 111:11 175:17</p> <p>Madame [1] 19:17</p> <p>magnitude [1] 257:11</p> <p>mail [1] 158:14</p> <p>main [1] 155:8</p> <p>maintain [3] 84:5 87:16 103:7</p> <p>maintenance [1] 86:19</p> <p>Majesty [1] 1:8</p> <p>major [2] 68:4 85:19</p> <p>majority [1] 148:22</p> <p>makes [3] 130:3 179:17 236:8</p> <p>man [1] 201:2</p> <p>man's [1] 35:20</p> <p>manage [1] 160:18</p> <p>management [15] 24:18 26:6 45:22 48:13,16 79:2 81:9 112:15,20,21,22 123:7 140:11 196:24 199:1</p> <p>manager [5] 10:23 11:8 39:20 58:16 179:11</p> <p>managers [3] 63:10 95:4 96:2</p> <p>managing [2] 59:6 72:16</p> <p>mandate [6] 36:24 62:18 109:10,15 138:19 236:12</p> <p>mandated [1] 72:24</p> <p>mandates [1] 103:6</p> <p>manipulation [1] 164:12</p> <p>manner [3] 133:20 136:22 221:15</p> <p>manual [1] 198:6</p> <p>March [3] 1:4 263:5,12</p> <p>Margaret [1] 263:6</p> <p>marked [4] 5:4 151:7 175:21 179:1</p> <p>marshal [1] 244:3</p> <p>massive [1] 240:14</p> <p>mat [1] 4:5</p> <p>match [1] 74:8</p> <p>material [1] 229:23</p> <p>materials [1] 39:19</p> <p>matter [2] 8:13,13 16:3 17:12 22:5 28:4,14 41:1 41:16,20 51:25 119:23 162:12 175:18 199:22</p>	<p>212:13 237:7,8 251:6 261:19 263:3</p> <p>matters [15] 16:1 21:22 22:6 44:21 72:22 87:22 142:20 146:22,23 149:17 203:19 212:10 213:8 221:8 261:13</p> <p>may [65] 20:16 21:6,12 23:13 25:5,5,6,13,15 26:2 28:25 29:2 30:18 31:12,14 32:1 38:9,19 39:23 41:16 44:22,22 55:10 90:18 91:11 94:16 97:1,5 98:13,14,17 99:19 114:4,8 122:21 125:18 125:20,21 127:4,9 131:12 134:13 137:5 161:9 168:20 173:11,11 181:25 181:25 182:2,24 195:15 202:23 203:7,12 219:6 222:17 236:16 238:2 242:18 248:9 250:18 251:4 253:21 256:21</p> <p>mean [15] 51:16 55:1 84:1 85:8 106:25 129:13 147:14 191:21 200:20,22 205:21 240:6,10 248:19 252:4</p> <p>meaning [1] 82:21</p> <p>means [10] 107:23 115:9 119:17,19,22 125:11 152:14 158:25 234:5 263:10</p> <p>meant [1] 187:9</p> <p>mechanism [1] 244:5</p> <p>media [14] 29:10 173:2 186:12 189:13,18,25 192:14,19 194:20,23 195:22,23 203:23 244:1</p> <p>medical [10] 143:19 146:10,11,12,14,22,22 149:6,8,12</p> <p>Medicine [1] 178:14</p> <p>meet [2] 130:16 147:7</p> <p>meeting [22] 126:1 143:3 145:11 152:6,8 154:2,17 154:24 155:3 156:22 157:11 163:15 166:5 174:5,11 175:11,23 176:6 181:3 225:13 228:15 229:9</p> <p>meetings [2] 153:18 222:13</p> <p>member [5] 11:13 49:18 141:25 146:21 147:5</p> <p>Members [1] 1:11</p> <p>memo [15] 16:16,18,21 19:18 22:9 23:10 24:1,4 24:5,15,25 26:9,10 28:21 29:24</p> <p>memoranda [1] 28:8</p> <p>memorandum [2] 30:8 32:22</p> <p>memory [4] 80:8 192:18 227:3 229:24</p> <p>memos [7] 16:6,10,11 16:14 20:14 21:20 27:7</p> <p>men [1] 186:1</p>	<p>mental [1] 154:15</p> <p>mentioned [6] 16:12 60:8 66:8 130:21 160:24 185:24</p> <p>Mercy [1] 66:24</p> <p>merged [2] 69:2 72:11</p> <p>merger [2] 69:19 76:4</p> <p>message [7] 157:15,17 166:22 167:6 168:12 181:24 208:13</p> <p>messages [1] 166:17</p> <p>met [1] 115:20</p> <p>method [2] 11:18 209:6</p> <p>Methodology [1] 179:9</p> <p>microscope [1] 85:13</p> <p>mid [2] 69:23 71:10</p> <p>middle [3] 25:23 68:19 153:2</p> <p>might [23] 7:22 13:20 20:21 25:18 39:2,2 41:3 55:11 112:15 129:6 135:1 138:15 148:19,19 173:1 177:19 188:2 204:5 224:7 239:15,16 253:5 256:12</p> <p>milady [1] 55:4</p> <p>Miller [2] 240:3,22</p> <p>million [17] 76:8,10,12 76:19 77:10 83:17 85:1 91:11 97:2 100:23,24 101:18,19,24 103:25 104:1,2</p> <p>millions [1] 68:22</p> <p>mind [8] 7:25 36:8 40:1 40:1 64:20 176:4 180:25 219:2</p> <p>minds [1] 231:9</p> <p>mine [1] 186:20</p> <p>minister [14] 75:12 173:10 175:23 176:6 256:8,21 257:1,8,10,23 258:8,9 259:6 260:19</p> <p>Minister's [1] 89:15</p> <p>Ministers [1] 90:10</p> <p>minuscule [1] 40:14</p> <p>minute [2] 5:25 41:15</p> <p>minutes [30] 102:19 142:23 143:5,12 145:7,8 145:13 146:1 152:8 153:9 153:12 154:17 155:11,20 162:24,24 163:16 165:7 165:9 174:4,9,21 175:13 175:20 176:22 177:1,18 226:25 229:8 250:3</p> <p>mislead [3] 35:17 184:14 185:16</p> <p>misleading [1] 35:14</p> <p>mismatched [1] 69:7</p> <p>misrepresentation [1] 121:15</p> <p>miss [1] 202:2</p> <p>missed [2] 201:8 202:19</p> <p>misunderstanding [1] 121:14</p> <p>mix [1] 221:6</p>	<p>model [31] 7:7 13:2,13 14:14 107:17,22 108:10 108:10,15,21,22 109:9 109:16 110:25 111:15 113:3,12 114:10,24 125:13 135:9 136:1 138:11,17 149:1,2 232:23 233:2,4,9 235:20</p> <p>modelled [1] 206:23</p> <p>modified [2] 108:23 233:4</p> <p>moment [14] 19:7 39:22 55:14 98:17 151:1 160:24 174:12 176:3 195:3 237:1 243:2,8,8,10</p> <p>moments [2] 152:9 188:4</p> <p>Monday [3] 176:1 262:12,14</p> <p>monetary [1] 213:7</p> <p>money [27] 89:20 90:19 91:11,14,17 92:5,7 97:2 101:3,5,7,7 104:3,22 106:7 213:22,25 215:22 216:12 217:2,23 220:7 223:9 224:19 238:9 240:2 241:14</p> <p>monitor [1] 125:12</p> <p>monitored [2] 128:1 140:18</p> <p>monitoring [28] 108:19 109:24 112:14 113:8 114:21 124:21 125:9,16 125:19,25 126:2,5,11,19 127:10 130:22,23 132:11 132:15 134:1 135:7 136:6 141:14 246:20,22 247:15 247:16,25</p> <p>monitors [1] 85:12</p> <p>month [1] 138:15</p> <p>monthly [1] 125:20</p> <p>Montreal [1] 226:3</p> <p>moratorium [1] 68:3</p> <p>morning [11] 4:13,16 102:18 105:24 150:20 168:16 211:19 214:15 220:2 224:2 226:23</p> <p>Moss [2] 263:2,13</p> <p>most [2] 10:9 68:2</p> <p>motive [2] 31:3 71:7</p> <p>motives [2] 34:16 35:20</p> <p>Mount [5] 164:19 175:24 179:7,16 225:19</p> <p>mouse [4] 22:13,15,17 205:16</p> <p>move [8] 92:12 97:7 106:14 107:2 124:11 129:11,21 243:2</p> <p>movement [1] 124:4</p> <p>moving [2] 64:15 106:15</p> <p>Mrs [6] 113:20 132:10 150:21 151:10 188:7 262:5</p> <p>Ms [748] 1:16 2:2 4:3,13 4:15 5:6,14,20 6:4,13,18 6:22 7:3,10 8:5 9:4,9,16</p>	<p>9:21 10:15,25 11:4,15 11:21 12:6,24 13:6,10 13:16,23 14:8,17,23 15:3 15:9,15,20 16:2,7,15,22 17:4,10,18,23 18:19,24 19:4,10,14 20:4,10,17 20:24 21:7,11,16,23 22:4 23:4,5,17,23 24:3,8,12 24:20 25:1,8,12 26:8,19 26:24 27:9,14 28:12,17 28:24 29:12,21 30:4,9 30:15,21,25 31:8,13,17 31:21 32:4,13,17,24 33:6 33:10,20,24 34:3,7,11 34:18,23 35:3,7,11,15 35:21 36:5,9,16,22 37:10 37:22 38:4,8,25 39:6,22 41:3 42:9,11 43:4,5,14 43:23 45:3,10,18,23 46:3 46:8,13,18,22 47:3,15 47:19 48:1,8,14,20,23 49:5,9,15,20,25 50:7,13 50:21 51:14,19,23 52:6 52:16,21 53:2,9,14,20 55:5,22,24 56:4,12 57:1 57:5,17,23 58:3,11,15 58:19,22 59:2,7,13,18 59:22 60:5,10,15,20 61:3 61:8,18 62:3,9,13,21 63:13 64:9,13 65:2,8,19 65:24 66:16,21 68:11,17 69:17 70:1,9,15,19 71:14 71:20 72:1,5,10,19 73:2 73:6,18,22 74:2,7,16,22 75:21 76:15,24 77:6,17 78:11 79:10,15,20,24 80:9,16,25 81:17,21,25 82:10,16,20 83:1,5,16 84:10,14,21 85:11,16 86:10,21,25 87:9,14,19 88:5,11,18,24 89:9,17 89:23 90:2,8 91:9,19,23 92:9,14 93:10 18 94:1 94:11,19,25 95:16,20,24 96:8,16,21 97:15 98:6 98:12,24 99:5,9 100:1 100:16,21 101:2,6,10,15 101:22 102:3,24 103:9 103:13,18,23 104:11,18 105:3 106:9,16,24 107:3 108:1,11,17 110:17 111:5 111:20 112:8,17 113:7 113:14,21 114:2,13,18 115:1,7,13,21 116:7,13 116:23 117:9,18,23 118:3 118:7,13,18,25 119:5,21 120:16,24 121:5,18 122:2 122:18,25 123:13 124:1 124:8,20 125:1,6,14 126:7,22 127:12,18 128:7 128:13,21 129:4,25 130:6 130:12,18 131:14,20 132:7,13,24 133:7,14,21 134:2,24 135:11,19 136:2 136:24 137:3,20 138:6 138:12,25 139:4,10 140:2 140:15,21 141:1,9 142:3 142:7,14,24 143:14,22 144:3,10,17,22 145:5,21 146:9,19 147:13,17,23 148:2,6,13,20 149:22 150:7,12 151:14,19,24 152:10,17,21 153:6,16</p>
---	--	--	---	--

<p>154:6,22 155:5,14 156:7 156:18,23 157:3,23 158:6 158:20 159:5,10,21 160:12,20 161:11,19 162:2,7 163:20 165:3,11 165:16,25 166:9 167:1,4 167:9,12,17,22 168:4,11 168:12,24 169:18,22 170:3,7,14,21,25 171:9 171:23 172:8,14,19 173:7 173:25 174:15 175:5,14 176:8,14,18,23 177:10 177:15,24 178:3,16,21 179:20,24 180:15,21 181:4,17,24 182:8,15,20 183:4,12,16 184:1,9,16 185:7,18 186:11 187:18 187:19 188:9,16,18,25 189:4,8,14,21 190:1,6 190:11,17 191:1,5,9,20 192:1,5,10,15,20 193:1 193:5,9,15,25 194:7,13 194:18 195:14,25 196:8 196:21,25 197:4,8,24 198:3 199:2,6,11,20 200:5,12,16,21,25 201:9 201:15,21 202:3,9,20 203:4,9,15 204:7,15,25 205:7,11,20,25 206:7,21 207:7,16,25 208:5,11 209:3,8,24 210:8,12,18 210:23 211:5,11,15,21 211:25 212:6,17 213:10 213:17 214:1,6,10,14,22 215:5,25 216:3,5,9,15 216:19 217:3,7,12,19,24 218:6,11,16 219:10,10 219:16,21 221:15,23 222:2 223:13,17,22 224:6 224:21,25 225:21 226:8 226:13,18 227:4,8,23 228:6,10,17 229:5,10,14 229:19,25 230:7,20,25 231:5,11,16,25 232:6,10 232:14,20 233:5,11,16 233:22 234:1,7,13,17,22 235:4,9,13,21 236:1,10 236:17 237:2,10,20 238:3 238:12 239:1,12,17,22 240:5,9,16,24 241:5,9 241:19 242:3,7,21 243:4 243:11,19,25 244:13,17 244:23 245:6,11,15,24 246:24 247:3,8,12,21 248:1,5,10,14,18,22 249:1,6,16,25 250:8,14 250:23 251:7,12,17 252:3 252:10,15,21 253:2,22 254:1,8,16,22,25 255:4 255:6,8,13,20 256:3,14 258:12,20,25 259:13,19 259:25 260:11,15 261:5 261:9,21 262:7,8</p> <p>multiple [1] 126:13 must [2] 91:3 188:5</p> <hr/> <p style="text-align: center;">-N-</p> <hr/> <p>name [6] 17:12 50:4 65:15 120:9 128:19 258:7 named [1] 140:9 names [1] 196:12</p>	<p>Nancy [1] 171:13 national [7] 37:2 63:21 107:4,11 176:1,12 206:23 nature [7] 8:14 24:17 26:5 141:8 258:10 259:24 261:11 near [3] 180:9 198:10 257:19 necessarily [2] 128:4 165:17 necessary [6] 84:15 100:9 147:6 186:18 192:13 209:10 need [22] 62:8 66:19 74:8 85:23,25 87:25 93:19,20 93:20 98:13 135:2 136:9 136:10 166:15 174:8 223:24 240:23 246:1 253:9,14 257:20 260:6 needed [4] 14:12 20:6 179:4 221:17 needs [25] 67:15 69:5,11 84:24,25 85:2,5 92:24 104:5,23 105:4,12,18,19 119:10 154:15 164:21 221:20,24,25 239:5 241:16,21 260:5,5 negative [3] 78:7 137:13 171:19 negotiated [1] 89:21 neither [1] 224:9 never [15] 26:18,20 38:12 86:5 122:8 135:20,21 139:16 159:25 162:15,18 164:22 197:9,11 241:21 nevertheless [1] 155:4 new [22] 21:4 88:17 90:25 97:2 101:3,5,7,7,16 107:10 109:2 110:21 132:4 138:18 149:11 195:16 237:25 251:20 255:16 256:6 259:4,8 Newbury [2] 1:13 189:8 Newbury's [1] 196:21 newer [1] 164:16 Newfoundland [11] 40:5,10 68:24 70:21 90:6 106:23 110:19 149:24 153:4 263:8,11 Newfoundlanders [1] 261:25 news [4] 166:6,14 182:3 194:5 next [22] 41:24 42:14,18 44:4 55:21 68:25 76:2 76:10 98:18 111:11 120:6 123:4,16 124:14 128:10 134:9 149:15 153:18 171:3 177:2 181:6 255:17 nine [1] 143:4 NL [3] 1:8,13 175:25 non [1] 44:17 none [1] 226:24 nonetheless [3] 32:8 103:24 105:18 nor [1] 219:17</p>	<p>normal [2] 208:22,23 normally [6] 13:2 38:3 146:24 151:18 178:19 191:10 note [4] 120:10 163:14 171:12 180:18 noted [3] 5:25 112:11 174:20 notes [22] 29:6 152:5,6 155:2,4,10 161:15,17 175:9,11,22 176:7,21 181:5,10 225:12 226:22 229:23 230:10 232:16 249:10,15 nothing [5] 110:20 149:1 235:25 236:2 262:11 notification [1] 171:16 notified [10] 183:25 191:25 194:24 195:2,7 195:22 196:4 197:20 253:10,15 notifying [1] 159:4 noting [1] 154:1 November [4] 132:14 174:5,10 175:12 now [119] 17:5,7,19 19:20 25:24 28:20 29:24 31:20 36:2 42:6,6 48:18 55:20 58:14 59:25 63:6,18 64:16 66:7 70:6,12,14 70:25 73:15 74:12 77:2 77:20 78:15 80:7 82:12 82:24 84:23 89:5,12 92:20,22 98:20 102:4 105:23 106:12 113:18 114:8 115:4,19 116:2 118:6 119:14 121:3 123:4 125:9,10,11 126:10 128:10 129:24 130:21 134:6 138:22 139:25 141:19 144:15 149:19 151:10,22 153:25 155:19 155:20 156:2 157:6,20 158:14,23 160:6,24 161:14,22,23 162:24 163:10 165:6 166:3,16 166:19,24 167:8 168:15 168:19 171:3,6 172:22 175:8 176:4 177:13 178:6 180:18,24 184:20 185:6 186:6 190:21 194:21 196:4,16 207:10 209:13 210:11 212:22 215:14 217:8 219:25 221:13 226:6 232:15 241:11 242:10 246:18 247:6 249:4 251:1 nowhere [1] 257:19 number [48] 19:20,22 43:12 55:25 78:18 83:12 84:1 87:10,21 114:11 118:1 119:6,7,7,14 124:14 126:25 128:25 131:10,12 132:4 133:10 140:11 141:19 143:6 145:2 150:22 157:6,16 157:19 164:11,17 168:11 171:20,21 172:3,3,4,4 183:21 184:22 192:14 193:10 198:6 212:10</p>	<p>214:2 240:23 246:7 numbered [2] 129:1 133:11 numbers [12] 38:10 43:8 131:1,4 145:24 153:4,4 164:8,14 171:11 182:4 191:21 nurses [1] 8:21 nursing [3] 61:10 67:5 83:25</p> <hr/> <p style="text-align: center;">-O-</p> <hr/> <p>O'Dea [1] 1:16 oar [1] 239:16 objected [1] 55:5 objection [1] 41:17 objective [5] 41:14 67:11 120:23 135:8 179:2 objectives [4] 75:10,11 109:12 130:16 obtain [1] 122:16 obviously [12] 28:2 58:4 61:4 62:25 90:22 93:6 126:11 145:15 218:1 223:23 245:25 260:1 occasions [1] 193:10 occupy [1] 5:10 occur [1] 194:10 occurred [7] 69:1 181:12 210:17 211:3 220:13 254:18,21 occurrence [2] 44:12 160:10 October [14] 48:6 166:8 166:15,21,23 168:10,20 168:22 170:18 171:6 172:11 178:15 194:21 212:21 off [5] 25:21 39:9 66:25 132:22 240:2 offered [1] 202:18 office [2] 83:25 244:6 officer [20] 109:9,20 121:8,11 122:9,15 123:11 123:17,20,24 124:16,17 126:1,10,15 127:24 129:8 129:14 134:12 141:15 Officer's [1] 134:4 official [5] 123:8 244:5 260:17,18,24 officials [1] 99:12 officio [4] 71:24 72:14 110:11 147:4 often [7] 7:12 71:7 98:8 100:5 109:12 152:24 193:16 old [3] 131:10,12 256:13 omissions [1] 44:16 once [2] 99:2,22 oncologist [1] 11:25 oncologists [2] 6:2 57:12 oncology [1] 27:7 one [109] 14:14 17:9 21:1 21:6,8,14 23:10 28:21</p>	<p>29:25 34:10 38:20 41:15 42:18 43:20 48:10 51:15 51:18,22 52:10 63:14,23 65:1,7 75:2 76:25 80:24 82:3 83:20,20 86:12 87:10,21 88:2 90:18,21 91:25 97:8 103:6 104:25 108:15 110:15 113:19 117:2,3 119:6 120:8 121:8 122:10 123:6,16 128:6,11,16 129:7 131:2 131:4 132:11 133:10 136:3,5 147:20 149:20 152:2 157:10 158:23 161:5 164:24 165:17 168:8 171:3,4,21 174:19 178:7 181:21 185:12 188:20 189:17,24 192:23 192:23 204:13,14,18,19 212:9 218:17 222:7 224:17 236:25 237:24 238:10 240:3,20 241:3 241:12 242:15,22 243:1 243:5 246:10 248:8 249:2 249:12,13 255:9 256:12 258:3,4 onerous [1] 5:9 ones [7] 20:14 80:20 123:5 128:11 151:17 174:8 215:21 ongoing [4] 136:15 160:22 163:2 165:12 open [1] 162:14 opening [2] 130:3 188:19 operate [8] 75:18 109:13 110:20 129:17 144:25 174:2 238:11 257:4 operated [2] 139:12,14 operates [1] 109:20 operating [13] 76:6,7 77:8 91:3 95:19 97:2 100:22,24 103:8,22 104:9 108:22 139:11 operation [3] 139:22 151:12 236:3 operational [22] 73:8 75:11,15 96:5 108:8 115:10 119:23 123:9 136:16 140:16 141:16 142:18 146:23 159:19 205:3 214:17 235:19 238:6 240:10,10 241:6 242:4 operationalized [1] 141:4 operations [9] 63:7 83:12 110:16 118:20,21 120:4 122:24 140:19 146:12 opinion [6] 14:22 15:2 15:10,11,24 55:19 opinions [1] 244:4 opportunities [2] 109:7 121:14 opportunity [18] 8:16 10:19 38:25 71:23 72:14 74:19 80:8 95:6 106:14 113:11 134:11,15,22 137:10 147:8 186:22</p>
--	--	---	---	---

<p>225:3,5 opposed [4] 77:18 118:15 154:2 234:2 opposite [1] 35:8 order [8] 28:1 66:19,20 67:2 73:17 104:10 154:19 216:10 ordinarily [1] 8:1 ordinary [2] 58:7 142:2 organization [64] 37:15 45:1 49:13 53:19 60:23 62:25 63:8,25,25 64:6 77:24 93:4 94:6,12 95:8 96:11 98:14 99:11 107:7 115:19 116:9 118:10 122:24 124:24,25 125:4 126:13 129:10 136:14 138:23 140:20 141:4,8 141:13 147:21 148:9 149:1,9 150:5 151:12 155:24 158:17 159:20 160:17 162:1 168:22 169:4 170:20 172:12 173:12,17,22 175:3 185:1 185:22 208:19 224:11 236:3 237:14 250:6 251:23 253:4,17 260:8 organization's [3] 115:17 123:9 160:10 organizational [4] 120:19 123:21,22 159:1 organizations [8] 42:24 43:10 76:5,25 85:6 110:13 145:8 185:21 organizing [1] 78:20 original [2] 14:16 149:19 originated [1] 98:2 orthopaedic [1] 90:24 orthopaedics [1] 90:17 otherwise [5] 10:2 53:24 92:7 130:15 236:7 Ottawa [1] 68:23 Ottenheimer [3] 257:10 257:16 262:16 ought [1] 28:10 ourselves [1] 136:7 outcome [6] 77:2 120:25 177:22 214:19 261:23 262:1 outcomes [3] 82:21 120:20 206:15 outline [2] 114:24 174:25 output [1] 82:21 outreach [1] 119:9 outset [2] 86:16 103:5 outside [1] 27:6 outward [1] 117:13 overall [2] 113:1 180:11 overhead [1] 44:22 overrule [1] 245:21 overview [1] 15:13 own [9] 7:25 13:14 22:13 39:10 95:14 149:5 233:21 234:6 236:9 owned [1] 44:17</p>	<p style="text-align: center;">-P-</p> <p>P [7] 112:2 150:23 151:1 151:7 175:9 180:18 204:12 P-0018 [6] 143:3 155:20 162:23 165:6 174:6 176:3 P-0019 [1] 130:25 P-0033 [3] 74:25 75:4 112:14 P-0039 [2] 79:24 209:12 P-0046 [1] 212:22 P-0053 [3] 111:19 113:17 242:14 P-0056 [1] 205:14 P-0057 [2] 140:7 204:13 P-0073 [1] 157:12 P-0081 [1] 163:12 P-0086 [1] 166:13 P-0088 [1] 166:21 P-0092 [2] 48:4 168:10 P-0095 [1] 171:4 P-0106 [1] 181:23 P-0112 [1] 28:20 P-0113 [1] 18:14 P-0119 [4] 3:2 4:24 5:4 38:20 P-0120 [4] 3:3 151:7 177:2 225:9 P-0121 [3] 3:3 151:7 178:9 P-0122 [4] 3:3 152:2 225:9,10 page [52] 19:20,24 20:1 22:23,25 28:20 42:2,20 75:7 78:16 80:2 112:13 114:7 117:4 121:24 128:18 131:1,4,10,12 132:4 143:4,11,18 152:15 152:15 174:7,13,21,21 175:9,21,21 178:25 180:2 180:3 204:13,14 205:14 206:12 209:13 213:5,5 225:14,14,16,24 242:14 243:15 246:7,17 249:14 pages [1] 19:22 paid [2] 214:4 217:16 panel [21] 5:18,19,23 6:1 6:7 9:1 10:23 12:10 14:4 39:21,24 56:11,19,24,25 57:11 58:17 59:12 207:12 207:22 208:18 panels [1] 7:9 paper [3] 41:24 42:8,9 paragraph [26] 22:21 23:2,8 28:21 29:3,4 44:5 76:1,2,6 119:14 120:10 122:9,12 127:21 128:24 130:3 155:21 158:9,9 162:25 164:7 165:7 167:8 174:21 179:1 paragraphs [2] 129:1 133:11 paramount [1] 155:24</p>	<p>paramountcy [1] 13:14 paraphrasing [1] 173:13 Parsons [1] 171:13 part [33] 11:8 38:23 48:15 57:6,7 61:19 62:14 62:22 63:24 67:8 69:3 75:9 95:13 98:3 104:25 143:8 144:7 167:6 198:14 203:20 204:6,24 206:6 206:18,19 207:6 240:13 240:17 252:2,9,14,19,23 particular [22] 23:10 24:16 27:20 38:20 41:5 55:15 60:24 66:6 106:19 144:6 148:24 168:19 179:1 202:19 215:18,21 219:18 221:2,9 241:23 245:19 248:19 particularly [3] 102:8 181:7 185:25 parties [1] 157:16 partner [2] 255:25 257:21 partners [1] 257:22 parts [1] 134:1 pass [2] 16:5 44:4 passed [2] 32:2 131:15 past [7] 37:24 63:19 93:12,13 185:20 188:24 231:20 Pastoral [2] 46:12 60:9 pathologist [4] 163:23 214:5 216:21 217:17 pathologists [8] 57:13 91:22 93:15 148:18 164:24 176:2,13 177:3 pathology [9] 15:7 16:1 27:6 81:15 82:4 179:11 210:3,6 211:2 patience [1] 255:1 patient [58] 7:21,24 8:3 8:10 9:3 11:25 12:15 13:4 14:7,24 15:22 23:13 26:2 30:2 32:9,23 33:4 33:14,18 36:3,4,13 37:8 37:21 38:3 39:16 40:9 40:14,16 50:11 56:16,21 57:8,16,18,21 58:1,2,4 61:13,14 77:19 78:8 81:11 87:11 107:2,5 155:23 189:10,19 206:24 207:14,23 208:16 209:9 251:6 252:5 258:22 patient's [2] 13:14 15:4 patients [52] 7:8 8:9,24 12:19 14:20 44:9 45:2 45:16 51:13 59:6 60:4 61:23 85:19 156:13 158:5 158:18 159:4 164:17 168:2,5,23 169:6,13,15 170:24 171:20 172:2,17 173:6 183:24 184:15 186:3,10,15 187:1,3,11 189:11 191:25 194:24 195:2,7 196:12,15 199:24 201:11 202:10 203:17 252:12 253:9,14 258:16</p>	<p>Patricia [2] 48:6 167:13 pay [1] 136:23 payments [1] 68:23 payroll [2] 133:19 136:22 peer [4] 185:23 230:18 231:14 232:5 peers [2] 7:13 8:22 Peggy [1] 14:2 people [40] 8:15 9:25 27:7 40:5 61:11 68:2 71:1 77:23,25 81:22,24 82:8 86:1 93:5 96:13 113:12 137:14 150:2,4 160:3 168:11 184:6 186:18,24 189:17,25 191:15 197:19 198:6 201:8 202:2,10,19 203:14 208:20 216:12 228:23 238:16 240:22 252:17 per [2] 44:12 81:11 percent [6] 34:24 43:20 44:24 89:4 146:4 164:18 percentage [4] 41:11 42:23 43:3,18 performance [5] 113:1 125:10,12 127:5 164:10 performed [1] 165:1 perhaps [11] 7:6 111:14 125:10 184:6 219:25 223:4,5 249:19,20 259:17 261:3 perimeters [1] 109:19 period [8] 18:1 43:21 68:20 69:23 72:13 87:4 106:23 132:25 periods [2] 66:25 67:1 permitted [1] 94:14 person [20] 4:8 27:23 55:17 62:24 66:1 121:8 126:9,15 130:19 134:5 142:18 146:23,24 147:5 149:7,16 185:1 222:20 245:10 260:8 person's [2] 105:7 124:9 personal [1] 258:15 personally [4] 84:7 86:4 191:2 196:22 perspective [4] 96:18 130:19 160:6 186:23 perspectives [3] 109:3 109:4 119:16 Peter [3] 189:19,25 190:25 Pg [2] 3:2,3 Pgs [5] 2:3,4,5,6,7 phase [1] 67:18 philosophy [7] 173:16 173:17 251:14,16,23 253:4,16 phone [1] 190:24 phoning [2] 169:10,12 phrase [1] 223:5 phrasing [1] 233:1 physical [1] 91:4</p>	<p>physician [18] 13:5 56:10,16,18,22,24 57:2 57:4,10,15,24 58:8 61:9 207:12,14,22,23 208:22 physician/patient [1] 7:7 physicians [10] 7:11,12 8:21 12:13 62:16 77:22 90:25 148:22 208:14 238:15 pick [1] 27:3 picking [1] 190:24 piece [13] 41:24 51:15,18 51:22 52:10 85:3,17 93:7 158:23 164:16 224:12 237:25 256:20 pieces [2] 34:20 51:25 Pilgrim [3] 48:7 167:14 171:9 place [4] 54:11 128:4,5 247:6 placed [1] 121:6 plan [10] 78:17,19 79:8 93:5 116:3 118:9 170:12 174:25 239:3,21 plans [2] 92:23 94:22 play [12] 11:9 121:4 183:11 204:5,24 206:17 206:19 252:2,9,14,19,23 played [2] 183:10 207:5 player [1] 149:20 playing [1] 206:6 podium [1] 4:8 point [27] 30:22 40:23 41:22 55:7 57:22 84:6 89:2 93:1 97:25 98:5 136:11 137:5,11 146:17 150:1 158:19 164:24 177:20 183:7 186:5 204:11 220:4 222:7,9 237:15 245:19 252:8 pointed [3] 150:3 225:11 249:13 pointing [2] 69:9 221:18 points [8] 117:6,12 145:24 153:10 166:18 174:20 244:3 259:23 policies [45] 107:10 111:12,14 113:19,24 114:16,23 116:2,19 117:2 119:15,19 123:4,20,25 124:6 125:17 127:9 128:10 129:3 133:15 135:6 136:6 138:5 140:6 140:24 141:2,7,12,16,17 141:20,23 142:12 205:4 233:14,14,21 234:6,25 235:8 236:12 242:20 247:15,17 policy [61] 15:14 21:21 21:24 22:7 107:17 108:7 108:10,21,23 110:15,25 114:6,10 117:5,16 118:21 120:6,8 121:24 123:5,18 124:14,15 125:22 126:18 127:16,21,25 128:4,11 128:19 132:17,19,20,21</p>
--	---	---	--	---

Inquiry on Hormone Receptor Testing

<p>133:4,6,12,18,18 134:6 134:23 135:8 138:10 140:9,13,16 154:16 205:1 233:1,4 234:4 236:11,14 236:18 242:16 245:3,5 246:19 247:18 248:9</p> <p>poorly [1] 230:13</p> <p>population [1] 69:7</p> <p>portion [3] 80:6 143:5 155:21</p> <p>portions [1] 75:4</p> <p>poses [1] 29:4</p> <p>posited [1] 249:19</p> <p>position [11] 5:10 46:11 58:18 75:16 81:20 92:21 159:16,22 160:7 208:9 254:14</p> <p>positions [7] 62:17 77:12 77:12 81:9 82:1,1 84:2</p> <p>positive [5] 136:3 137:13 137:19 138:2 164:17</p> <p>positivity [1] 153:3</p> <p>possible [3] 8:23 13:20 14:1</p> <p>potential [4] 160:10 189:9 207:11 235:7</p> <p>practicality [2] 236:2,5</p> <p>practice [11] 8:19 61:9 61:10,20 62:4 64:10 96:2 160:22 185:20 208:22 260:22</p> <p>practices [2] 37:3 63:14</p> <p>practitioners [1] 148:24</p> <p>pre [1] 126:2</p> <p>precedes [1] 163:15</p> <p>preceding [1] 87:5</p> <p>precipitated [1] 73:25</p> <p>precise [1] 19:2</p> <p>precisely [4] 59:23 208:1 228:19 254:18</p> <p>predated [1] 157:11</p> <p>predecessor [1] 76:4</p> <p>Predham [16] 48:6,15 48:23 51:24 52:11 58:15 157:15,18 166:23 167:4 167:12 168:11,12 171:8 179:14 181:24</p> <p>Predham's [1] 58:19</p> <p>prefer [2] 9:19 10:17</p> <p>preliminary [1] 164:8</p> <p>Premier [12] 16:18 17:13 20:13,23,25 21:10 25:4 25:11 26:11,14 92:22 102:4</p> <p>Premier's [1] 92:19</p> <p>premise [2] 220:21 221:1</p> <p>premiums [1] 44:21</p> <p>preoccupation [1] 117:14</p> <p>preparation [3] 94:9 244:9,11</p> <p>prepared [4] 140:18 174:22 178:12,12</p> <p>preparing [1] 216:20</p>	<p>prescribe [2] 117:6 123:21</p> <p>presence [2] 39:20 58:15</p> <p>present [10] 66:4,20 85:5 85:5 86:3 111:2 126:2 130:9 181:20 231:10</p> <p>presentation [4] 143:8 153:11 155:13 227:15</p> <p>presentations [1] 153:21</p> <p>presented [14] 18:5,6 27:16 134:7 144:15 145:11 153:15 157:6 161:16 165:23 175:2 186:7 224:12 232:15</p> <p>presenting [1] 61:11</p> <p>president [4] 48:9 123:11 146:10 149:6</p> <p>press [5] 182:14 188:2 195:6 253:20 254:6</p> <p>pressures [1] 70:23</p> <p>presumably [4] 58:1 134:19 213:21 234:4</p> <p>presume [3] 98:21 99:4 258:7</p> <p>pretty [5] 12:15 139:13 149:3 181:10 253:7</p> <p>prevalent [1] 207:3</p> <p>prevent [2] 4:7 235:18</p> <p>prevented [1] 158:17</p> <p>previous [1] 84:2</p> <p>previously [3] 113:13 127:3 157:14</p> <p>primarily [4] 45:17 70:24,24 110:15</p> <p>prime [2] 83:20 252:11</p> <p>Principles [1] 122:1</p> <p>priorities [8] 13:15 97:4 106:3,15 237:8,17 238:8 238:22</p> <p>prioritized [1] 96:17</p> <p>priority [8] 87:6,8,10,21 94:20 97:8 106:7 241:24</p> <p>Pritchard [1] 1:8</p> <p>privacy [1] 259:10</p> <p>privilege [1] 259:23</p> <p>privy [5] 28:7 50:10 51:6 51:7,8</p> <p>problem [12] 24:17 26:5 28:9 55:13 77:5 93:12 105:9 198:25 199:17 221:3,10 250:7</p> <p>problems [6] 189:19 197:18,21 219:20 220:7 223:10</p> <p>procedure [2] 10:7 216:22</p> <p>procedures [1] 129:16</p> <p>proceed [2] 51:12 109:23</p> <p>proceeding [2] 11:18 182:7</p> <p>proceedings [2] 14:3 45:8</p> <p>process [34] 9:7 57:22</p>	<p>81:7 93:3,25 94:5,15 95:13 96:10,24 98:4 99:13,15 100:8 103:1,2 109:24 116:20 120:14 124:21 125:16 135:16,22 138:10 157:9 194:21 198:14 207:12,14,22 221:7 239:25 240:20 256:17</p> <p>processes [7] 78:21,23 79:2,4 113:8 136:6 179:9</p> <p>produced [5] 20:14,22 20:25 21:1,6</p> <p>productivity [5] 78:24 79:6 81:10,12,13</p> <p>products [1] 120:19</p> <p>professional [5] 44:13 61:4,19 62:14 150:6</p> <p>professionalism [1] 171:18</p> <p>progesterone [2] 163:4 164:3</p> <p>program [9] 48:11,16 64:2 90:23,25 91:5 178:13 179:5,10</p> <p>programming [1] 104:10</p> <p>programs [14] 68:5,14 70:4 71:6 90:16 91:25 95:12 98:3 104:4 216:11 240:18 256:18,21 257:24</p> <p>progress [2] 38:2 136:4</p> <p>projected [3] 76:9,10,11</p> <p>projects [1] 101:17</p> <p>promised [1] 258:3</p> <p>property [1] 44:13</p> <p>proportionality [1] 41:16</p> <p>proposal [4] 98:4 179:3 179:17,17</p> <p>proposals [1] 239:20</p> <p>proposed [1] 78:19</p> <p>proposition [2] 161:22 161:23</p> <p>propriety [2] 6:11,17</p> <p>protected [2] 259:9,18</p> <p>proud [1] 64:5</p> <p>provide [16] 10:10,19 53:23 87:20 88:13 93:6 93:21 127:10 129:21 137:4 141:2 144:23 150:25 179:6 212:2 244:5</p> <p>provided [12] 4:18 12:8 36:25 43:24 65:11 145:24 156:21 174:18 199:23 208:17 212:12 229:3</p> <p>provides [3] 63:9 109:5 137:16</p> <p>providing [7] 8:23 37:5 37:18 96:13 190:20 221:19 251:3</p> <p>province [12] 67:14 68:9 68:14,22 69:10 84:4 86:13 92:20 102:5 104:13 139:14 147:14</p> <p>provinces [1] 89:22</p>	<p>provincial [6] 92:8,17 105:11,14,20 220:8</p> <p>provision [5] 53:18 85:18 86:24 251:3 257:24</p> <p>provocative [1] 23:9</p> <p>public [24] 24:25 25:5 25:11 40:1,3 67:16 69:12 77:21,23 78:5 87:20 104:25 166:7,24 183:15 196:14 197:20 201:11 202:6,8 203:22 236:21 236:21 244:11</p> <p>publicly [8] 89:13 156:1 173:21 182:18 183:2 202:10,15 203:17</p> <p>purport [2] 230:10 242:17</p> <p>purpose [4] 40:11 90:20 91:15 219:12</p> <p>pursuant [1] 242:17</p> <p>pursue [2] 105:19 225:4</p> <p>pursued [1] 111:23</p> <p>put [20] 7:20 28:6 39:17 44:8 74:13 89:1 98:17 104:4,10 105:19 113:12 135:9 150:20 161:22,23 168:21 222:2,18 232:25 240:2</p> <p>puts [2] 237:24 239:16</p> <p>putting [5] 47:23 57:13 71:2 219:13 240:21</p> <hr/> <p style="text-align: center;">-Q-</p> <hr/> <p>Q.C [373] 1:6,7,11,14 2:3 2:5 4:3,4,11,21,25 5:5 5:16,22 6:6,15,20,24 7:5 7:15 8:25 9:6,14,18 10:12,21 11:2,12,17,23 12:20 13:1,8,12,18,25 14:11,19 15:1,6,12,17 15:25 16:4,9,20 17:1,8 17:15,21 18:15 19:6,16 19:23 20:2,8,12,19 21:5 21:9,13,18,25 22:8,19 22:24 23:3,7,19,25 24:6 24:10,14,23 25:3,10,14 26:16,22 27:2,11 28:5 28:15,19 29:1,14,23 30:6 30:13,17,23 31:6,11,15 31:19,23 32:6,15,19 33:2 33:8,15,22 34:1,5,9,13 34:21 35:1,5,9,13,18 36:1,7,11,20 37:7,12,25 38:6 39:12 41:13,23 42:3 42:13,17,21 43:2,7,16 44:3 45:6,14,20,25 46:5 46:10,15,20,24 47:11,17 47:22 48:3,12,17,22 49:7 49:11,17,22 50:2,9,15 51:10,17,21 52:4,14,18 52:25 53:4,11,16 54:3,8 169:9 187:23 188:16,17 189:2,7,16,23 190:3,8 190:13,23 191:3,7,11,22 192:3,7,12,17,22 193:3 193:7,11,22 194:2,9,15 195:9,19 196:2,18 197:2 197:6,13 198:1,17 199:4 199:8,13 200:3,8,14,18</p>	<p>200:23 201:4,13,19,23 202:7,17,22 203:6,11 204:2,9,17 205:5,9,13 205:22 206:3,9 207:1,9 207:18 208:3,7,25 209:5 209:11,17,21 210:1,10 210:14,21,25 211:9,13 211:17,23 212:8,19 213:13,19 214:3,8,12,20 215:3,11,17,23 216:2,7 216:13,17,24 217:5,10 217:15,21 218:3,8,13,20 218:24 223:3,15,20 224:4 224:15,23 225:7,23 226:10,15 227:2,6,19,25 228:8,12,25 229:7,12,16 229:21 230:5,9,22 231:2 231:7,13,18 232:2,8,12 232:18,22 233:7,13,18 233:24 234:3,11,15,19 234:24 235:6,11,17,23 236:6,13,22 242:12,25 243:7,13,22 244:7,15,21 244:25 245:8,13,17 246:2 246:9,14 247:1,5,10,19 247:23 248:3,7,12,16,20 248:24 249:3,8,18 250:2 250:10,16,25 251:9,15 252:1,7,13,18,24 253:18 253:24 254:3,13,19,24 262:6,10,15</p> <p>QI [1] 179:13</p> <p>quality [30] 13:21 36:18 48:11,16 58:21 77:18 79:18,21 82:22 88:17 89:6 106:18 128:19 140:10 179:4 214:7,9,19 215:1,9 216:1,10,11 220:5 223:6,23,24 230:18 231:14 232:5</p> <p>quarter [1] 43:20</p> <p>quarterly [1] 125:21</p> <p>questioned [3] 195:1 219:10 221:25</p> <p>questioning [8] 25:17 26:13 39:6 40:11 54:13 219:16 221:15 222:10</p> <p>questions [36] 29:9 36:2 54:7 55:7 56:8,10,15,17 59:25 93:24 102:25 134:10 141:20,22 142:22 143:6 183:2,21 187:14 187:15,18 188:21 195:16 204:4 210:15 212:10 219:23 220:3 221:1,18 222:2,14,21 226:5 237:5 253:1</p> <p>quick [1] 158:14</p> <p>quickly [2] 121:23 140:7</p> <p>quite [9] 55:4 71:6 98:8 100:5 109:12 186:25 192:13 193:16 216:22</p> <p>quote [3] 29:17 133:17 133:24</p> <hr/> <p style="text-align: center;">-R-</p> <hr/> <p>raise [2] 11:24 55:13</p> <p>raised [8] 27:3 41:21 113:4 173:1,19 199:22</p>
--	--	--	---	---

<p>203:19 204:1 range [1] 100:19 rates [1] 153:4 rather [2] 79:18 117:14 rationale [1] 8:18 raw [1] 164:8 Re-examination [2] 2:5 188:16 reaches [1] 97:25 reaction [3] 161:7 162:5 168:13 read [12] 16:10 17:2,16 24:16 25:23,24 44:5 65:4 152:25 167:7 182:1 185:6 reading [4] 50:25 82:12 215:7 217:14 reality [2] 69:10 105:13 realize [1] 258:6 really [28] 10:17 11:6,9 17:19 18:4 27:17,19 41:14 52:11 58:6 80:17 82:11 85:1 99:20 107:4 109:25 120:2 121:1 125:22 199:15 203:21,24 208:8 224:1 230:2 231:23 257:21 258:4 reason [19] 113:1 155:8 155:8 156:9 157:1 162:15 184:10,12 185:13 186:1 191:8 204:22 213:24 217:22 227:9 248:17 249:5 251:2 261:12 reasonable [10] 44:20 123:25 124:9 127:24 128:6,8 130:19 134:5 245:10,22 reasons [7] 76:13 88:2 156:5 184:23 213:4,16 223:11 recalling [3] 77:20 78:13 200:7 receive [6] 14:21 37:19 230:24 247:15 253:15 260:14 received [7] 37:14 78:13 172:2 175:3 247:16 251:5 253:11 receives [1] 94:12 receiving [1] 112:25 recent [3] 37:13 107:8 164:18 recently [2] 63:16 179:23 receptor [6] 1:2 12:2 161:2 164:2,3 263:4 receptors [1] 163:4 RECESS [1] 102:20 recipients [1] 120:22 reciprocal [2] 49:13,19 recognition [1] 110:14 recognize [6] 62:12 65:15 87:25 132:10 153:17 237:18 recognized [3] 63:15 86:18 198:13 recognizing [1] 63:12</p>	<p>recollection [8] 76:13 79:9 145:17 155:12 156:8 226:11 228:19 229:4 recollections [1] 180:25 recommend [1] 6:7 recommendation [7] 14:13 80:3,22,22 209:22 211:22,24 recommendations [25] 5:24 6:9 7:9 9:8 11:19 14:15 56:19,25 57:11,15 67:9 78:6 80:1,5,13 82:5 97:20 174:25 180:5,8,11 214:25 226:17 238:18 239:5 recommended [2] 79:1 79:3 recommending [2] 14:5 39:21 reconciling [1] 100:8 record [4] 54:11 146:2 155:2 165:9 recorded [1] 208:2 recording [1] 181:6 records [2] 202:5 227:1 recruitment [1] 93:14 redesigning [2] 78:21 78:22 reduce [2] 81:14 210:3 reduced [2] 77:13 98:7 reducing [2] 82:7 98:5 reduction [2] 77:11 210:16 reenforced [1] 187:2 refer [16] 75:8 80:14 118:8 121:23 129:7 133:15 163:10 175:8 178:7 181:22 196:9 207:13 212:22 213:11 216:14 229:17 reference [14] 39:4,17 111:24 112:13 127:22 145:23 153:5 176:12 178:6 179:18 180:4,7 205:18 206:4 referenced [3] 179:8 181:2 189:17 references [3] 157:8 225:25 226:2 referred [29] 4:19 16:18 63:17 64:11 71:11 74:14 76:16 83:19 87:23 89:15 107:6 119:11 120:15 127:2 132:12 140:8 143:4 144:11 146:4 147:2 161:17 174:13 207:6,8 209:23 211:19 239:2 246:19 249:12 referring [8] 18:14 20:7 52:2 112:16 117:1 132:19 168:18 218:10 refers [2] 118:19 126:18 refine [1] 135:2 reflect [5] 34:24 162:19 229:11,13 230:14 reflected [3] 119:7 215:2</p>	<p>226:25 reflecting [4] 35:23 119:16 222:8 253:16 reflective [4] 86:12 145:9 181:11 227:10 refresh [2] 80:8 227:3 regard [1] 191:19 regarded [1] 160:8 regarding [1] 112:21 regardless [2] 170:17 182:23 region [2] 84:22 171:22 regional [7] 1:9,15 70:12 109:2 146:25 147:1 259:4 regionalization [2] 67:18 68:25 REGISTRAR [2] 22:16 131:9 regular [7] 38:1 127:11 147:9 207:13,23 208:14 261:15 regularly [1] 146:21 reinforce [2] 118:23 122:6 relate [5] 84:11 93:1 206:11 214:2 220:11 related [9] 21:24 22:6 33:14 47:8 78:20 83:13 220:6 221:3 261:13 relates [3] 24:1 131:6 236:20 relating [1] 220:14 relation [10] 89:12 103:4 112:24 140:6 196:23 207:3 212:13 246:20 248:25 249:11 relationship [17] 7:8 8:2 13:4 54:14,15 56:15,20 116:21 123:6 162:13,20 207:24 208:23 214:24 221:2 255:11 256:2 relative [3] 120:21 163:3 165:13 release [5] 26:12 38:23 155:25 195:6 244:10 released [4] 17:25 26:14 38:23 77:22 relevance [3] 39:3 40:15 47:13 relevant [9] 45:21 46:2 47:23 55:16 181:8 221:9 221:10 243:20,24 reliability [1] 218:19 reliable [1] 179:7 reliably [1] 142:11 relied [1] 30:18 rely [2] 9:1 181:15 remember [9] 5:23 26:9 30:3 136:3 148:8 189:13 227:17 246:15 253:25 remind [2] 58:23 182:2 reminded [1] 166:6 remotely [1] 206:11 removed [1] 77:13</p>	<p>removes [1] 109:7 renovations [1] 101:16 reorganization [2] 70:3 70:23 repeat [2] 25:22 187:11 repeated [5] 12:5 156:9 192:4,4 193:8 repeating [1] 193:17 report [70] 38:10 72:22 72:23 73:7,10 74:12 76:14 77:3,21 78:1,6 79:13,22,25 80:6 111:23 125:17,19,19 126:2,11 126:14,19,19,20 127:2,3 130:23 132:15,23,23 133:25 134:1 135:7 141:14 143:19 144:6,7 144:15 145:12 146:14 160:14 165:23,24 171:18 172:5 174:11 176:5 177:8 180:3,7 182:3 184:8 209:16 212:21 213:2 214:16,17 216:3 220:15 223:12,25 225:25 228:3 230:11,12 246:21,23 247:25 250:4 reported [7] 125:23 145:19 147:10 165:9 170:12 175:24 191:16 reporting [13] 27:24 38:1 112:23 125:15,16 125:25 139:18 146:25 149:10,16 160:9 166:1 217:17 reports [43] 27:21 37:19 112:25 114:21 124:21 126:5 127:11,14 130:22 132:12 134:7 136:14 143:13,17 144:8 145:2 145:19 146:22 149:4 157:20 158:13 174:22,24 175:2 177:5,21 179:18 180:19 181:2 183:23 185:6,11,17 192:14 212:15,16 215:7 228:22 230:17 232:7,9 247:15 247:16 representative [2] 190:4,4 representatives [1] 157:21 representing [5] 9:10 53:15,22 146:8 189:5 request [12] 14:21,24 15:23 37:17 100:23 101:1 101:12,17,23,24 127:4 259:7 requested [3] 99:19 100:6 198:14 requests [3] 95:14 98:2 102:8 require [1] 79:6 required [2] 10:14 122:16 requirement [1] 97:1 requirements [4] 96:12 97:18 108:25 179:3 research [1] 202:4</p>	<p>resolution [1] 38:2 resolve [1] 187:2 resource [3] 93:5,21 102:10 resources [11] 40:12 63:9 72:18 74:9 87:7 89:3,5 91:4 92:17 223:24 239:8 respect [18] 8:7 40:14 61:12 64:5 65:7 67:7 85:3 134:10 156:12 164:2 204:3 220:25 221:4 232:23 233:8 247:24,25 256:7 respects [1] 256:16 respond [9] 9:11 86:6 90:11 102:6 104:4,23 142:20 183:2 186:18 responded [3] 221:19 224:2 253:12 responding [5] 52:23 105:11 113:4 142:17 217:13 response [14] 10:11,14 39:11,13 45:13 92:2 102:8 162:9 224:16 226:20 228:20 251:13,21 253:10 responses [3] 41:10 100:14 103:3 responsibilities [8] 62:24 109:6 110:4 120:9 124:19 139:9 257:12,18 responsibility [14] 36:4 36:13 40:13 48:10 76:18 105:21 108:18 115:16,17 160:13 201:3 206:14 235:2,8 responsible [4] 45:1 110:16 149:8 257:23 restate [1] 261:24 restore [1] 40:3 restraint [6] 66:10,15 87:4 106:2 219:11,19 restraints [1] 221:9 restructuring [1] 70:10 result [3] 32:25 45:8 68:24 resulted [2] 69:19 70:11 results [16] 29:19 32:14 32:16 33:11 61:25 103:1 115:8 156:1,12 159:3 169:15,17 170:8 172:1 172:17 262:3 RESUMES [1] 2:2 retainer [2] 55:8,9 retaining [1] 73:25 retention [1] 93:15 retest [2] 14:14 156:12 retested [4] 169:16,24 172:18,18 retesting [4] 166:7 174:14,19 182:4 retests [1] 156:1 retirement [1] 145:4</p>
--	--	--	--	---

<p>retrieval [1] 198:11 retrospective [1] 118:15 revealed [1] 54:20 review [29] 5:17,18 9:2 39:1 56:10,19 61:12 73:13,17 74:20 75:12,15 81:7 85:20 127:5 144:1 155:21 157:7 163:1 178:10 179:13 185:23 207:12,22 212:14 225:17 230:18 231:14 232:5 reviewed [3] 135:5 136:9 179:10 reviewers [3] 185:7 226:6 229:18 reviews [1] 127:17 revised [1] 247:18 revisit [1] 134:23 right [65] 1:8 6:3,21 10:24 14:21,24 15:4,23 22:14 37:8 40:21 42:16 54:23 58:6 59:1 61:22 65:17 69:25 75:5 76:23 80:3,20 87:13 88:10,16 91:8 93:24 95:3 96:15 98:11 101:14 115:19 116:12 118:17,23 121:3 121:23 133:3 134:19 139:20 150:15 151:6 152:15 153:23 155:1 157:20 159:9,16,16 165:21 166:16 168:19 170:11,17 188:2 192:24 213:14,14,15 219:8 221:13 222:23 239:15 241:16 259:6 risk [7] 10:23 11:8 39:20 48:13,15 58:16 140:10 road [2] 220:1 237:4 role [18] 11:9 15:18 59:11 59:21 62:19 110:14 119:25,25 121:4 122:11 135:14,15 139:9 183:10 223:8 224:14 256:7,8 roles [6] 108:6 109:6 110:3 111:1 119:4 257:18 Rolf [1] 1:8 Romano [1] 90:14 room [2] 68:2 91:3 root [2] 219:15 220:11 routine [2] 61:13 207:13 routinely [2] 7:11,12 royal [2] 67:4,9 rubber [1] 4:5 rule [2] 47:13 197:7 rules [2] 257:7,18 run [1] 80:3 running [1] 63:7</p>	<p>Sandra [2] 1:7 25:20 sat [3] 109:3 153:18 181:6 savings [5] 67:23 78:21 78:23 79:5,14 saw [14] 18:2,8 20:5,9 21:3 31:5 67:17 176:7 176:17 194:5,22 198:24 225:1 226:22 says [31] 29:8 43:8 44:11 52:7 98:15 119:14 120:19 121:25 122:10,12 123:5 123:8,18 127:23 153:3 155:21,23 158:10 163:1 164:7 171:20 175:23 176:11 177:3,7 179:2,9 180:10 245:19 250:5 255:18 scale [1] 100:19 screen [5] 19:8,18 29:9 75:3 78:15 screening [2] 144:2 155:22 scroll [5] 20:1 22:18 205:15,17 206:13 seat [1] 55:25 seated [3] 4:2 102:22 188:15 second [15] 4:19 14:22 15:2,23 44:4 70:6 71:10 85:3,19 117:15 152:15 164:15 174:20 175:20 178:25 secondary [1] 106:8 section [11] 78:16 79:25 80:1 125:24 143:11,12 143:19,25 152:20 175:22 180:10 sections [2] 105:17 141:23 sectors [1] 105:4 see [70] 10:22 17:20 20:6 22:11 23:8,15 29:11,19 34:10,25 41:2 42:7,16 43:12 44:7 45:15 50:18 50:23 52:7,24 53:6,7 55:14 66:4,14,15 72:14 98:13 116:1,22 124:10 128:20 131:8 139:25 143:9,25 145:12 151:18 152:14 158:5 167:12 171:22 174:6 176:5,7,22 177:8 178:19 193:23 202:24 205:8,18 206:4,8 206:14 207:8,22 213:23 216:10 225:19 226:23 230:4 236:25 243:16 246:3 247:18,22 251:19 256:1 259:14 seeing [3] 51:1 217:13 251:20 seek [3] 58:9 85:25 256:25 seeking [3] 57:7 77:7 160:17 seem [6] 30:8 33:3,18 43:21 55:16 154:18 sees [1] 130:17</p>	<p>sending [3] 51:3 52:8 168:14 sense [11] 44:9 94:8 121:20 130:7 147:20 149:20 194:11 202:24 206:5 223:7 260:3 senses [1] 130:5 sent [2] 29:2 48:6 sentence [1] 52:7 sentiment [2] 5:7 187:6 sentiments [4] 187:7,9 189:5,6 separate [4] 80:5 94:7 238:2 240:1 separately [1] 240:15 September [13] 63:18 143:2 144:18 152:7 157:11 162:25 166:4 170:13 225:13 228:16 230:16 231:23 250:5 September/October [1] 12:9 sequence [1] 166:19 seriously [2] 36:14,24 seriousness [1] 34:24 service [13] 68:5 70:4 81:6 87:20 88:13 91:14 92:13 104:25 129:17 179:7 186:19 241:16 252:11 services [34] 15:7 60:13 67:24 71:1,3,6,19 74:10 75:13 77:19 80:21 81:3 81:5,8,10 85:18 86:2 87:16 90:12 91:12,18,22 92:13 93:6,21 96:13 106:5 110:11 146:11 149:7 210:3 256:18,21 257:24 servicing [2] 104:6 252:17 session [1] 63:22 set [10] 11:5 14:24 97:4 109:17 114:23 124:6 149:11 175:9 239:5 247:14 sets [3] 81:13 123:18 145:8 setting [2] 39:24 238:7 settle [2] 133:19 136:22 setup [1] 6:12 seven [6] 22:23,25 76:4 117:6,12 119:7 several [11] 17:5 23:9 56:8 85:1 98:22 107:7 119:12 120:11 190:18 225:2 239:2 severe [1] 67:25 shall [9] 127:23 129:8,15 130:4,10,13 137:5,6 243:23 shalt [2] 136:21,23 sharing [1] 162:16 sheet [3] 44:4 244:9,12 shortfall [1] 67:13</p>	<p>shortly [1] 182:12 show [3] 130:22 140:7 174:4 showed [3] 5:25 204:14 212:20 showing [2] 155:8,15 shown [13] 16:14 17:25 151:10 157:14,22 161:5 161:15 166:13,17,22 168:9 171:5 181:23 shows [1] 230:13 sic [1] 55:4 side [12] 5:13 70:2 79:18 94:6 95:5 100:24 101:16 102:10 159:2,19 214:19 215:1 signature [2] 163:17,18 signed [1] 132:22 significant [5] 33:13 47:1,7 68:13 69:8 similar [2] 148:1 185:12 Simmons [372] 1:9 2:4 38:14,18,19 39:9 40:22 54:1,10,22 55:3,21,22 55:23 56:6,14 57:3,9,19 57:25 58:5,13,25 59:4 59:10,15,20,24 60:7,12 60:17,22 61:6,16,21 62:5 62:11,15 63:5 64:7,12 64:15,17,22 65:22,23 66:18 68:7,15 69:13,24 70:7,13,17 71:9,16,22 72:3,7,12,25 73:4,14,20 73:24 74:5,11,18,24 75:6 75:24 76:22 77:1,15 78:9 78:14 79:12,17,23 80:11 80:19 81:2,19,23 82:2 82:14,18,23 83:3,7 84:8 84:12,19 85:7,14 86:8 86:15,23 87:2,12,17 88:3 88:9,15,22 89:7,11,19 89:25 90:4 91:7,16,21 92:3,11 93:8,16,23 94:3 94:17,23 95:11,18,22 96:6,14,19 97:13,24 98:10,19 99:1,7,24 100:12,18,25 101:4,8,13 101:20 102:1,11,14,15 102:22,23 103:11,15,20 104:7,16 105:1,22 106:11 106:20 107:1,14 108:3 108:13 110:8,22 111:10 111:18 112:1,12 113:5,9 113:16,23 114:5,15,20 115:3,11,18 116:5,11,16 116:25 117:11,20,25 118:5,11,16,22 119:2,13 120:5,18 121:2,16,22 122:4,20 123:3,15 124:3 124:12,22 125:3,8 126:4 126:17 127:7,15,20 128:9 128:15,23 129:23 130:2 130:8,14,20 131:7,11,18 131:22 132:1,5,9,18 133:2,9,16,23 134:18 135:4,13,23 136:17 138:3 138:8,21 139:2,6,19 140:5,17,23 141:5,18 142:5,9,21 143:1,16,24 144:5,14,20 145:1,16</p>	<p>150:15,17 151:3,9,16,21 152:1,12,19,23 153:8,22 154:4,10,25 155:7,18 156:16,20,25 157:5,25 158:8,22 159:8,15 160:5 160:15,23 161:13,21 162:4,22 163:22 165:5 165:14,20 166:2,11 167:3 167:11,19,24 168:7 169:1 169:5,11,20,25 170:5,10 170:16,23 171:2,25 172:10,16,21 173:23 174:3,17 175:7,16 176:10 176:16,20,25 177:12,17 178:1,5,18,23 179:22 180:1,17,23 181:13,19 182:10,17,22 183:6,14 183:20 184:3,11 185:5 186:4 187:16 188:20,21 204:10,20 209:22 212:9 218:22 219:4,6,9,25 220:10,18,22,25 221:12 225:8 232:24 242:19 245:9 246:19 249:9,19 249:23 251:1,22 253:20 Simmons' [1] 222:8 Simply [1] 123:12 Sinai [4] 164:19 175:25 179:8,16 Sinai-tech [1] 225:19 Singleton [2] 65:4,11 sit [3] 71:24 149:13,14 site [4] 81:4,6 178:11 179:14 sitting [2] 197:16 241:2 situation [14] 7:19 9:24 10:4,13,17 58:7,7 63:4 158:10 208:17,21,24 209:2 253:14 situations [1] 123:23 six [5] 22:21 23:2,8 67:1 119:7 six-month [1] 132:25 size [1] 236:4 small [6] 13:19 41:11 103:21,24,24 104:8 social [3] 61:10 68:5 70:4 society [4] 1:13 105:4,12 190:5 sole [1] 123:8 solicitor/client [2] 54:15 259:23 solve [1] 77:5 someone [2] 30:19 32:2 sometime [1] 186:6 sometimes [4] 39:25 40:5 125:17 257:20 somewhat [1] 14:20 sophistication [1] 184:23 sorry [23] 25:21 36:21 36:23 58:23 65:22 148:5 148:16 149:14 150:15 169:4 174:8 187:12 200:6 203:5 208:6 243:3,3,15 246:5,15,16 253:13 260:6</p>
<p>-S-</p>				
<p>safety [15] 36:3,4,13,18 37:9 38:9 89:2,6 106:18 107:2,6 128:19 129:9 155:23 206:24 salaried [1] 148:25</p>	<p>seeking [3] 57:7 77:7 160:17 seem [6] 30:8 33:3,18 43:21 55:16 154:18 sees [1] 130:17</p>	<p>shall [9] 127:23 129:8,15 130:4,10,13 137:5,6 243:23 shalt [2] 136:21,23 sharing [1] 162:16 sheet [3] 44:4 244:9,12 shortfall [1] 67:13</p>	<p>shows [1] 230:13 sic [1] 55:4 side [12] 5:13 70:2 79:18 94:6 95:5 100:24 101:16 102:10 159:2,19 214:19 215:1 signature [2] 163:17,18 signed [1] 132:22 significant [5] 33:13 47:1,7 68:13 69:8 similar [2] 148:1 185:12 Simmons [372] 1:9 2:4 38:14,18,19 39:9 40:22 54:1,10,22 55:3,21,22 55:23 56:6,14 57:3,9,19 57:25 58:5,13,25 59:4 59:10,15,20,24 60:7,12 60:17,22 61:6,16,21 62:5 62:11,15 63:5 64:7,12 64:15,17,22 65:22,23 66:18 68:7,15 69:13,24 70:7,13,17 71:9,16,22 72:3,7,12,25 73:4,14,20 73:24 74:5,11,18,24 75:6 75:24 76:22 77:1,15 78:9 78:14 79:12,17,23 80:11 80:19 81:2,19,23 82:2 82:14,18,23 83:3,7 84:8 84:12,19 85:7,14 86:8 86:15,23 87:2,12,17 88:3 88:9,15,22 89:7,11,19 89:25 90:4 91:7,16,21 92:3,11 93:8,16,23 94:3 94:17,23 95:11,18,22 96:6,14,19 97:13,24 98:10,19 99:1,7,24 100:12,18,25 101:4,8,13 101:20 102:1,11,14,15 102:22,23 103:11,15,20 104:7,16 105:1,22 106:11 106:20 107:1,14 108:3 108:13 110:8,22 111:10 111:18 112:1,12 113:5,9 113:16,23 114:5,15,20 115:3,11,18 116:5,11,16 116:25 117:11,20,25 118:5,11,16,22 119:2,13 120:5,18 121:2,16,22 122:4,20 123:3,15 124:3 124:12,22 125:3,8 126:4 126:17 127:7,15,20 128:9 128:15,23 129:23 130:2 130:8,14,20 131:7,11,18 131:22 132:1,5,9,18 133:2,9,16,23 134:18 135:4,13,23 136:17 138:3 138:8,21 139:2,6,19 140:5,17,23 141:5,18 142:5,9,21 143:1,16,24 144:5,14,20 145:1,16</p>	<p>sophistication [1] 184:23 sorry [23] 25:21 36:21 36:23 58:23 65:22 148:5 148:16 149:14 150:15 169:4 174:8 187:12 200:6 203:5 208:6 243:3,3,15 246:5,15,16 253:13 260:6</p>

<p>sort [11] 6:25 10:8 25:21 67:1 78:12 87:3 129:12 141:24 196:7,9 229:23</p> <p>sorts [3] 80:12 85:10 153:11</p> <p>sought [2] 37:3 258:11</p> <p>sound [1] 263:10</p> <p>source [3] 55:1,2,19</p> <p>sources [4] 126:13,25 127:6 182:25</p> <p>speak [15] 8:16 11:10 28:3 31:1 35:25 52:11 65:9 109:25 182:18 183:1 186:9,22,23 187:2 253:7</p> <p>SPEAKER [1] 246:12</p> <p>speaking [1] 203:17</p> <p>speaks [1] 117:21</p> <p>specialists [5] 12:13 46:1,6 91:1 148:23</p> <p>specific [7] 109:18 129:19 133:1 141:22 219:19 256:7,20</p> <p>specifically [5] 35:25 67:6 143:4 220:14 243:5</p> <p>specified [1] 256:11</p> <p>specifies [1] 255:18</p> <p>specimen [1] 218:18</p> <p>specimens [1] 230:13</p> <p>spend [1] 41:14</p> <p>spent [2] 25:19 217:2</p> <p>spoke [2] 64:1 173:18</p> <p>spot [1] 102:14</p> <p>spring [5] 72:6 114:4 162:12 250:7,13</p> <p>St [17] 23:14 26:3 66:24 69:15,20 71:12 75:17 76:3 81:5,5 110:12 143:21 163:24 164:4 178:11 263:7,11</p> <p>stabilize [1] 69:4</p> <p>Stacey [1] 1:16</p> <p>staff [8] 66:25 116:20 120:2 122:12,14 123:6 177:7 187:3</p> <p>staffing [2] 81:15 210:3</p> <p>stage [3] 156:2 168:3 195:18</p> <p>stain [3] 23:12 26:1 30:2</p> <p>stainer [1] 175:25</p> <p>staining [3] 29:18 32:11 177:6</p> <p>stamina [1] 83:8</p> <p>STAND [1] 2:2</p> <p>standard [4] 61:5 127:22 128:2 149:3</p> <p>standardized [1] 179:6</p> <p>standards [3] 64:2,3 206:23</p> <p>standing [1] 4:7</p> <p>start [11] 5:24 66:13,15 117:1 154:15 168:13 174:7 175:11 180:12 203:25 237:16</p>	<p>started [5] 6:2 67:21 84:16 115:23 186:5</p> <p>starting [1] 89:10</p> <p>starts [6] 95:21 152:6,25 163:24 171:10 176:5</p> <p>state [2] 83:22 134:6</p> <p>statement [17] 23:8,16 24:16 32:20 33:17 117:5 127:1 129:5,20 130:4 133:4,5 156:3 186:6 188:19 197:9 221:17</p> <p>statements [1] 23:9</p> <p>statistical [1] 261:14</p> <p>status [5] 37:20 217:17 218:14 260:25 261:1</p> <p>step [3] 99:22 134:9 245:21</p> <p>steps [1] 94:8</p> <p>still [14] 41:4 83:8 96:5 97:8 98:3 99:22 109:16 115:22 136:4,12,15 168:9 190:18 247:13</p> <p>stories [1] 187:1</p> <p>story [6] 160:3,3 166:8 166:14,20 194:20</p> <p>strategic [14] 83:21 112:19 116:3,8,14 118:1 118:9,9,14 238:22 239:3 239:7,21,23</p> <p>streamline [1] 67:12</p> <p>strong [1] 173:15</p> <p>structure [9] 12:17 79:4 110:24 111:2 135:9 139:20,24 147:16 149:5</p> <p>structured [2] 107:22 129:2</p> <p>structures [1] 147:1</p> <p>struggle [1] 87:15</p> <p>struggling [1] 259:3</p> <p>stuff [1] 261:3</p> <p>style [1] 117:17</p> <p>subject [4] 50:11 144:19 171:9 175:18</p> <p>subjected [1] 45:7</p> <p>submission [1] 94:10</p> <p>submitted [5] 98:21 99:2 100:13 247:25 248:4</p> <p>successful [2] 103:16 176:11</p> <p>such [7] 22:5 60:3 84:22 87:22 160:18 226:21 254:5</p> <p>suggest [18] 8:14 12:7 15:21 32:8,21 33:4 68:12 94:20 163:18 164:23 187:24 206:10 208:8 228:1,9 230:16 235:24 250:17</p> <p>suggested [1] 11:7</p> <p>suggesting [18] 9:10,22 10:5,9,11,13,16 15:11 51:2,4 86:11 112:9 167:25 234:9,14 236:7 245:1 249:19</p> <p>suggestion [1] 39:18</p>	<p>suggestions [1] 179:13</p> <p>suggests [3] 231:3,8 250:5</p> <p>suit [1] 158:2</p> <p>suits [1] 39:25</p> <p>summary [4] 44:19 75:8 133:24 145:9</p> <p>summer [2] 138:4,13</p> <p>support [3] 67:24 85:22 129:9</p> <p>suppose [3] 44:20 45:22 225:15</p> <p>supposed [1] 115:5</p> <p>Supreme [1] 182:6</p> <p>surely [4] 23:13 26:1 30:2 33:17</p> <p>surgeons [1] 6:1</p> <p>surplus [1] 104:8</p> <p>surpluses [1] 103:22</p> <p>surrounding [4] 51:9 52:12 161:2 173:5</p> <p>Susan [1] 48:19</p> <p>suspect [4] 75:2 184:13 185:13 225:18</p> <p>suspicion [2] 39:19 40:17</p> <p>system [39] 40:10,17 66:2,6,11 67:8,12,14 68:20 69:4 70:20,21 71:5 77:13 82:9 83:15 87:6 89:12 100:4 104:22 106:3 106:5 109:22 144:1 155:22 163:1 164:9,15 164:20 198:10 203:3 213:20 216:11 218:2,5,7 219:12 241:12,15</p> <p>systematically [1] 112:23</p> <p>systems [9] 78:23 87:22 88:12 163:3 165:1,19 197:10,19 199:1</p>	<p>164:16 226:22</p> <p>telephone [1] 169:21</p> <p>telling [3] 190:9 229:1,2</p> <p>ten [3] 91:11 146:4 237:24</p> <p>tenor [1] 222:1</p> <p>terms [16] 39:3,17 41:11 55:9 77:3 99:18 134:16 150:2 191:12 196:19 199:15 211:1 213:2 216:1 218:25 233:25</p> <p>territory [2] 121:13 137:4</p> <p>test [6] 14:16 134:5 159:3 213:4,16 223:11</p> <p>testimony [2] 10:20 71:18</p> <p>testing [14] 1:2,12 12:5 14:22 23:21 24:2 45:9 144:1 155:22 161:3 164:3 183:25 219:20 263:4</p> <p>tests [6] 12:3 145:25,25 153:1 165:2 175:24</p> <p>textbook [1] 10:6</p> <p>thank [58] 4:13 5:1,15 36:2 37:17 41:24 42:6 45:15 55:20,20 56:5 64:13 65:17,24 102:24 105:23 107:15 112:7 142:22 150:15,18 151:25 157:13 160:6 166:16 169:8 174:8 187:17,20 188:10,12,18 209:13 222:5,7,23,25 225:17,24 234:25 242:10,13,14 246:3,18 249:20 252:25 254:25 255:1,3,5 261:19 261:22 262:2,5,7,9,18</p> <p>thankful [1] 5:11</p> <p>themselves [4] 8:17 28:3 62:2,20</p> <p>therapy [1] 153:5</p> <p>there'd [3] 195:23 196:6 198:19</p> <p>thereabouts [1] 25:16</p> <p>therefore [3] 119:23 196:12 245:23</p> <p>therein [1] 126:12</p> <p>they've [1] 150:21</p> <p>thinking [1] 153:25</p> <p>third [5] 55:24 70:10 75:7 93:6 155:20</p> <p>thou [2] 136:21,23</p> <p>thought [4] 196:11 219:14 232:4 251:2</p> <p>three [18] 6:1 48:24 70:20 116:19,19 118:1 119:8 122:12 133:10 142:17 150:18 186:21 195:24 210:6 211:1 214:2 255:9 261:17</p> <p>through [44] 22:18 38:9 40:2 43:24 67:10 79:14 84:3 88:20 96:12 97:4,5 99:3,14,21 100:8 113:2 113:8 114:6 115:25 120:8</p>	<p>123:20 124:21 125:20 130:24 138:4 139:3 149:4 149:5 182:1 183:1 189:24 192:9,13 205:15,17 212:24 213:22 222:19 232:24 242:19 247:14 257:9,16 259:9</p> <p>throughout [4] 67:17 93:3 141:4 172:23</p> <p>thrust [1] 51:11</p> <p>Tilley [49] 27:5,8,20,20 28:7,23 29:4 30:7,18 31:1,3,25 132:22 138:22 144:19 152:4,13 153:18 154:2 155:10 161:1,24 162:9,11,16 177:4,13 181:14,24 182:13 183:1 184:5,13 185:14,25 193:13 195:3,5 200:19 201:24 225:12 227:21 242:18 245:14 249:21 250:19 253:11,21 258:9</p> <p>Tilley's [15] 32:8,21 34:14 132:15 154:1 161:17 175:9 176:21 177:1 180:18 181:5 227:10 229:23 249:10 254:15</p> <p>timely [4] 87:25 133:20 136:22 197:11</p> <p>times [7] 90:16 106:4 107:7 119:12 127:13 190:18 239:2</p> <p>tissue [5] 29:18 32:11 163:5 216:18,20</p> <p>title [3] 43:17 131:17 132:20</p> <p>today [7] 51:1 87:15 88:2 187:11 227:17 230:4 254:11</p> <p>together [7] 12:5 47:24 57:14 71:2,4 97:10 240:14</p> <p>too [3] 31:20 60:1 143:18</p> <p>took [5] 37:2 56:17 173:15 225:12 232:24</p> <p>top [4] 106:6 143:10 163:14 175:20</p> <p>topic [5] 25:22 41:7 145:15 193:8 221:20</p> <p>topics [2] 14:20 225:15</p> <p>Toronto [2] 73:23 179:8</p> <p>total [5] 43:18 101:12 172:2 240:17,18</p> <p>totally [3] 30:11,14 255:23</p> <p>toward [3] 29:8 45:2 249:4</p> <p>towards [7] 19:13 91:18 104:2,10 106:14 219:19 219:23</p> <p>track [1] 63:18</p> <p>trade [1] 240:2</p> <p>traditional [4] 8:19 108:6 109:8 139:11</p> <p>train [2] 82:4 210:6</p> <p>training [2] 177:7 211:1</p>
--	---	---	--	--

-T-

<p>transcribed [1] 263:9 transcript [1] 263:3 transfer [2] 68:23 241:14 transfers [1] 68:13 transfusion [1] 44:14 Transparency [2] 109:1 235:15 transparent [1] 162:14 Treasury [2] 99:14,21 treat [1] 7:8 treated [2] 8:4 231:10 treating [5] 11:25 13:5 56:16,21 58:8 treatment [14] 5:23 6:8 7:20,25 8:11 9:7 11:19 12:2,4 14:5,13 33:5 39:21 57:8 tremendous [1] 171:14 trends [2] 243:20,24 tricks [1] 25:21 trigger [1] 90:15 triggers [1] 180:24 Trish [4] 179:15 180:5 212:15 228:15 trouble [1] 12:21 true [4] 160:2 184:7 250:12 263:3 truly [6] 11:10 185:19 187:10 195:6 256:24 257:21 trust [1] 201:2 trusted [1] 12:4 trustees [13] 9:11 29:2 113:18,25 142:1 152:7 174:10 186:14 223:8 228:21 230:24 235:22 236:4 trusting [1] 102:4 truth [1] 18:10 try [4] 56:1 69:4 107:19 257:7 trying [7] 17:6 119:24 194:10 200:6 202:24 208:13 234:5 turn [6] 28:20 36:2 48:4 57:15 75:3 225:24 twelve [1] 91:11 twice [1] 247:18 two [42] 6:1 18:5 20:1 30:10 34:19 63:20 81:9 81:15,22,24 82:1 97:7 103:19 108:15 110:23 111:3 119:14 120:10 127:6 133:10 142:16 159:24 163:3 165:1,19 166:19 170:19 174:23 179:18 185:6 186:8 188:6 195:23 204:14 212:15,16 219:3 223:5 228:22 229:17 231:20 249:4 two-pagers [1] 257:15 type [9] 51:9 108:9,23 123:5 128:12 132:19 140:13 153:13 246:20</p>	<p>types [4] 58:20 77:4 94:8 222:21 typewritten [1] 163:12 typical [1] 139:13</p> <hr/> <p style="text-align: center;">-U-</p> <hr/> <p>uh-hm [13] 106:21 113:15 116:6 118:4,12 120:17 121:17 123:4 126:5 127:19 250:9 255:21 259:12 ultimately [4] 40:2 227:21 236:8 257:23 um-hm [37] 13:24 30:16 50:8 61:17 62:16 70:8 75:23 81:1 83:2 84:9,13 84:20 85:15 86:9 87:18 88:4,23 90:3 93:9,17 94:2,24 95:23 99:25 105:2 153:7 167:2,23 171:1 174:16 177:16 178:2,17 180:16 182:9 226:14 237:21 unaware [2] 243:20,23 uncommon [2] 260:16 261:12 under [24] 28:13 76:6 108:22 109:8 112:14 116:19 125:13 143:25 144:7 158:3 162:25 171:19 172:12 179:8 180:19 206:14 213:3 223:10 225:15 226:2 235:18 241:12 247:13 256:13 underestimated [1] 164:11 undergoing [1] 166:7 undergone [1] 70:22 understand [29] 4:20 11:1 18:13 27:17 33:12 52:12 73:15 83:22 104:21 107:22 137:10,25 143:7 150:1 196:13 198:18 206:1 215:6 218:10,12 224:9 231:19 244:12 245:4 247:11 249:22 250:9 253:19 257:13 understandable [1] 34:8 understands [1] 121:12 understood [9] 103:5 148:18 163:6 189:10 198:5 230:3 231:22 237:13 252:25 undertake [1] 174:24 unfair [1] 8:12 unfold [1] 94:15 unfortunately [1] 11:7 unintelligible [1] 246:11 unique [8] 106:22 107:12 147:12,16 149:1,20,23 257:6 unit [1] 81:12 UNKNOWN [1] 246:12 unless [3] 91:24,24 93:5</p>	<p>unlikely [1] 213:20 unsafe [1] 129:16 unusual [11] 7:14 8:20 9:20,23 10:13,14,16 208:18 209:2,6 260:22 up [41] 18:16 19:17 22:9 22:11 27:3 37:13 39:24 49:2 55:7 56:7 75:3 77:11 78:15 85:4 92:6 95:9 105:24 111:19 130:25 149:4 152:2 157:12,19 159:2 161:8 172:24 177:8 180:12 181:7,8 190:24 194:4 197:17 198:2 199:18 205:14 206:12,12 209:12 225:9 243:2 update [2] 174:14,18 upfront [1] 134:6 upkeep [1] 86:19 used [13] 16:18 17:13 78:1 79:22 85:18 90:19 91:15 92:7 97:9 122:6 125:12 137:15 163:3 useful [1] 219:14 uses [1] 243:5 using [1] 109:22 usual [5] 9:1,20 11:3,5 14:14 usually [2] 7:19 99:10 utmost [1] 171:17</p> <hr/> <p style="text-align: center;">-V-</p> <hr/> <p>valid [1] 41:21 valuable [1] 40:7 values [2] 13:14 119:16 variances [2] 100:5,15 various [5] 106:4 145:24 153:1 166:18 242:20 Ventana [1] 164:15 verses [1] 119:25 version [1] 190:15 versus [3] 137:13 240:3 240:8 vet [1] 188:24 vetting [2] 244:10,16 Vice [3] 48:9 146:10 149:6 view [10] 46:25 48:25 61:12 244:3 252:20,22 255:10,23,24,25 viewpoints [1] 117:16 vision [2] 90:17 117:14 visits [1] 179:14 voice [1] 158:14 volunteer [3] 5:10,12 236:4 volunteers [1] 257:13 VP [1] 178:12</p> <hr/> <p style="text-align: center;">-W-</p> <hr/> <p>wait [10] 8:15 90:13,16 92:16 151:1 153:25 159:3</p>	<p>160:2 215:14 219:25 waiting [1] 261:8 wants [4] 115:8 147:6 260:6,7 ward [1] 237:25 water [1] 25:19 wave [6] 68:25 69:9,14 70:6,10 71:11 ways [1] 241:22 Wednesday [1] 215:8 week [6] 63:22 67:1 187:2,6 194:5 255:18 weeks [4] 23:21 67:1 92:20 225:2 Wegrynowski [5] 179:15 180:5 185:8 226:7 228:15 Wegrynowski's [2] 212:15 216:3 weigh [1] 41:19 weight [1] 47:1 well-defined [1] 109:24 Western [1] 1:14 wheel [1] 22:17 whole [7] 44:18 96:25 124:24 213:21 216:21 247:14 256:16 wholeness [1] 122:7 Williams [30] 27:5,19 27:21 48:18 144:16,23 145:2,11 146:7,18,20 147:9 153:14 155:12 156:22 157:18 163:13 165:22,23 171:9 174:18 178:12 185:14,25 193:13 227:15 228:2 229:3,3 230:15 Williams' [3] 145:18 153:10 176:5 willing [1] 188:3 winter [1] 115:25 wisdom [2] 235:7,7 wise [1] 150:4 Wiseman [1] 173:10 wish [6] 41:19 50:16 166:12 212:23 213:4 237:19 wished [1] 4:20 wishes [1] 38:24 withheld [2] 185:2,2 withhold [1] 185:14 within [43] 15:18 40:9 48:9 62:17 73:8 75:18 89:13 94:5 95:8 98:14 100:10,11 104:12 106:4 124:7,9 126:13 129:9 130:19 140:19 141:8,12 147:21 151:12 159:19 161:8,25 163:23 175:3 183:2 184:6 208:19 218:2 218:4 233:20 238:10 240:18 241:22 245:10 256:25 257:4 260:17,18 without [6] 14:6 49:12 78:25 104:24 105:7</p>	<p>129:17 witness [8] 8:16 18:13 54:4 212:4 222:3,11,11 222:20 witnesses [1] 222:19 woman [1] 13:19 women [1] 164:11 wonder [5] 41:4 66:12 111:21 112:15 162:11 wondering [4] 39:2 56:17 237:15 245:18 word [6] 50:23 79:21 206:8 225:16 257:21,25 wording [2] 33:1 167:15 words [3] 7:22 207:20 253:5 work-in-progress [1] 115:22 worked [3] 81:11 107:18 115:25 workload [1] 81:12 works [8] 90:6 94:5 95:25 97:19 111:15 114:25 122:15 135:18 worth [1] 120:21 wrap-up [1] 63:22 written [7] 16:11 53:13 119:15 123:20 167:13 236:14 245:5 wrong [1] 174:8 wrote [1] 49:23</p> <hr/> <p style="text-align: center;">-X-</p> <hr/> <p>X [1] 240:23 x-ray [1] 85:12</p> <hr/> <p style="text-align: center;">-Y-</p> <hr/> <p>year [22] 16:12 37:15 76:9,10,11 85:4 94:15 97:2,6,7,8 98:15,18 101:17,23 102:6 103:25 104:1 136:5 149:16 237:19 261:4 yearly [1] 125:21 years [19] 5:13 63:20 67:10 85:21 86:3 89:14 92:18 93:12,13 98:22,22 103:19 104:20 109:3 119:9 137:15 197:3 249:4 257:5 yesterday [19] 4:19 17:3 18:2 20:9 21:3 37:1 48:5 51:1 63:17 144:11 145:23 161:4 162:10,21 184:18 185:24 204:14 257:9,17 yet [10] 33:16 74:15 147:5 150:22 169:16 172:18 189:12 231:19 247:16 249:2 younger [1] 13:19 yourself [6] 7:1 60:19 74:21 142:1 188:23 196:22</p>
--	---	---	--	--