

<p style="text-align: center;">COMMISSION OF INQUIRY ON HORMONE RECEPTOR TESTING</p> <p>BEFORE THE HONOURABLE JUSTICE CAMERON - COMMISSIONER</p> <p style="text-align: center;">September 22, 2008</p> <p>Appearances:</p> <p>Bernard Coffey, Q.C. Commission Co-counsel Sandra Chaytor, Q.C. Commission Co-counsel</p> <p>Rolf Pritchard/Jackie Brazil Her Majesty in Right of NL</p> <p>Peter Browne Doctors Kara Laing et al</p> <p>Daniel Simmons Eastern Regional Integrated Health Authority</p> <p>Laura Brocklehurst. Members of the Breast Cancer Testing Class Action</p> <p>Mark Pike NL Medical Association Jennifer Newbury Canadian Cancer Society (NL Division) David Eaton, Q.C.. . . . Central, Western and Labrador-Grenfell Regional Integrated Health Authorities</p>	<p style="text-align: center;">LIST OF EXHIBITS</p> <p>EXHIBITS P-2731 THROUGH P-2825, INCLUSIVE Pg. 6</p> <p>EXHIBITS P-2890 THROUGH P-2932, INCLUSIVE Pg. 275</p> <p>EXHIBIT C-0262 Pg. 275</p> <p>EXHIBIT C-0263 Pg. 275</p>
<p style="text-align: center;">TABLE OF CONTENTS</p> <p>DR. KENNETH GUY JENKINS - SWORN</p> <p>Examination by Bernard Coffey, Q.C. Pgs. 4 - 266 Examination by David Eaton, Q.C. Pgs. 266 - 274</p> <p>DR. LAWRENCE ALTEEN - SWORN</p> <p>Examination by Bernard Coffey, Q.C. Pgs. 274 - 379</p> <p>Certificate</p>	<p style="text-align: right;">Page 4</p> <p>1 COFFEY, Q.C.:</p> <p>2 Q. Dr. Jenkins is the next witness, Commissioner.</p> <p>3 THE COMMISSIONER:</p> <p>4 Q. All right, then.</p> <p>5 DR. KENNETH JENKINS (SWORN) EXAMINATION BY BERNARD</p> <p>6 COFFEY, Q.C.</p> <p>7 REGISTRAR:</p> <p>8 Q. Would you state and spell your full name for</p> <p>9 the Commissioner?</p> <p>10 DR. JENKINS:</p> <p>11 A. Sure. My name is Kenneth Guy Jenkins, K-E-N-</p> <p>12 N-E-T-H, G-U-Y, J-EN-K-I-N-S.</p> <p>13 REGISTRAR:</p> <p>14 Q. Thank you.</p> <p>15 COFFEY, Q.C.:</p> <p>16 Q. And it is Dr. Ken Jenkins, though?</p> <p>17 DR. JENKINS:</p> <p>18 A. That's right, Mr. Coffey.</p> <p>19 COFFEY, Q.C.:</p> <p>20 Q. Thank you. Dr. Jenkins, could you give the</p> <p>21 Commissioner, please, an overview of your</p> <p>22 educational and professional background?</p> <p>23 DR. JENKINS:</p> <p>24 A. Sure, be glad to. Graduated from Memorial</p> <p>25 University's Medical School in 1984. Did a</p>

Page 5

1 rotating internship there until 1985 and began
 2 my career with the Canadian Armed Forces at
 3 that point in time. I was sponsored through
 4 the military during my medical school and then
 5 went on to a career with them until 2001 and
 6 served in a variety of roles during that time.
 7 COFFEY, Q.C.:
 8 Q. And toward the end of your career in the
 9 military what position did you have?
 10 DR. JENKINS:
 11 A. My last posting, actually, was a non-medical
 12 one. It was serving as wing commander or
 13 commonly known as base commander at Nine Wing,
 14 Gander for two years.
 15 COFFEY, Q.C.:
 16 Q. And so you retired from the military, Doctor,
 17 in what year?
 18 DR. JENKINS:
 19 A. In 2001.
 20 COFFEY, Q.C.:
 21 Q. 2001. And what did you do then?
 22 DR. JENKINS:
 23 A. And then I went back to Corner Brook and
 24 worked for a year as a medical officer health
 25 with Health and Community Services, Western.

Page 6

1 And then went on to work with Western Health
 2 Care Corp at the time as Vice-President
 3 Medical Services, and that was in April of
 4 2002. And subsequently when the boards
 5 amalgamated in 2005 went on to serve as Vice-
 6 President Medical Services for Western Health,
 7 as well.
 8 COFFEY, Q.C.:
 9 Q. Now, Commissioner, if I could, please, there
 10 are a number of other exhibits I'm going to
 11 ask to be entered. They're exhibits P-2731
 12 through P-2825, inclusive?
 13 THE COMMISSIONER:
 14 Q. Entered.
 15 EXHIBITS ENTERED AND MARKED P-2731 THROUGH P-2825,
 16 INCLUSIVE.
 17 COFFEY, Q.C.:
 18 Q. Thank you, Commissioner. Doctor, so when you
 19 joined what is now Western Health, the
 20 predecessor organization that you joined at
 21 the time was known as what?
 22 DR. JENKINS:
 23 A. Western Health Care Corporation.
 24 COFFEY, Q.C.:
 25 Q. And at that time what geographic area did that

Page 7

1 encompass?
 2 DR. JENKINS:
 3 A. The boundaries have remained unchanged pretty
 4 much and the southern end of our service area
 5 starts down around Port-aux-Basques and
 6 Burgeo. In north we extend up to around the
 7 Port Saunders area on the Northern Peninsula.
 8 And we extend also as far out as Deer Lake and
 9 White Bay South, Jackson's Arm, Sopp's Arm,
 10 Hampton, those areas. That's basically what
 11 the boundaries of our region are.
 12 COFFEY, Q.C.:
 13 Q. And prior to 2005 the Western Health Care
 14 Corp, you call it?
 15 DR. JENKINS:
 16 A. Yes.
 17 COFFEY, Q.C.:
 18 Q. I take it, was an organization that involved
 19 acute care facilities?
 20 DR. JENKINS:
 21 A. Yes, it was strictly limited to the provision
 22 of acute care services in the western region.
 23 COFFEY, Q.C.:
 24 Q. And how has that changed, if at all, since
 25 April 1st, 2005?

Page 8

1 DR. JENKINS:
 2 A. With the amalgamation of the boards, of
 3 course, community services have now come under
 4 the same umbrella with acute care services.
 5 So, you know, there is some integration of
 6 programs and services that has occurred that
 7 has also been a change in terms of the mandate
 8 of the particular position that I serve in
 9 with a broadening of the scope and
 10 responsibilities for vice-president medical
 11 services. And specifically, when I took over
 12 the role in the new Western Health Authority,
 13 I took on also responsibility for laboratory,
 14 diagnostic imaging or medical imaging, as we
 15 call it now, pharmacy, respiratory therapy and
 16 EMS or ambulance services, as well, so there
 17 was an increase in the mandate.
 18 COFFEY, Q.C.:
 19 Q. And that's been since April 1st, 2005?
 20 DR. JENKINS:
 21 A. That's correct.
 22 COFFEY, Q.C.:
 23 Q. Before April 1st, 2005 who was responsible
 24 within the Western Health Care Corporation for
 25 clinical laboratory services?

Page 9

1 DR. JENKINS:
 2 A. So our chief operating officer was responsible
 3 at that particular time and most of the
 4 diagnostic services were under the mandate of
 5 that particular individual.
 6 COFFEY, Q.C.:
 7 Q. And who was that?
 8 DR. JENKINS:
 9 A. At that time when I was working with Western
 10 Health Care Corporation, it was Mr. Max
 11 Powell.
 12 COFFEY, Q.C.:
 13 Q. And he was not a physician?
 14 DR. JENKINS:
 15 A. No, he was a non-physician, yeah.
 16 COFFEY, Q.C.:
 17 Q. Doctor, then, the structure then before April
 18 1st, 2005 in the Western Health Care
 19 Corporation in terms of clinical laboratory
 20 services was what? Who reported to whom?
 21 DR. JENKINS:
 22 A. Yeah. So at that particular time then the
 23 regional director for lab services would
 24 report to the chief operating officer and
 25 would be responsible directly to that

Page 10

1 particular individual. That was our reporting
 2 structure at that time.
 3 COFFEY, Q.C.:
 4 Q. And how about the pathologists?
 5 DR. JENKINS:
 6 A. And the pathologists would report to myself,
 7 as VP for medical services, as well. So there
 8 was a dual reporting sort of structure in
 9 place.
 10 COFFEY, Q.C.:
 11 Q. So the technologists and administrative end of
 12 the clinical laboratory services before April
 13 1st, 2005 involved reporting to the chief
 14 operating officer?
 15 DR. JENKINS:
 16 A. Correct.
 17 COFFEY, Q.C.:
 18 Q. And the medical end of it, in the sense of the
 19 clinical end?
 20 DR. JENKINS:
 21 A. Yes.
 22 COFFEY, Q.C.:
 23 Q. The pathologists reported to you?
 24 DR. JENKINS:
 25 A. That's correct.

Page 11

1 COFFEY, Q.C.:
 2 Q. And since April 1st, 2005 you're now
 3 responsible for both sides?
 4 DR. JENKINS:
 5 A. That's correct.
 6 COFFEY, Q.C.:
 7 Q. The technologists and the pathologists report
 8 up -
 9 DR. JENKINS:
 10 A. Exactly.
 11 COFFEY, Q.C.:
 12 Q. - through you, okay. Doctor, since--when you
 13 took over the VP medical or assumed the VP
 14 medical position on April 1st, 2005, was it
 15 actually that day or was it sometime
 16 subsequent that you actually assumed that
 17 position?
 18 DR. JENKINS:
 19 A. I think pretty much it was effective on that
 20 particular day. The actual letter of
 21 appointment may have come a little later, but
 22 I think from a responsibility perspective and
 23 an organizational perspective, it would have
 24 been on April 1st.
 25 COFFEY, Q.C.:

Page 12

1 Q. And, Doctor, can you tell the Commissioner,
 2 please, in relation to the clinical laboratory
 3 services for Western Health, I'll refer to it
 4 as it is now.
 5 DR. JENKINS:
 6 A. Right.
 7 COFFEY, Q.C.:
 8 Q. What quality assurance or quality control
 9 measures there were in place in respect of
 10 pathology?
 11 DR. JENKINS:
 12 A. Right. And certainly I can speak from my time
 13 since coming with the organization and
 14 certainly reflecting on some of the testimony
 15 that Dr. Neil had provided as well. The
 16 pathologists themselves have a mechanism by
 17 which they consult with each other, verify
 18 results when there are cases of question.
 19 That is what I would call a relatively
 20 informal process of quality assurance.
 21 There's also times when we would send samples
 22 out for assessment. Again, that was not part
 23 of a formal quality assurance program, as
 24 such, but would serve as a mechanism for us to
 25 have a look at, you know, what we're doing and

Page 13

1 how we were testing. Within the--that's,
 2 you're specifically talking about pathology
 3 itself now. And in terms of, you know,
 4 processing of samples and the technologist
 5 piece of that, there would be very specific
 6 measures with respect to making sure that
 7 processes were done in a proper manner and
 8 verification of that by laboratory managers
 9 and by the staff in terms of the processing of
 10 samples themselves, so those would be some of
 11 the elements that would have been in place as
 12 part of a quality assurance mechanism.
 13 COFFEY, Q.C.:
 14 Q. Was there any external proficiency activity?
 15 DR. JENKINS:
 16 A. Not specifically, as such.
 17 COFFEY, Q.C.:
 18 Q. And how about now?
 19 DR. JENKINS:
 20 A. Now we still haven't introduced a formal QA
 21 program at this point in time. It's part of,
 22 you know, what we're wanting to look at as
 23 part of this whole Inquiry and we'll see, of
 24 course, what the recommendations are and what
 25 resources can be put in place. One of the

Page 14

1 things that we've been fortunate enough to
 2 have some investment in as this Inquiry has
 3 progressed has been in the area of quality
 4 assurance supports for our organization. We
 5 recently received some funding from Department
 6 of Health and Community Services for a quality
 7 assurance position and so we will be using
 8 this particular person when we are able to
 9 hire somebody to really formalize, ramp up and
 10 get our quality assurance program going in a
 11 very significant way.
 12 COFFEY, Q.C.:
 13 Q. And this will be in what department or
 14 division?
 15 DR. JENKINS:
 16 A. Be within laboratory services under the
 17 regional director.
 18 COFFEY, Q.C.:
 19 Q. And the funding for same, you were advised of
 20 that when, Doctor?
 21 DR. JENKINS:
 22 A. That would have been within the last two
 23 months or so. Don't have the exact date, Mr.
 24 Coffey, but approximately.
 25 COFFEY, Q.C.:

Page 15

1 Q. And, Doctor, will you, yourself, be involved
 2 in the recruiting efforts for that position?
 3 DR. JENKINS:
 4 A. Yes, I've had a number of dialogues with our
 5 regional director for laboratory services
 6 about the job posting and, you know, how we
 7 intend to proceed with the job description and
 8 so on.
 9 COFFEY, Q.C.:
 10 Q. So the job description itself is not yet
 11 finalized?
 12 DR. JENKINS:
 13 A. Yeah, we've got in draft we have a position
 14 description available.
 15 COFFEY, Q.C.:
 16 Q. And if I could, please, could you have, pass
 17 that on, such as it is?
 18 DR. JENKINS:
 19 A. Sure.
 20 COFFEY, Q.C.:
 21 Q. The current to Mr. Eaton and he'll pass it on
 22 to ourselves.
 23 DR. JENKINS:
 24 A. I certainly will.
 25 COFFEY, Q.C.:

Page 16

1 Q. Doctor, in relation to the idea of, you know,
 2 adverse events or incident reports, you'd be
 3 familiar with that?
 4 DR. JENKINS:
 5 A. Yes.
 6 COFFEY, Q.C.:
 7 Q. Are there any such policies or procedures in
 8 place in Western Health in relation?
 9 DR. JENKINS:
 10 A. Yes, we do have, we do have some policy in
 11 that regard and on disclosure, as well. So we
 12 have drafted some, yes.
 13 COFFEY, Q.C.:
 14 Q. I'm sorry, you do have -
 15 DR. JENKINS:
 16 A. Yes, we do have policy to that effect, yeah.
 17 COFFEY, Q.C.:
 18 Q. Doctor, in relation to this whole ER/PR
 19 matter, and I'm taking you through it, has
 20 there, to your knowledge, ever been an adverse
 21 event report filed?
 22 DR. JENKINS:
 23 A. On ER/PR specifically?
 24 COFFEY, Q.C.:
 25 Q. Yes.

Page 17	Page 19
<p>1 DR. JENKINS: 2 A. Not that I can recall, Mr. Coffey. 3 COFFEY, Q.C.: 4 Q. And why is that, Doctor? 5 DR. JENKINS: 6 A. I don't have any particular reason as to why 7 there haven't been. I think we've been very 8 much engaged in, you know, the process of, you 9 know, responding to and dealing with the 10 issues that have arisen, arisen from. Where 11 it had originated, I think, externally, not 12 within the organization, that may be one of 13 the reasons why we didn't particularly report 14 on it as an event. But there's no particular 15 reason why we did or didn't report on that. 16 COFFEY, Q.C.: 17 Q. And I will be taking you to now shortly, you 18 know, how you actually became aware of this in 19 the beginning. 20 DR. JENKINS: 21 A. Yeah. 22 COFFEY, Q.C.: 23 Q. And if we could, please, look at Exhibit, 24 Registrar, P-0919? Now, Doctor, I'm going to 25 take you first of all, though, to a series of</p>	<p>1 Association, there was a provision in an 2 agreement whereby a service coverage committee 3 would be stood up to deal with joint service 4 delivery issues of interest to the department 5 and to the Medical Association. And at the 6 time I was asked to chair that committee, 7 which I gladly accepted. And we dealt with 8 sort of broad range of service delivery issues 9 and pathology services was one of those 10 issues. 11 COFFEY, Q.C.: 12 Q. Yes, in fact, when you look at the third 13 paragraph of this letter, it says, and this is 14 Dr. Williams, of course, writing here, he 15 says, "Recruitment and retention of 16 pathologists within this organization," that's 17 his own, "has proved to be challenging. We've 18 lost a number of physicians over the past few 19 years to retirement and to other jurisdictions 20 across the country. Currently we have two 21 vacant positions and three more retirements 22 scheduled over the next year or so." I'm 23 going to ask you, Doctor, in terms of Western 24 Health and its predecessors, what was the 25 situation while you've been with Western</p>
<p>1 exhibits which really begin in the spring of 2 2005. 3 DR. JENKINS: 4 A. Okay. 5 COFFEY, Q.C.: 6 Q. And continue through the summer, 2005. I'll 7 just briefly touch on them. This is a Health 8 Care Corporation of St. John's, April 18, 2005 9 letter to yourself as the chair of the Service 10 Coverage Committee? 11 DR. JENKINS: 12 A. Correct, yeah. 13 COFFEY, Q.C.: 14 Q. And it's from Dr. Williams? 15 DR. JENKINS: 16 A. Williams, um-hm. 17 COFFEY, Q.C.: 18 Q. Doctor, can you tell us, please, about the 19 nature of your involvement in this chair 20 Service coverage Committee? 21 DR. JENKINS: 22 A. Sure. Several negotiations ago, when I say 23 negotiations, I'm talking about negotiations 24 between the Department of Health and Community 25 Services and Newfoundland and Labrador Medical</p>	<p>1 Health in relation to pathologists? 2 DR. JENKINS: 3 A. Um-hm. We have had some challenges with 4 recruitment and retention. We've had a flow 5 through of pathologists. A number of our 6 pathologists have been in place for an 7 extended period of time, but over the last 8 four or five years we've had several who have 9 come and gone. So we face similar challenges 10 as other health regions have across the 11 province. 12 COFFEY, Q.C.: 13 Q. Doctor, I take it then the Service Coverage 14 Committee which you were chairing, your role 15 or this committee's role then in this issue of 16 recruitment and retention of pathologists then 17 became what? 18 DR. JENKINS: 19 A. Was to present the information to the 20 Physician Services Liaison Committee which was 21 a senior level committee that had involvement 22 by the deputy minister with senior members of 23 the Department of Health and Community 24 Services, with senior representation from the 25 Newfoundland and Labrador Medical Association,</p>
	Page 20

Page 21

1 as well. So our job was to put the issues
 2 that we were dealing with on the table with
 3 recommendations as to how some of these
 4 challenges could be addressed and receive the
 5 feedback from the PSLC then or Physician
 6 Services Liaison Committee on their response
 7 to our suggestions.
 8 THE COMMISSIONER:
 9 Q. Sorry, Dr. Jenkins, could you tell me again
 10 the Physician Services Liaison Committee?
 11 DR. JENKINS:
 12 A. Um-hm.
 13 THE COMMISSIONER:
 14 Q. Was comprised of who?
 15 DR. JENKINS:
 16 A. The deputy minister would be part of that,
 17 senior representatives from the Department of
 18 Health and Community Services, so maybe
 19 assistant deputy ministers and other senior
 20 bureaucrats within the department, and also
 21 senior representation from the Medical
 22 Association, as well.
 23 THE COMMISSIONER:
 24 Q. Thank you.
 25 COFFEY, Q.C.:

Page 22

1 Q. Doctor, I take it then in the spring, going
 2 into the summer of 2005, the idea that there
 3 were problems of some--then some duration
 4 province-wide in relation to the recruitment
 5 and retention of pathologists was not a
 6 secret?
 7 DR. JENKINS:
 8 A. Not at all.
 9 COFFEY, Q.C.:
 10 Q. It was well known in your world?
 11 DR. JENKINS:
 12 A. Yes, that's correct.
 13 COFFEY, Q.C.:
 14 Q. If we could look, please, at Exhibit P-1286.
 15 Doctor, this is a document entitled "Medical
 16 Services Coverage Committee, Pathology
 17 Services Report" of September 15th, 2005.
 18 This is a report prepared by yourself and
 19 others?
 20 DR. JENKINS:
 21 A. Uh-hm.
 22 COFFEY, Q.C.:
 23 Q. And this was forwarded to whom then, do you
 24 recall?
 25 DR. JENKINS:

Page 23

1 A. This would have been forwarded to the PSLC,
 2 Physician Services Liaison Committee.
 3 COFFEY, Q.C.:
 4 Q. This senior group?
 5 DR. JENKINS:
 6 A. Yes, that's correct.
 7 COFFEY, Q.C.:
 8 Q. Doctor, from that point on then, at least in
 9 terms of your recollection of it, how did the
 10 matter of addressing the concerns about
 11 pathologists and their remuneration then
 12 evolve?
 13 DR. JENKINS:
 14 A. Once we delivered our reports to PSLC, much of
 15 the occurrences or happenings from that point
 16 on really were not obvious to the Medical
 17 Services Coverage Committee at that particular
 18 point. It was an internal discussion
 19 decision, I guess, or discussions around what
 20 the best way to proceed would have been
 21 happening internally within the Department of
 22 Health, and I wasn't privy to those as Chair
 23 of the committee, so I wouldn't be able to
 24 sort of give you any further understanding of
 25 what had happened subsequent to the submission

Page 24

1 of our report.
 2 COFFEY, Q.C.:
 3 Q. That was the point I was--I wanted to elicit,
 4 is that the Medical Services Coverage
 5 Committee by September 15th, 2005, in effect,
 6 had done its work?
 7 DR. JENKINS:
 8 A. Right.
 9 COFFEY, Q.C.:
 10 Q. Its understanding of the nature of its
 11 involvement.
 12 DR. JENKINS:
 13 A. That's correct.
 14 COFFEY, Q.C.:
 15 Q. Had passed it on to the senior committee and
 16 the department and whomever else might address
 17 the matter?
 18 DR. JENKINS:
 19 A. That's right.
 20 COFFEY, Q.C.:
 21 Q. Doctor, between then April 18th, 2005, which
 22 is that first letter from Dr. Williams I
 23 referred you to earlier -
 24 DR. JENKINS:
 25 A. Right.

Page 25	Page 27
<p>1 COFFEY, Q.C.:</p> <p>2 Q. And P-919, up to September 15th, 2005, P-1286,</p> <p>3 in effect five months, would you have had</p> <p>4 contact then on a number of occasions concerns</p> <p>5 pathologists and pathology related matters</p> <p>6 with Dr. Williams?</p> <p>7 DR. JENKINS:</p> <p>8 A. Yes, we would have had some ongoing</p> <p>9 discussion. You know, I can't recall off the</p> <p>10 top of my head when those might have been or</p> <p>11 the context of them. I'd really need to sort</p> <p>12 of refer back to any notes we might have on</p> <p>13 file, and maybe perhaps if you have in some of</p> <p>14 your submissions.</p> <p>15 COFFEY, Q.C.:</p> <p>16 Q. Yeah.</p> <p>17 DR. JENKINS:</p> <p>18 A. But I know we were having active dialogue over</p> <p>19 the course of the spring and leading up until</p> <p>20 September, a bit of a break, I think, over</p> <p>21 that summer when things were slowing down a</p> <p>22 little bit, but there had been a number of</p> <p>23 discussions.</p> <p>24 COFFEY, Q.C.:</p> <p>25 Q. And, Doctor, if I could, please, bring up</p>	<p>1 Williams was VP Medical Eastern.</p> <p>2 DR. JENKINS:</p> <p>3 A. Um.</p> <p>4 COFFEY, Q.C.:</p> <p>5 Q. Who's Dr. King?</p> <p>6 DR. JENKINS:</p> <p>7 A. Sue King. She was an NLMA representative,</p> <p>8 past president. I think--I'm not sure if she</p> <p>9 was president or past president at that time,</p> <p>10 but she was former president.</p> <p>11 COFFEY, Q.C.:</p> <p>12 Q. Dr. Hagee?</p> <p>13 DR. JENKINS:</p> <p>14 A. John Hagee, general surgeon in Gander.</p> <p>15 Similarly had been president of the NLMA at</p> <p>16 one point in time.</p> <p>17 COFFEY, Q.C.:</p> <p>18 Q. Dr. Jong?</p> <p>19 DR. JENKINS:</p> <p>20 A. Michael Jong is my counterpart, VP Medical for</p> <p>21 Labrador Grenfell.</p> <p>22 COFFEY, Q.C.:</p> <p>23 Q. Dr. O'Shea?</p> <p>24 DR. JENKINS:</p> <p>25 A. Dr. O'Shea is a general surgeon in Clarenville</p>
<p>Page 26</p> <p>1 Exhibit P-1647. Doctor, these are the Service</p> <p>2 Coverage Committee Minutes of September 8th,</p> <p>3 2005.</p> <p>4 DR. JENKINS:</p> <p>5 A. Uh-hm.</p> <p>6 COFFEY, Q.C.:</p> <p>7 Q. And the attendees are listed here. You're the</p> <p>8 first, Dr. Williams is the third.</p> <p>9 DR. JENKINS:</p> <p>10 A. Uh-hm.</p> <p>11 COFFEY, Q.C.:</p> <p>12 Q. And there is--I don't have here the minutes of</p> <p>13 the July 8th, 2005, meeting, but there</p> <p>14 apparently was such a meeting.</p> <p>15 DR. JENKINS:</p> <p>16 A. Uh-hm.</p> <p>17 COFFEY, Q.C.:</p> <p>18 Q. Doctor, the point I wanted to canvass with</p> <p>19 you, though, is this meeting is indicated to</p> <p>20 be one to three p.m. on September 8th, 2005.</p> <p>21 DR. JENKINS:</p> <p>22 A. Uh-hm.</p> <p>23 COFFEY, Q.C.:</p> <p>24 Q. Listed attendees--just so the Commissioner is</p> <p>25 clear, you were VP Medical Western, Dr.</p>	<p>Page 28</p> <p>1 and actively involved with the Medical</p> <p>2 Association.</p> <p>3 COFFEY, Q.C.:</p> <p>4 Q. And Dr. Fleming?</p> <p>5 DR. JENKINS:</p> <p>6 A. Dr. Fleming is the senior representative in</p> <p>7 the Department of Health with MCP, physician.</p> <p>8 COFFEY, Q.C.:</p> <p>9 Q. And apologies from Dr. Alteen, your</p> <p>10 counterpart in Central?</p> <p>11 DR. JENKINS:</p> <p>12 A. In Central, yeah.</p> <p>13 COFFEY, Q.C.:</p> <p>14 Q. And -</p> <p>15 DR. JENKINS:</p> <p>16 A. Steve Jerrett, who is one of the</p> <p>17 administrators with the Medical Association.</p> <p>18 COFFEY, Q.C.:</p> <p>19 Q. Doctor, and this sort of a meeting on</p> <p>20 September 8th, would that have been a meeting</p> <p>21 in person?</p> <p>22 DR. JENKINS:</p> <p>23 A. A lot of our meetings were done by</p> <p>24 teleconference and I'm not sure, though, with</p> <p>25 this particular one, but it probably was a</p>

<p style="text-align: right;">Page 29</p> <p>1 teleconference meeting. Most of them were. 2 THE COMMISSIONER: 3 Q. I just want to make sure I understand. Your 4 committee which you were involved in, the 5 purpose of which was to do this work and 6 report to another committee - 7 DR. JENKINS: 8 A. Right. 9 THE COMMISSIONER: 10 Q. Would have representatives of various health 11 authorities and the NLMA? 12 DR. JENKINS: 13 A. NLMA, correct. 14 THE COMMISSIONER: 15 Q. And the group to which you reported had 16 officials from the government. 17 DR. JENKINS: 18 A. Uh-hm. 19 THE COMMISSIONER: 20 Q. And representatives of - 21 DR. JENKINS: 22 A. NLMA as well. 23 THE COMMISSIONER: 24 Q. - NLMA? 25 DR. JENKINS:</p>	<p style="text-align: right;">Page 31</p> <p>1 THE COMMISSIONER: 2 Q. Thank you. 3 COFFEY, Q.C.: 4 Q. And, Doctor, here looking at the minutes of 5 the September 8th meeting, look at the second 6 page, paragraph "D", pathology services? 7 DR. JENKINS: 8 A. Yes. 9 COFFEY, Q.C.: 10 Q. And it refers to this final meeting of the 11 pathology working group have been held July 12 20th, 2005. It talks about changes to the 13 draft report being approved, and it goes on 14 then to talk about the document, and, of 15 course, the document in question, the subject 16 matter here is the average pathologist's 17 incomes across the country and so on? 18 DR. JENKINS: 19 A. Yes. 20 COFFEY, Q.C.: 21 Q. The point being, Doctor, that certainly at the 22 meeting of September 8th, there was a certain 23 amount of discussion about pathology itself 24 and the state of pathology - 25 DR. JENKINS:</p>
<p style="text-align: right;">Page 30</p> <p>1 A. Yes, that's correct. 2 THE COMMISSIONER: 3 Q. So they turned up in both places? 4 DR. JENKINS: 5 A. Yes, that's correct. 6 THE COMMISSIONER: 7 Q. Do you know whether they might have been the 8 same people? 9 DR. JENKINS: 10 A. I think actually it probably was in some 11 instances, Commissioner. I believe Dr. King 12 was sitting on both committees at some points 13 in time. I'd have to refer to some of the 14 PSLC minutes to be absolutely certain for you 15 as to where they may have been cross 16 representation, but I do believe you're 17 correct in observing that. 18 THE COMMISSIONER: 19 Q. And the purpose of your committee was to, 20 among other things, perhaps it was much wider, 21 but vis a vis the issue of pathology, was to 22 make recommendations regarding recruitment and 23 retention? 24 DR. JENKINS: 25 A. That's correct.</p>	<p style="text-align: right;">Page 32</p> <p>1 A. Right. 2 COFFEY, Q.C.: 3 Q. In terms of staffing and so on in the 4 province? 5 DR. JENKINS: 6 A. Indeed there was. 7 COFFEY, Q.C.: 8 Q. And, Doctor, I take it that--because of a 9 document we're about to look at shortly, that 10 all through April, May, June, July, August, 11 into September, that the ER/PR matter, as we 12 now refer to it, you weren't aware of it? 13 DR. JENKINS: 14 A. No, that's correct. 15 COFFEY, Q.C.: 16 Q. Exhibit P-2731, please. Doctor, these are the 17 minutes of the Newfoundland and Labrador 18 Health Boards Association. 19 DR. JENKINS: 20 A. Uh-hm. 21 COFFEY, Q.C.: 22 Q. VP of Medical Services, minutes of meeting 23 approved by VPs of Medical Services on 24 December 22nd, 2005, but the actual meeting 25 itself of which these are the minutes, was</p>

Page 33

1 Thursday, September 29th, 2005, at nine a.m.
 2 DR. JENKINS:
 3 A. Uh-hm.
 4 COFFEY, Q.C.:
 5 Q. In the Audit Boardroom at the Belvedere site?
 6 DR. JENKINS:
 7 A. Uh-hm.
 8 COFFEY, Q.C.:
 9 Q. And in attendance are Larry Alteen, Ken
 10 Jenkins, Ed Hunt, John Peddle, Robert
 11 Williams, Cathi Bradbury, Michael Jong, and
 12 Scarlet Hann, and Sheila Tucker and Regina
 13 Coady were there for part of the meeting, the
 14 latter two. Would this meeting have been held
 15 in person?
 16 DR. JENKINS:
 17 A. Yes, it was.
 18 COFFEY, Q.C.:
 19 Q. Doctor, there is then a presentation on a
 20 CCOHTA update.
 21 DR. JENKINS:
 22 A. Uh-hm.
 23 COFFEY, Q.C.:
 24 Q. By Ms. Tucker, and do you recall what the
 25 CCOHTA was about?

Page 34

1 DR. JENKINS:
 2 A. Well, itself as an organization, you mean?
 3 COFFEY, Q.C.:
 4 Q. Yes.
 5 DR. JENKINS:
 6 A. It's a health technology organization and
 7 helps provide advice and guidance to the
 8 health system individuals and the managers,
 9 what sort of the latest happenings and
 10 occurrences are with respect to technological
 11 advances in health care in Canada and beyond.
 12 It's really an international sort of flavour
 13 and perspective and the work that it does.
 14 COFFEY, Q.C.:
 15 Q. Doctor, here's it refers to Ms. Tucker having
 16 explained her role, is to work with the
 17 authorities so that the authorities can
 18 identify areas that they would like to have
 19 CCOHTA work on and provide reports.
 20 DR. JENKINS:
 21 A. Yeah.
 22 COFFEY, Q.C.:
 23 Q. And the second paragraph notes, "She went
 24 through the handout, highlighting key points
 25 that she wished the VPs of Medical Services to

Page 35

1 be aware of".
 2 DR. JENKINS:
 3 A. Uh-hm.
 4 COFFEY, Q.C.:
 5 Q. "CCOHTA tries to cover off new technologies
 6 and what new drugs are being promoted. A
 7 review of some of these technologies and
 8 pharmaceuticals is needed before a decision is
 9 made by the federal and provincial governments
 10 to use them".
 11 DR. JENKINS:
 12 A. Right.
 13 COFFEY, Q.C.:
 14 Q. "What seems to be happening is that the
 15 technology is being promoted by the various
 16 companies with frontline physicians, and that
 17 creates a demand for the product, service, or
 18 drug. Sheila asked if there was any merit to
 19 having a committee in place that could vent
 20 issues on a reasonable basis", and she talked
 21 about or advised them about a workshop coming
 22 at the end of October.
 23 DR. JENKINS:
 24 A. Uh-hm.
 25 COFFEY, Q.C.:

Page 36

1 Q. Doctor, a couple of other points in these
 2 minutes I'd like to take you to.
 3 DR. JENKINS:
 4 A. Okay.
 5 COFFEY, Q.C.:
 6 Q. This business arising from minutes not already
 7 under agenda, under (a) Newfoundland and
 8 Labrador College of Physicians and Surgeons.
 9 DR. JENKINS:
 10 A. Uh-hm.
 11 COFFEY, Q.C.:
 12 Q. And it's redacted here, but there is a
 13 statement, "There appear to be no guidelines
 14 or standards at the College, for example, on
 15 who is eligible for licensure. It was agreed
 16 that John would write to Bob Young to ask for
 17 copies of the policy and procedure manual.
 18 Once the manual is received, it will be
 19 forwarded to the VPs of Medical Services". Do
 20 you recall what this was about?
 21 DR. JENKINS:
 22 A. Not the context, I'm not recalling what it was
 23 about specifically. No, I can't, Mr. Coffey,
 24 off the top of my head recall what that
 25 particular item was about. There's no way for

Page 37

1 me to look at an unredacted version of that,
 2 is there?
 3 COFFEY, Q.C.:
 4 Q. Perhaps we'll do that -
 5 DR. JENKINS:
 6 A. We'll do that -
 7 COFFEY, Q.C.:
 8 Q. Later on, and you may be able to put it in
 9 context then.
 10 DR. JENKINS:
 11 A. All right, good.
 12 COFFEY, Q.C.:
 13 Q. Then there's a report of physician
 14 recruitment, and then on the next page,
 15 paragraph five, quality issues.
 16 DR. JENKINS:
 17 A. Uh-hm.
 18 COFFEY, Q.C.:
 19 Q. And it says, "This issue flows directly from
 20 the comments made by Sheila Tucker on what
 21 CCOHTA is doing, as well as other work that
 22 needs to be done. Ed Hunt said the feeling
 23 from the department is that the quality issues
 24 are provincial issues, and not just for the
 25 department".

Page 38

1 DR. JENKINS:
 2 A. Uh-hm.
 3 COFFEY, Q.C.:
 4 Q. "A number of options were discussed for
 5 addressing quality issues, such as a
 6 provincial quality council or a quality
 7 council in each health authority or a quality
 8 council in the tertiary care centre".
 9 DR. JENKINS:
 10 A. Uh-hm.
 11 COFFEY, Q.C.:
 12 Q. "After a quick review around the table, it was
 13 realized that each of the authorities has a
 14 different person responsible for quality
 15 issues. In some cases, it is the VP of
 16 Medical Services, and in other cases it is
 17 not. The VPs of Medical Services were asked
 18 for their input and comments. It was
 19 commented that the quality issues should be
 20 part of the training and education for all
 21 health professionals. Standards for referral
 22 and test are needed. Rather than leaving
 23 decisions up to the person ordering the tests
 24 and referrals, it was generally felt that we
 25 need a provincial approach and if at all

Page 39

1 possible, we need to have ways to make it
 2 enforceable".
 3 DR. JENKINS:
 4 A. Uh-hm.
 5 COFFEY, Q.C.:
 6 Q. "It was suggested that regional authority
 7 legislation should have a section setting out
 8 standards for test procedures and referrals.
 9 Bob Williams gave a detailed example of some
 10 situations that are occurring in Eastern".
 11 Now I'm going to stop right there.
 12 DR. JENKINS:
 13 A. Sure.
 14 COFFEY, Q.C.:
 15 Q. You've been talking generally about quality
 16 assurance measures generally in the health
 17 system, I take it, is what this is referring
 18 to?
 19 DR. JENKINS:
 20 A. Yes, yeah.
 21 COFFEY, Q.C.:
 22 Q. "And Dr. Williams is noted to have given a
 23 detailed example of some situations that are
 24 occurring in Eastern".
 25 DR. JENKINS:

Page 40

1 A. Uh-hm.
 2 COFFEY, Q.C.:
 3 Q. Did he raise the ER/PR at that time that you
 4 can recall?
 5 DR. JENKINS:
 6 A. During that particular part of the discussion?
 7 COFFEY, Q.C.:
 8 Q. Yes.
 9 DR. JENKINS:
 10 A. No, I don't think so. I mean, that was done
 11 in a separate discussion, not in that part of
 12 the agenda, to the best of my recollection.
 13 COFFEY, Q.C.:
 14 Q. And then there's a reference to Mike Doyle
 15 having done a report on prostate cancer,
 16 should be made available for the VPs of
 17 Medical Services, and he should look at what's
 18 happening in other provinces are note there,
 19 and then there was a note, "Ed Hunt advises
 20 Stephen Lewis, who has done some considerable
 21 work in this area will be in the province in
 22 November close to the date of meeting. We may
 23 need to change the date of our next meeting to
 24 accommodate Stephen Lewis so that he can be
 25 invited to attend the meeting. It was also

Page 41	Page 43
<p>1 suggested that the CEOs need to discuss</p> <p>2 quality issues for all jurisdictions within</p> <p>3 the health system and not just the medical</p> <p>4 area". So, Doctor, at the time then, this is</p> <p>5 late September, 2005, amongst the VPs Medical</p> <p>6 Services, I take it there was a recognition</p> <p>7 then addressing quality issues there's a fair</p> <p>8 amount of work to be done?</p> <p>9 DR. JENKINS:</p> <p>10 A. Uh-hm, indeed.</p> <p>11 COFFEY, Q.C.:</p> <p>12 Q. Up to that point, what if anything really had</p> <p>13 been done to your knowledge on a provincial</p> <p>14 basis?</p> <p>15 DR. JENKINS:</p> <p>16 A. Well, the organizations had various means by</p> <p>17 which they dealt with quality. Some had</p> <p>18 quality councils. There were varying</p> <p>19 responsibilities for senior managers within</p> <p>20 the health authorities. I know, for example,</p> <p>21 in Eastern Health it did come under the VP</p> <p>22 Medical mandate. In our organization, it was</p> <p>23 another of our senior managers who had</p> <p>24 responsibility for the quality, so to speak.</p> <p>25 COFFEY, Q.C.:</p>	<p>1 A. Lisa Hoddinott is our current senior manager</p> <p>2 responsible.</p> <p>3 COFFEY, Q.C.:</p> <p>4 Q. If we can look, please, at Exhibit P-1949.</p> <p>5 Doctor, this exhibit is a series of e-mails of</p> <p>6 September 30th--well, actually, September</p> <p>7 29th, the beginning, 2005.</p> <p>8 DR. JENKINS:</p> <p>9 A. Uh-hm.</p> <p>10 COFFEY, Q.C.:</p> <p>11 Q. The first one, September 29th, 2005, is from</p> <p>12 Heather Predham.</p> <p>13 DR. JENKINS:</p> <p>14 A. Uh-hm.</p> <p>15 COFFEY, Q.C.:</p> <p>16 Q. And it's addressed to Susan Sullivan.</p> <p>17 DR. JENKINS:</p> <p>18 A. Right.</p> <p>19 COFFEY, Q.C.:</p> <p>20 Q. And Ms. Budgell.</p> <p>21 DR. JENKINS:</p> <p>22 A. Uh-hm.</p> <p>23 COFFEY, Q.C.:</p> <p>24 Q. At Western, September 29th, 2005, at 3:13 p.m.</p> <p>25 DR. JENKINS:</p>
<p>1 Q. Who within Western?</p> <p>2 DR. JENKINS:</p> <p>3 A. We had a VP for Quality Management and</p> <p>4 Research. So it would have been that</p> <p>5 particular person who had the main thrust and</p> <p>6 responsibility for quality, so to speak,</p> <p>7 within the organization.</p> <p>8 COFFEY, Q.C.:</p> <p>9 Q. And who was that?</p> <p>10 DR. JENKINS:</p> <p>11 A. Lisa Hoddinott is our current, and Kelly</p> <p>12 O'Brien had been involved with quality</p> <p>13 management as well.</p> <p>14 COFFEY, Q.C.:</p> <p>15 Q. And that had dated back to the time you joined</p> <p>16 Western?</p> <p>17 DR. JENKINS:</p> <p>18 A. Yes, that's correct.</p> <p>19 COFFEY, Q.C.:</p> <p>20 Q. And where is it now, the same -</p> <p>21 DR. JENKINS:</p> <p>22 A. Who does it sit with now, do you mean?</p> <p>23 COFFEY, Q.C.:</p> <p>24 Q. Yes.</p> <p>25 DR. JENKINS:</p>	<p>1 A. Right.</p> <p>2 COFFEY, Q.C.:</p> <p>3 Q. And she writes, "Hi Guys, we've had an issue</p> <p>4 with our ER/PR testing. This has been an</p> <p>5 issue that we've been dealing with all</p> <p>6 summer", and she goes on from there. The</p> <p>7 Commissioner has seen the text of this before.</p> <p>8 She concludes by saying, "Why am I telling you</p> <p>9 two all this? Well, since June Dr. Cook, our</p> <p>10 Chief of Pathology, requested that your two</p> <p>11 boards send in your blocks to be retested in</p> <p>12 Mount Sinai to no avail", I think it reads.</p> <p>13 "I wanted to give you a heads-up as we have to</p> <p>14 begin to inform people individually about this</p> <p>15 issue. The Department of Health wants us to</p> <p>16 make a public statement. Since your labs have</p> <p>17 not responded yet to our request, I may be</p> <p>18 asked about the reasons why. What do you</p> <p>19 think", signed Heather.</p> <p>20 DR. JENKINS:</p> <p>21 A. Right.</p> <p>22 COFFEY, Q.C.:</p> <p>23 Q. Doctor, who is Ms. Sullivan?</p> <p>24 DR. JENKINS:</p> <p>25 A. Susan Sullivan was our risk manager at that</p>

Page 45

1 particular time, since retired, but that was
 2 her position.
 3 COFFEY, Q.C.:
 4 Q. And Ms. Budgell?
 5 DR. JENKINS:
 6 A. That is Central West Health Corp. So that's
 7 somebody who was in Central region.
 8 COFFEY, Q.C.:
 9 Q. So Ms. Predham was sending this e-mail to
 10 Western's risk manager?
 11 DR. JENKINS:
 12 A. Correct.
 13 COFFEY, Q.C.:
 14 Q. Who the next morning, September 30th,
 15 forwarded it on to Kelly O'Brien. Who's Kelly
 16 O'Brien?
 17 DR. JENKINS:
 18 A. Kelly O'Brien was the senior manager I
 19 mentioned, who was responsible at that time
 20 for quality management.
 21 COFFEY, Q.C.:
 22 Q. And she writes, "Hi Kelly, I just spoke to
 23 Heather and this is apparently hitting the
 24 media today. George Tilley is going to
 25 contact the CEOs re; this matter. I wanted

Page 46

1 you to be aware so that you can ensure which
 2 senior person/people responsible for our lab
 3 such that they can follow up. Regards, Sue",
 4 and Ms. O'Brien sent it on to Susan Gillam.
 5 Who's Ms. Gillam?
 6 DR. JENKINS:
 7 A. Our Chief Executive Officer.
 8 COFFEY, Q.C.:
 9 Q. And copied it to yourself within minutes
 10 actually, 11:36. She says, "Hi Susan, Do you
 11 want me to follow up with the lab and Dr. Neil
 12 so that a response can be prepared? I've cc'd
 13 Ken, but realize that he's off today. Do you
 14 wish me to contact Heidi as well. Many
 15 thanks". Then there's an e-mail from
 16 yourself, Doctor, at 12:08 p.m, despite the
 17 fact indeed you were off. You write to a
 18 number of individuals within Western saying,
 19 "I have heard about this for the first time at
 20 the Med Director's meeting yesterday. There
 21 was no indication that this would be hitting
 22 the media today. This will be a very
 23 sensitive and complicated issue to
 24 communicate. Dr. Neil will need to be
 25 involved. I suggest that, Heidi, you should

Page 47

1 contact him immediately. If there's any local
 2 reaction, he will probably be the best person
 3 to be involved. You may want to consider
 4 asking him to talk to our group by telephone
 5 when we're in Bonne Bay on Monday morning.
 6 Perhaps Heidi could coordinate that if Susan
 7 thinks it is a good idea", signed Ken.
 8 DR. JENKINS:
 9 A. Uh-hm.
 10 COFFEY, Q.C.:
 11 Q. Doctor, can you tell the Commissioner then
 12 about your having heard about this for the
 13 first time at the Medical Director's meeting
 14 on September 29th? That would be the day
 15 before. What happened?
 16 DR. JENKINS:
 17 A. Well, Dr. Williams did give us, you know, a
 18 fairly detailed overview of, you know, what
 19 was going on at the time, what the concerns
 20 were, the actions that were going to have to
 21 be taken to deal with it. So really it was, I
 22 guess, our first heads-up on some of the
 23 technical aspects of what was going on, but
 24 also most importantly, what some of the
 25 implications were going to be for patients and

Page 48

1 families as a result of this, and some of the
 2 communications issues that were going to be
 3 involved as well, and, you know, I did keep
 4 some detailed notes from that meeting, I'm
 5 sure you probably have them handy here as
 6 well, but they--I think, you know, they would
 7 reflect reasonably accurately what Dr.
 8 Williams was sharing with us at that
 9 particular time.
 10 COFFEY, Q.C.:
 11 Q. Okay, and Doctor, in terms of yourself -
 12 DR. JENKINS:
 13 A. Uh-hm.
 14 COFFEY, Q.C.:
 15 Q. Because as Ms. Predham has pointed out, they
 16 had contacted, Eastern Health had contacted--
 17 I'll just go back and show you here. Now, in
 18 her e-mail of September 29th, she has said,
 19 "Well since June, Dr. Cook, our chief of
 20 pathology, requested your two boards send in
 21 your blocks to be retested at Mount Sinai."
 22 DR. JENKINS:
 23 A. Uh-hm.
 24 COFFEY, Q.C.:
 25 Q. For that year, and that year in question is

Page 49

1 the 2002 year.
 2 DR. JENKINS:
 3 A. 2002, right.
 4 COFFEY, Q.C.:
 5 Q. Doctor, have you ever made any inquiries about
 6 why you had not been alerted to the fact that
 7 Western's pathologists had been asked to send
 8 2002 material in?
 9 DR. JENKINS:
 10 A. Yeah, Paul and I have--excuse me, Dr. Neil and
 11 I have spoken about that and, you know, he was
 12 certainly under the understanding that there
 13 was a certain amount of work that needed to be
 14 done and he was just getting on with it,
 15 basically. And, you know, I think that's the
 16 kind of understanding and relationship that
 17 Dr. Neil and I have, is with a lot of our
 18 clinical leaders, if there's work to be done,
 19 then they get on with it. If they feel that
 20 there's things that they need to advise me
 21 on, then certainly I would hope that, you
 22 know, they would bring that forward. But, you
 23 know, there's--I think Dr. Neil's action was
 24 really to try to deal with the request that
 25 was before him.

Page 50

1 COFFEY, Q.C.:
 2 Q. Okay. Exhibit P-2240 please? Doctor, this is
 3 an e-mail of September 30th, 2005 and it's
 4 copied to yourself. It's from Ms. O'Brien and
 5 she writes to Ms. Gillam saying, "Hi Susan, I
 6 just wanted to let you know, we spoke to Paul
 7 Neil who is very aware of this issue and the
 8 department has been working to prepare the
 9 blocks to be sent for retesting. They have a
 10 year's worth completed. They worked very hard
 11 and worked overtime to get this much done. He
 12 did know that they are now requesting blocks
 13 from five to seven years be sent. This will
 14 again take some time. So since June we have
 15 not ignored the request and are responding.
 16 We have tried to contact Frank, but are unable
 17 to reach him, as he is out of town." And she
 18 goes on to talk about something else.
 19 Actually and perhaps this does relate to the
 20 same thing, "On another note, spoke to Minnie
 21 who was aware and talked--asked about
 22 Department of Health and Community Services.
 23 Tried to call John Rumboldt, who was not
 24 available, so I spoke to Derek Penney who will
 25 communicate the same to Moira, thanks.

Page 51

1 Kelly." So, Doctor, first of all, who is
 2 Frank?
 3 DR. JENKINS:
 4 A. Frank Holloway was the former regional
 5 director for laboratory services, since
 6 retired.
 7 COFFEY, Q.C.:
 8 Q. Was he still working at this time?
 9 DR. JENKINS:
 10 A. No, he's not, he's retired now.
 11 COFFEY, Q.C.:
 12 Q. No, no, but at that time.
 13 DR. JENKINS:
 14 A. Oh, sorry, at that time, yes, at that
 15 particular time, that's correct.
 16 COFFEY, Q.C.:
 17 Q. So I take it he would be involved in assisting
 18 in locating where the blocks--locating the
 19 blocks.
 20 DR. JENKINS:
 21 A. That's correct, yes.
 22 COFFEY, Q.C.:
 23 Q. And Minnie, who is Minnie?
 24 DR. JENKINS:
 25 A. Minnie is Dr. Minnie Weisemier who is our

Page 52

1 chief operating officer for secondary
 2 services.
 3 COFFEY, Q.C.:
 4 Q. And "asked about Department of Health and
 5 Community Services", does this comment here
 6 have anything to do with ER/PR, do you know,
 7 this whole thing here?
 8 DR. JENKINS:
 9 A. I would think it probably relates to this,
 10 although, you know, it doesn't specifically
 11 say that there, I would interpret it as
 12 meaning, you know, Dr. Weisemier would have
 13 asked whether DOHCS was involved or aware of
 14 that, you know, particular issue as it related
 15 to Western Health, but you know, I'm drawing
 16 some conclusions there, Mr. Coffey, without
 17 being the writer, so just surmising.
 18 COFFEY, Q.C.:
 19 Q. And, Doctor, on that point, and this is the
 20 first day, September 30th, that Western is
 21 advised apparently that it's going to go
 22 public.
 23 DR. JENKINS:
 24 A. Uh-hm.
 25 COFFEY, Q.C.:

Page 53

1 Q. Shortly. From that point on, what if anything
 2 was the nature of the communication, to your
 3 knowledge, between Western Health and the
 4 Department of Health on this matter?
 5 DR. JENKINS:
 6 A. We had a fairly open dialogue between all of
 7 the sort of key players on this particular
 8 issue, Eastern Health and the Department. It
 9 was back and forth, there would be occasions
 10 when we would initiate communications and, you
 11 know, all around in many different directions
 12 in terms of how the issues surrounding ER/PR
 13 evolved. So I would say it was fairly open,
 14 Mr. Coffey, yes.
 15 COFFEY, Q.C.:
 16 Q. And who was responsible for dealing with the
 17 Department of Health?
 18 DR. JENKINS:
 19 A. I think it would depend on the particular
 20 issue at the time. It would vary, I think our
 21 CEO would, from time to time, make contact and
 22 our usual approach within our organization is
 23 typically our CEO would have dealings with the
 24 deputy minister or some of the assistant
 25 deputy ministers. I would also, sometimes

Page 54

1 myself, have direct dealings with some of the
 2 assistant deputy ministers and my colleagues,
 3 of course, in other health authorities and
 4 other, you know, bureaucrats within Department
 5 of Health and whatnot, and similarly with my
 6 own senior management colleagues in Western
 7 Health. They would have contact within the
 8 Department of Health within their colleagues
 9 in Eastern Health as well, so that's kind of
 10 how we tended to work it, although there was
 11 no sort of strict lines of communication; it
 12 was relatively free flowing.
 13 COFFEY, Q.C.:
 14 Q. Doctor, within Western Health and I appreciate
 15 it was ultimately the CEO was responsible for
 16 the activities within the organization, but in
 17 terms of the ER/PR matter then, who, from an
 18 administrative perspective then, beginning at
 19 September 30th, kind of took on the primary
 20 role in this regard?
 21 DR. JENKINS:
 22 A. It was principally myself, as VP Medical.
 23 COFFEY, Q.C.:
 24 Q. And then who then would be reporting to you in
 25 relation to this, in relation to different

Page 55

1 functions?
 2 DR. JENKINS:
 3 A. Oh, there were a couple of people within our
 4 organization who would be involved, of course,
 5 within the Department of Pathology and
 6 Laboratory which directly line report to me in
 7 any case, but there's also a fair amount of
 8 assistance provided by quality management and
 9 research folks as well who were engaged in
 10 various aspects of that. So we certainly did
 11 share in some of the responsibilities, CEO was
 12 involved with some of the follow-up as well,
 13 so we kept in regular and close contact with
 14 each other in that regard.
 15 COFFEY, Q.C.:
 16 Q. Now, if we could look, please, at exhibit P-
 17 0087? Doctor, these are notes, typed version
 18 of notes kept by Dr. Williams and just refer
 19 you, October 4, 2005, refers to a conference
 20 call with other regional boards, listed for
 21 Western are yourself and Ms. Gillam, I take
 22 it?
 23 DR. JENKINS:
 24 A. Uh-hm.
 25 COFFEY, Q.C.:

Page 56

1 Q. And who is Heidi Staeben-Simmons?
 2 DR. JENKINS:
 3 A. The spelling in wrong, but it's Heidi Staeben-
 4 Simmons and she's our director of
 5 communications.
 6 COFFEY, Q.C.:
 7 Q. And there are other health authority
 8 representatives here and it's noted, "The full
 9 overview of the background is given by Dr.
 10 Williams. The specific issues are reviewed by
 11 DCU, which would be Don Cook and questions of
 12 whether we should notify all patients who are
 13 being retested arose at this point." Now,
 14 Doctor, and the Commissioner has already heard
 15 that The Independent published a newspaper
 16 story on this on Sunday, October 2nd.
 17 DR. JENKINS:
 18 A. Uh-hm.
 19 COFFEY, Q.C.:
 20 Q. This would be two days later on the 4th. What
 21 was the view within Western as to the
 22 notification of patients at this--at that
 23 stage?
 24 DR. JENKINS:
 25 A. And when you say "view" how do you--what

Page 57	Page 59
<p>1 exactly do you mean -</p> <p>2 COFFEY, Q.C.:</p> <p>3 Q. Within the organization, within senior</p> <p>4 management.</p> <p>5 DR. JENKINS:</p> <p>6 A. Well I think we fully anticipated that there</p> <p>7 was going to be notification and disclosure,</p> <p>8 you know, to patients at some particular point</p> <p>9 and that, you know, it really was going to be</p> <p>10 dependent upon how this was going to come</p> <p>11 together and what our role would be in</p> <p>12 relationship to the results being obtained and</p> <p>13 guidance from the Department of Health and</p> <p>14 from Eastern Health as to how this was going</p> <p>15 to flow. And we were wanting to make sure or</p> <p>16 we felt that it would be important, as well,</p> <p>17 that there be some consistency in terms of how</p> <p>18 communications would be handled in terms of</p> <p>19 reporting to patients. So that was kind of</p> <p>20 the general sort of thinking that was around</p> <p>21 our table at that point in time.</p> <p>22 COFFEY, Q.C.:</p> <p>23 Q. And this would be consistency, I take it</p> <p>24 province wide?</p> <p>25 DR. JENKINS:</p>	<p>1 Q. - where that comes up. But in the beginning</p> <p>2 then -</p> <p>3 DR. JENKINS:</p> <p>4 A. Not in the beginning, yeah.</p> <p>5 COFFEY, Q.C.:</p> <p>6 Q. - I take it, Doctor, Western's approach was to</p> <p>7 communicate with Eastern and the Department of</p> <p>8 Health -</p> <p>9 DR. JENKINS:</p> <p>10 A. Uh-hm.</p> <p>11 COFFEY, Q.C.:</p> <p>12 Q. With a view to adopting an approach that might</p> <p>13 be taken province wide at the lead of the</p> <p>14 Department and Eastern?</p> <p>15 DR. JENKINS:</p> <p>16 A. That's correct, we really weren't, you know,</p> <p>17 planning on an independent mechanism by which</p> <p>18 we would notify patients.</p> <p>19 COFFEY, Q.C.:</p> <p>20 Q. Exhibit P-2732? Doctor, this is a memorandum</p> <p>21 on Western Regional Integrated Health</p> <p>22 Authority letterhead. It's from yourself in</p> <p>23 your capacity as VP Medical Services, October</p> <p>24 4, 2005. Subject is ER/PR receptors and it's</p> <p>25 to all physicians, nursing administrators,</p>
Page 58	Page 60
<p>1 A. Yes.</p> <p>2 COFFEY, Q.C.:</p> <p>3 Q. Between authorities.</p> <p>4 DR. JENKINS:</p> <p>5 A. That's right.</p> <p>6 COFFEY, Q.C.:</p> <p>7 Q. In those early stages after it went public or</p> <p>8 it became publicly known, was Western at the</p> <p>9 time given any thought to contacting its own</p> <p>10 patients to let them know that the testing was</p> <p>11 going on?</p> <p>12 DR. JENKINS:</p> <p>13 A. Well we did, in fact, and it was on request of</p> <p>14 Eastern Health to provide notification to</p> <p>15 patients that there was testing and retesting</p> <p>16 that was occurring and, you know, I don't have</p> <p>17 the timeframe exactly on the top of my head,</p> <p>18 Mr. Coffey, you may be able to help me out</p> <p>19 with that.</p> <p>20 COFFEY, Q.C.:</p> <p>21 Q. Okay, so we'll get--there is material we'll</p> <p>22 look at that shows us October and it goes on -</p> <p>23 DR. JENKINS:</p> <p>24 A. Right.</p> <p>25 COFFEY, Q.C.:</p>	<p>1 public health nurses, diagnostic imaging</p> <p>2 department, population of health consultants</p> <p>3 and breast screening clinic.</p> <p>4 DR. JENKINS:</p> <p>5 A. Uh-hm.</p> <p>6 COFFEY, Q.C.:</p> <p>7 Q. And it's noted to be distributed October 4th</p> <p>8 and 5th, '05.</p> <p>9 DR. JENKINS:</p> <p>10 A. Uh-hm.</p> <p>11 COFFEY, Q.C.:</p> <p>12 Q. And the initials here -</p> <p>13 DR. JENKINS:</p> <p>14 A. HS.</p> <p>15 COFFEY, Q.C.:</p> <p>16 Q. Who is?</p> <p>17 DR. JENKINS:</p> <p>18 A. And that's Hellen Sparkes, who is my</p> <p>19 administrative assistant.</p> <p>20 COFFEY, Q.C.:</p> <p>21 Q. And you write, "Please find attached some</p> <p>22 questions and answers that may be helpful in</p> <p>23 addressing concerns by clients who have had</p> <p>24 breast cancer and have concerns about the</p> <p>25 resting of ER/PR receptors. The retesting is</p>

Page 61

1 being conducted by Eastern Health through
 2 Mount Sinai Hospital in Toronto, Ontario.
 3 Should you wish to contact me regarding this
 4 issue, please call"--a particular number.
 5 Signed yourself. And the attachment, page two
 6 of the exhibit and it's on Western Health
 7 Authority letterhead. It's entitled "Client
 8 Handout" and there's a question, "What is
 9 ER/PR?" And an answer. "What is happening
 10 now? Why are some test results different?"
 11 There's an answer and then there's a question
 12 "As a breast cancer patient, I haven't been
 13 contacted, what should I do?" And a response.
 14 Doctor, the drafting of this client handout
 15 was done by whom?
 16 DR. JENKINS:
 17 A. By Eastern Health.
 18 COFFEY, Q.C.:
 19 Q. I take it you just substituted here of -
 20 DR. JENKINS:
 21 A. That's correct, we just substituted in Western
 22 Region and the Western Health name at the top
 23 of the document as well.
 24 COFFEY, Q.C.:
 25 Q. In the body and in the heading at the top?

Page 62

1 DR. JENKINS:
 2 A. Yes, that's correct, yes.
 3 COFFEY, Q.C.:
 4 Q. Now, Doctor, here under the question, "What is
 5 happening now? Why are some test results
 6 different?"
 7 DR. JENKINS:
 8 A. Uh-hm.
 9 COFFEY, Q.C.:
 10 Q. And in the first paragraph, middle of it, the
 11 third sentence, it reads, "In 2004, the lab at
 12 the Health Sciences Centre that does all the
 13 Provincial ER and PR testing introduced a new
 14 piece of technology and discovered some
 15 inconsistent results from the old system."
 16 DR. JENKINS:
 17 A. Uh-hm.
 18 COFFEY, Q.C.:
 19 Q. Now, Doctor, at that point in time, this is
 20 early October 2005, what was your
 21 understanding about how this had come about,
 22 the resting?
 23 DR. JENKINS:
 24 A. Well certainly Dr. Williams had provided us
 25 with, you know, a large portion of the

Page 63

1 information as to what had been evolving.
 2 There were some concerns in terms of the
 3 technology and whether it was working the way
 4 it should, you know, whether there were some
 5 issues in terms of the accuracy of the testing
 6 from a technical perspective. There had been,
 7 of course, the introduction of an automated
 8 process instead of a semi-automated process
 9 that had been in place previously, and, you
 10 know, I think I was under the understanding
 11 that there were really technical issues
 12 related to that, that was the main issue
 13 around why we're starting to run into
 14 challenges with some of the test results now.
 15 THE COMMISSIONER:
 16 Q. When you say "we're getting to that", do you
 17 mean relating to the introduction of the new
 18 system or something different?
 19 DR. JENKINS:
 20 A. Yes, well both relating to the introduction of
 21 the new system and processing of samples
 22 themselves, as well.
 23 THE COMMISSIONER:
 24 Q. Had Dr. Williams told you how this was
 25 discovered?

Page 64

1 DR. JENKINS:
 2 A. My recollection is that we didn't get into
 3 highly specific detail on the technical
 4 aspects of it, but just that there were
 5 problems in terms of some of the steps in the
 6 process, but I don't recall that he, you know,
 7 gave a specific technical reason as to why
 8 that had occurred.
 9 THE COMMISSIONER:
 10 Q. Or how they discovered it?
 11 DR. JENKINS:
 12 A. Oh yes, now in terms of how it was discovered,
 13 yes, there was a discussion around that which
 14 related to a specific breast cancer patient
 15 that Dr. Laing had consulted with one of her
 16 US colleagues on and discussed the case,
 17 shared some information about it and then the
 18 feedback from her colleague was that it should
 19 have expected a different, perhaps a different
 20 result and that that was my understanding of
 21 what actually triggered then the look back or
 22 the decision for the need to look back.
 23 COFFEY, Q.C.:
 24 Q. Exhibit P-1949 again please? This is page two
 25 of it, this is the e-mail from Ms. Predham on

Page 65	Page 67
<p>1 September 29th. Doctor, here on the second 2 last paragraph of her e-mail she begins by 3 saying, "We have had external reviews done on 4 our Ventana machine on a pathology side of the 5 service and the technical side, all those 6 reports are pending, but we do have some 7 recommendations that we can implement right 8 now." And she goes on about having stopped 9 all testing. She concludes that paragraph by 10 saying, "Results are starting to come in and 11 it looks like we will have to contact up to 12 200 people to tell them that they were 13 initially tested as negative but were, in 14 fact, positive." 15 DR. JENKINS: 16 A. Uh-hm. 17 COFFEY, Q.C.: 18 Q. She had earlier, in the third paragraph, 19 referred to, at one point in 2005, 57 having 20 been retested on a Ventana system, 38 now 21 showed positive results. And you can do the 22 arithmetic, it's about a sixty-odd percent 23 conversion. Now, Doctor, at the time, the 24 idea that you might have to tell or it might 25 be required to tell 200 people, as many as 200</p>	<p>1 the ER/PR issues and, you know, with the 2 understanding that patients would start to 3 become notified and be asking questions and we 4 wanted to try to get some information in 5 advance out to our providers, so they could be 6 prepared for those questions. 7 COFFEY, Q.C.: 8 Q. Now by this point, early October, the two 9 external reviewers had been here in 10 Newfoundland had gone. 11 DR. JENKINS: 12 A. Um-hm. 13 COFFEY, Q.C.: 14 Q. Doctor, were you ever told by Dr. Williams or 15 anyone else from Eastern Health what the 16 external reviewers had found, at least in 17 their opinion? 18 DR. JENKINS: 19 A. No, we hadn't been, Mr. Coffey. 20 COFFEY, Q.C.: 21 Q. In fact, Doctor, in relation to that, what is 22 now exhibits, I think, P-0046, 0047, 0048, and 23 0049, okay, Dr. Banerjee and Trish 24 Wegrynowski's reports 2005-2006, you first saw 25 those when?</p>
<p>1 people that based upon the initial results 2 started to come in, that their test results 3 had changed and of course, at that point in 4 time Western hadn't even sent its material. 5 DR. JENKINS: 6 A. Uh-hm. 7 COFFEY, Q.C.: 8 Q. You would have known that. 9 DR. JENKINS: 10 A. Uh-hm. 11 COFFEY, Q.C.: 12 Q. Did it strike you at the time that, look, 13 there are going to be a lot of people involved 14 in this, a lot of people's treatments are 15 going to change? 16 DR. JENKINS: 17 A. Indeed, yes. 18 COFFEY, Q.C.: 19 Q. Bearing in mind, Doctor, if we could look back 20 then at exhibit P-2732? I take it this client 21 handout, this was passed out, I take it? 22 DR. JENKINS: 23 A. It was provided to the individuals on the 24 distribution list and it was intended to 25 provide them with some early information about</p>	<p>1 DR. JENKINS: 2 A. At the time when they were published through 3 this Commission of Inquiry. 4 COFFEY, Q.C.: 5 Q. Doctor, the question posed here, "why are some 6 test results different?" here, the actual 7 answer to that, prior to you seeing those 8 reports, I'm not saying necessarily that they 9 determine why some test results are different, 10 but prior to seeing those reports, what was 11 your understanding about why some test results 12 were different? 13 DR. JENKINS: 14 A. It had been, as Dr. Williams had explained to 15 us, some concerns around, perhaps, the 16 introduction of new technology and some of the 17 process steps that were involved with that. 18 It was a general description that he provided 19 to us, as I had mentioned earlier. So I think 20 to my understanding, it was, you know, based 21 upon some of the technical aspects of the 22 processing of tissue samples themselves. 23 COFFEY, Q.C.: 24 Q. And so really from September 29th, 2005, Dr. 25 Williams spoke to you about it, until you saw</p>

Page 69

1 the reports and have heard whatever you have
 2 involving the Commission process itself, your
 3 understanding never changed?
 4 DR. JENKINS:
 5 A. No, that was the first new information that we
 6 had really, in terms of -
 7 COFFEY, Q.C.:
 8 Q. Since the Commission process has begun?
 9 DR. JENKINS:
 10 A. Correct.
 11 THE COMMISSIONER:
 12 Q. Sorry, interrupting again. So are you saying
 13 that the question of what went wrong did not
 14 get discussed between this time very early in
 15 the process to the time when the reports were
 16 introduced earlier this year or revealed
 17 earlier this year or that the information you
 18 were getting was essentially the same as Dr.
 19 Williams had given you early in the day?
 20 DR. JENKINS:
 21 A. Yes, it would be the latter aspect, which was,
 22 you know, the initial information we were
 23 provided was what we were aware of throughout
 24 the course, and then the new information that
 25 came as a result of the publishing of the

Page 70

1 report was at the time of that being made
 2 available through the Commission.
 3 THE COMMISSIONER:
 4 Q. Thank you.
 5 COFFEY, Q.C.:
 6 Q. Exhibit P-2242? Doctor, this is just some e-
 7 mails, one that's dated as October 6th, 2005.
 8 It's from Ms. Sullivan to Ms. O'Brien and
 9 yourself. She's sending an article from The
 10 Globe and Mail and the article refers to or
 11 deals with "flawed test imperils scores of
 12 cancer patients. Hundreds of tissue samples
 13 subject to retest after lab flaws uncovered."
 14 And then I take it, you forwarded this on to
 15 Dr. Neil?
 16 DR. JENKINS:
 17 A. Um-hm.
 18 COFFEY, Q.C.:
 19 Q. Saying "for your information, please feel free
 20 to share with the staff. We need to keep the
 21 momentum going to get our samples in. Sincere
 22 thanks to all who are making the extra efforts
 23 to deal with this." Now Doctor, could you
 24 tell the Commissioner then about the efforts
 25 that you recall occurred within Western from

Page 71

1 the time you got involved?
 2 DR. JENKINS:
 3 A. Certainly. You know, I think we realized
 4 fairly quickly, once the news was shared with
 5 us, that there was, you know, a significant
 6 effort that needed to be made to deal with the
 7 submission of the tissue samples that were
 8 being requested, and I had spoken with our
 9 regional director laboratory services at the
 10 time regarding the level of urgency and
 11 indicated that, you know, basically we needed
 12 to pull out all stops here, gave the authority
 13 to bring staff in on overtime at that
 14 particular point to get samples collected and
 15 submitted, and there was a very significant
 16 piece of work that had to be done and you
 17 know, the technologists themselves and the
 18 secretaries and administrative supports were
 19 very much involved with looking back through
 20 large numbers of files and archived materials
 21 to pull this all together. So it was a really
 22 significant effort that was made on behalf of
 23 our staff to provide that for Eastern Health.
 24 COFFEY, Q.C.:
 25 Q. And at Western, Doctor, that, I take it, in

Page 72

1 terms of your involvement, started--well, you
 2 were first told about this September 29th, so
 3 it would have started--and you were in St.
 4 John's at that point, so it would have started
 5 September 30th, Friday, or the following week?
 6 DR. JENKINS:
 7 A. It was the following week, I believe, because
 8 we--I know we had a senior management retreat
 9 down in Bonne Bay. There was a reference to
 10 one of the other items that we were away for a
 11 day or two, so it was shortly thereafter when
 12 we got back that week that we sort of spun
 13 things up and got things moving fairly
 14 quickly.
 15 COFFEY, Q.C.:
 16 Q. Now Doctor, could you tell the Commissioner
 17 then, within Western then, who was assigned to
 18 do what?
 19 DR. JENKINS:
 20 A. In terms of the collection of samples?
 21 COFFEY, Q.C.:
 22 Q. Yes.
 23 DR. JENKINS:
 24 A. So I would have given direction to our
 25 regional director for laboratory services to

Page 73

1 go ahead and get the people in place to get
 2 the materials together. So he would have
 3 pulled in then, his technologists and the
 4 other support people within the Department of
 5 Pathology and the regional laboratory office
 6 to get all those materials together. So it
 7 would have been a direct line of
 8 responsibility from myself to the regional
 9 director and then to his people as well.

10 COFFEY, Q.C.:
 11 Q. Who's the regional director?
 12 DR. JENKINS:
 13 A. That was Frank Holloway at the time.

14 COFFEY, Q.C.:
 15 Q. And how did he go about identifying the
 16 patients, do you know?
 17 DR. JENKINS:
 18 A. They had a number of lists that they made up.
 19 They cross referenced in a number of different
 20 ways, both through their own information base
 21 that they had and some of it, as I know Dr.
 22 Neil gave testimony to, was computerized in an
 23 older system. Some was in our Meditech
 24 system, and there was also an attempt to cross
 25 reference with the Newfoundland Cancer

Page 74

1 Treatment Research Foundation on patients that
 2 they had on their list as well. So we used a
 3 number of cross referencing means to try to
 4 sort out, you know, which patients were
 5 involved and make sure that we had everything
 6 covered off as best we could at that time.

7 COFFEY, Q.C.:
 8 Q. Were you told, during that effort, as it was
 9 going on, Doctor, were you ever told that
 10 there was a possibility that some patients
 11 might be missed?
 12 DR. JENKINS:
 13 A. Dr. Neil and I had had some discussions. I
 14 think he felt confident and shared with us
 15 that he felt we had, you know, all of the
 16 information that was available to us at that
 17 point in time, but there was always a bit of a
 18 concern because we were, you know, going back
 19 and digging out archival materials and because
 20 we were dealing with different systems, in
 21 effect, that were used for logging patients
 22 results and whatnot, that there was always
 23 some possibility that some samples or some
 24 patients might be missed in the process, but I
 25 know they were very thorough and complete in

Page 75

1 what work they had, based upon the resources
 2 they had available to them.

3 COFFEY, Q.C.:
 4 Q. Now Doctor, could you tell the Commissioner,
 5 please, how cancer care within Western Health
 6 generally is structured?
 7 DR. JENKINS:
 8 A. Sure. There is a cancer clinic in Western,
 9 but it really falls under the mandate and
 10 umbrella of the Newfoundland Cancer Treatment
 11 and Research Foundation at the time and Cancer
 12 Care now. Our staff physicians will provide
 13 some support and service to the unit, both for
 14 therapy and in consultation at times and we do
 15 get visiting oncologists and radiation
 16 oncologists as well, medical oncologists and
 17 radiation oncologists that will come out and
 18 provide service on a visiting basis. So, I
 19 guess, it's a partnership, I think I would
 20 call it, in terms of our relationship between
 21 Eastern Health and with the local providers.

22 COFFEY, Q.C.:
 23 Q. And the clinic itself though is under whose
 24 jurisdiction?
 25 DR. JENKINS:

Page 76

1 A. It's actually under the jurisdiction of Cancer
 2 Care, but it's housed within Western Memorial
 3 Regional Hospital.

4 COFFEY, Q.C.:
 5 Q. And how many employees work there, do you
 6 know?
 7 DR. JENKINS:
 8 A. I'm not sure, Mr. Coffey, off the top of my
 9 head how many are there.

10 COFFEY, Q.C.:
 11 Q. And they though report actually to -
 12 DR. JENKINS:
 13 A. To Eastern Health.

14 COFFEY, Q.C.:
 15 Q. - Eastern Health?
 16 DR. JENKINS:
 17 A. That's correct.

18 COFFEY, Q.C.:
 19 Q. Exhibit P-2733. Now Doctor, this is a series
 20 of e-mails of October 5th and 6th 2005. The
 21 first is October 5 from Ms. O'Brien to a
 22 number of individuals, including yourself, and
 23 she writes "for your information, I received a
 24 call from Sue Sullivan this evening regarding
 25 a patient from" a particular area, "who's

Page 77

1 quite upset regarding the lab issue. Cannot
 2 believe Sue forwarded the voice message from
 3 the Patient Relation Officer at Eastern
 4 Regional Integrated Health Authority to you
 5 this evening. Just wanted everyone to be
 6 aware as I think this is the first of many. I
 7 anticipate we will have meeting involvement as
 8 patients and families reflect on what this all
 9 means. Thanks, Kelli." And then you, on the
 10 next day, respond to the individuals covered
 11 by the earlier e-mail. "We will be directing
 12 patients to their family physicians or other
 13 attending physician for advice and will be
 14 providing info to providers to help them
 15 explain the situation to their patients."
 16 DR. JENKINS:
 17 A. Um-hm.
 18 COFFEY, Q.C.:
 19 Q. And then, Doctor, on the same day, October
 20 6th, the morning thereof, you advise Ms.
 21 Sparkes, your administrative assistant, you
 22 write "please start a file on 'breast cancer
 23 ER/PR issue 2005' and put this in it. More to
 24 follow. Thanks."
 25 DR. JENKINS:

Page 78

1 A. Um-hm.
 2 COFFEY, Q.C.:
 3 Q. I take it this was the beginning of kind of a
 4 formal file for yourself?
 5 DR. JENKINS:
 6 A. That's correct.
 7 COFFEY, Q.C.:
 8 Q. P-2734, please. Now Doctor, here on October
 9 6th, you--I take it when you send things to
 10 Ms. Sparkes, you're just simply having her
 11 file them?
 12 DR. JENKINS:
 13 A. Correct, materials which are felt would be of
 14 importance or relevance, I would has Hellen to
 15 keep for me.
 16 COFFEY, Q.C.:
 17 Q. And then the e-mail that you're asking that
 18 she keep track of for you is dated October
 19 5th, 2005. It's from Heidi Simmons and it's
 20 to--I'm just going to look down through the
 21 names. There's a long list.
 22 DR. JENKINS:
 23 A. Long list.
 24 COFFEY, Q.C.:
 25 Q. And then she writes, they're all the

Page 79

1 addressees, she writes "many of you may have
 2 heard in the media about the issue of breast
 3 cancer"--I'm sorry "issue with breast cancer
 4 patients and the testing for estrogen
 5 receptors, progesterone receptors at Eastern
 6 Health. We are currently working with Eastern
 7 Health to resubmit previously collected tissue
 8 samples from breast cancer patients for
 9 retesting for the period 1997 to 2004. The
 10 retesting will not change an individual's
 11 diagnosis, but may be one of the factors
 12 considered in determining the type of
 13 treatment a patient will receive. We have
 14 prepared a hand out for physicians, public
 15 health nurses, the Provincial Breast Screening
 16 Program, nursing, administration and other
 17 groups to provide to their clients who may
 18 have concerns about this issue. For your
 19 information, I have attached a link to this
 20 information which has been posted on our
 21 organization's website." And that's it there.
 22 So I take it that this hand out we looked at
 23 earlier was up on your website by this point?
 24 DR. JENKINS:
 25 A. That's correct.

Page 80

1 COFFEY, Q.C.:
 2 Q. And now, Doctor, could you tell the
 3 Commissioner then, this list of people,
 4 addressees, is meant to cover whom?
 5 DR. JENKINS:
 6 A. Mr. Coffey, I suspect it's probably a
 7 truncated list and it was likely, you know,
 8 through a wide section of our leadership
 9 structure within our organization. I mean,
 10 just having a quick look at it, those are kind
 11 of people who would be in the leadership
 12 management positions and in sort of key
 13 positions otherwise throughout the
 14 organization. So it's intended to go broadly.
 15 Now it might have been--that might have been a
 16 send all. We do have a capability to, you
 17 know, I guess, blast e-mail to everybody in
 18 the organization who has access on our e-mail
 19 system, and I'm not sure if that was one of
 20 those. It could very well have been. Might
 21 have been a send all type e-mail.
 22 COFFEY, Q.C.:
 23 Q. Exhibit P-0630. Doctor, this is a series of
 24 e-mails of October 7th. I apologize, perhaps
 25 if instead we could look at Exhibit P-2735?

Page 81	Page 83
<p>1 Doctor, this is a series of e-mails of October 2 7th, 2005. The first is from Diane Smith, who 3 is the executive assistant to the COO Cancer 4 Care Eastern Health. She writes to a number 5 of individuals, including yourself, in effect 6 the three other health authorities VP 7 Medicals, Dr. Jong, yourself and Dr. Alteen. 8 She says "please see attached communique from 9 Dr. Paul Gardiner, Medical Director of the 10 Bliss Murphy Cancer Centre, regarding the 11 ER/PR testing issue. We ask that you ensure 12 surgeons in your area who perform breast 13 surgery receive a copy of this communique." 14 The actual communique, Doctor, is here, dated 15 October 4th, 2005 from Dr. Gardiner.</p> <p>16 DR. JENKINS: 17 A. Right, yeah.</p> <p>18 COFFEY, Q.C.: 19 Q. And then on the same day, Ms. Smith also sends 20 it on to Dr. Baker in Carbonear and she notes 21 that it was sent to Ms. Pilgrim, it was sent 22 to Doctors Jong, Jenkins and Alteen. Doctor, 23 in relation to this matter then, what, if 24 anything, did you do with Dr. Gardiner's 25 letter?</p>	<p>1 all physicians who practice within this 2 geographic area?</p> <p>3 DR. JENKINS: 4 A. Yes, we do.</p> <p>5 COFFEY, Q.C.: 6 Q. You have a mailing list?</p> <p>7 DR. JENKINS: 8 A. That's correct.</p> <p>9 COFFEY, Q.C.: 10 Q. And that sort of a list would be utilized here 11 to send out Dr. Gardiner's letter?</p> <p>12 DR. JENKINS: 13 A. Yes, sir, that's correct.</p> <p>14 COFFEY, Q.C.: 15 Q. Now Doctor, here in the same exhibit, you, on 16 October 11th, received an e-mail from Dr. Neil 17 indicating "we are almost complete, 2002 and 18 2000 are sent. 2001 and 2003 to go today. 19 Hopefully 2004 to go tomorrow. 1997 and 1999 20 will be a little more time consuming since we 21 were not on Meditech, but we are striving to 22 get all done by week's end." Signed Paul.</p> <p>23 DR. JENKINS: 24 A. Right.</p> <p>25 COFFEY, Q.C.:</p>
<p>1 DR. JENKINS: 2 A. I believe we had forwarded that on then to 3 physicians in the area, to make them aware, 4 and I think there is some correspondence 5 somewhere to that effect, where I did forward 6 that information along. I think it's on file 7 somewhere, Mr. Coffey.</p> <p>8 COFFEY, Q.C.: 9 Q. Yes, and if we could, please, look at Exhibit 10 P-2246? Doctor, the bottom of the exhibit is 11 the e-mail from Diane Smith that we just 12 looked at.</p> <p>13 DR. JENKINS: 14 A. Right.</p> <p>15 COFFEY, Q.C.: 16 Q. And then on October 11, 2005, you've sent this 17 to Ms. Sparkes, but as well to Dr. Neil and 18 Mr. Holloway and you write, "please print the 19 attachment for the ER/PR file and forward a 20 copy to all docs in the region."</p> <p>21 DR. JENKINS: 22 A. Right.</p> <p>23 COFFEY, Q.C.: 24 Q. "Thanks, Ken." So in relation to this, 25 Doctor, does then Western have a listing of</p>	<p>1 Q. And you respond indicating you appreciate the 2 hard work being done by all concerned. 3 Doctor, I'm going to refer you to one other 4 exhibit right now, up to this point in time, 5 Exhibit P-2736. Doctor, what is this? 6 Obviously it's Western Regional Integrated 7 Health Authority letterhead and it's from 8 yourself.</p> <p>9 DR. JENKINS: 10 A. Right.</p> <p>11 COFFEY, Q.C.: 12 Q. Are these kind of your notes?</p> <p>13 DR. JENKINS: 14 A. This is a minute sheet that I use for informal 15 correspondence, just in--mostly for internal 16 use.</p> <p>17 COFFEY, Q.C.: 18 Q. And the subject here is ER/PR file.</p> <p>19 DR. JENKINS: 20 A. Um-hm.</p> <p>21 COFFEY, Q.C.: 22 Q. It's October 11th, 2005. Provincial telephone 23 call?</p> <p>24 DR. JENKINS: 25 A. Tele--TC is tele conference, correct.</p>

Page 85

1 COFFEY, Q.C.:

2 Q. Tele conference, and then here, what's this,

3 DW?

4 DR. JENKINS:

5 A. D/W is discussion with Bob Williams.

6 COFFEY, Q.C.:

7 Q. Bob Williams, and then you identify a

8 particular patient whose name is redacted

9 here, and the doctor's name, and "tested

10 October '03. Wants someone to talk to."

11 DR. JENKINS:

12 A. Right.

13 COFFEY, Q.C.:

14 Q. And so why would that come up then in this

15 context?

16 DR. JENKINS:

17 A. My recollection of that was that there was a

18 specific request to talk to a patient in our

19 region, that there had been some inquiry that

20 had been made by this particular individual

21 and that was a request for some further

22 information. That's what I'm recalling on

23 that particular one. I'm not sure why there

24 was a particular individual that came out of

25 that discussion. I just remember that there

Page 86

1 was a specific request regarding an

2 individual.

3 COFFEY, Q.C.:

4 Q. I refer you to that, Doctor, because I wanted

5 to ask you about this. If a patient actually

6 wanted to have a technical or semi-technical

7 discussion about this, was there anyone

8 actually at Western at the time who was in a

9 position to formally discuss it with the

10 patient?

11 DR. JENKINS:

12 A. I don't think so really, and I think we would

13 have very much relied upon Eastern Health and,

14 you know, their resources to be able to

15 provide specific technical questions. We

16 could certainly provide the sorts of

17 information that we've--some which we've

18 looked at already that were shared with

19 physicians and others, and we could certainly

20 share that directly with patients, but beyond

21 that, I think we were somewhat limited, in

22 terms of what we were able to provide to

23 patients.

24 COFFEY, Q.C.:

25 Q. And -

Page 87

1 THE COMMISSIONER:

2 Q. Sorry, Mr. Coffey. Do I take it from that

3 that it would have been frequent referring of

4 patients on to Eastern Health or were you a

5 conduit through which that information flowed?

6 DR. JENKINS:

7 A. It could be a little bit of both,

8 Commissioner. Certainly there was--Eastern

9 Health, in the early days, I'm not sure

10 exactly when it commenced, but they did stand

11 up a capability for having a person answer a

12 phone and provide responses to patients and

13 family members who may have concerns or

14 questions, and that was--that resource was

15 made available to us and so, you know, we may

16 be able to answer some of the questions

17 ourselves, but we certainly had a reliance

18 upon the resources of Eastern Health as well

19 to provide support to us.

20 COFFEY, Q.C.:

21 Q. And here then, Doctor, under number two,

22 there's a discussion, here Pat Pilgrim and

23 Heather Predham, Bob Williams and Betty -

24 DR. JENKINS:

25 A. Let's see. Betty Forward, I think.

Page 88

1 COFFEY, Q.C.:

2 Q. Forward, and Larry Alteen.

3 DR. JENKINS:

4 A. And Larry Alteen.

5 COFFEY, Q.C.:

6 Q. George in St. John's, that would be George

7 Tilley?

8 DR. JENKINS:

9 A. George Tilley, yeah.

10 COFFEY, Q.C.:

11 Q. David Diamond in Central, and I take it this

12 is the tele conference?

13 DR. JENKINS:

14 A. So the people, I think I just made notes of

15 who was actually on the line, yeah.

16 COFFEY, Q.C.:

17 Q. And there's a note here, "Pat's comments," so

18 you're attributing these to Pat Pilgrim.

19 DR. JENKINS:

20 A. To Pat Pilgrim.

21 COFFEY, Q.C.:

22 Q. "Some confusion with mammogram -

23 DR. JENKINS:

24 A. Yes, yes, services

25 COFFEY, Q.C.:

Page 89	Page 91
<p>1 Q. - services due to media coverage. Feedback 2 line staffed by QI personnel. Staff speak 3 with Dr. Williams and Pat - 4 DR. JENKINS: 5 A. PRN as necessary. 6 COFFEY, Q.C.: 7 Q. Okay, "as necessary, not a hot line, just a 8 regular line. Dave asked to use this line and 9 Eastern is okay with that." 10 DR. JENKINS: 11 A. Yes. 12 COFFEY, Q.C.: 13 Q. Dave would be Mr. Diamond? 14 DR. JENKINS: 15 A. Yes. 16 COFFEY, Q.C.: 17 Q. Then "Bob Williams: not all patients may be 18 offered Tamoxifen or other treatment if doing 19 well and five plus years out. Will be a 20 variety of decisions depending on the unique 21 patient circumstances. Info on NLMA website 22 too. HIROC has been consulted. Advised 23 against massive mail out. Bringing in a - 24 DR. JENKINS: 25 A. SME, subject matter expert.</p>	<p>1 Q. Doctor, too, in relation to this, the idea of 2 accessing oncology services to deal with 3 treatment decisions, I appreciate if a patient 4 is in St. John's or in the St. John's region, 5 they could simply go to the oncology centre 6 here and see their doctor. As events 7 unfolded, are you aware of how financial costs 8 were treated for patients who might have to go 9 to St. John's, you know, due to treatment 10 changes? 11 DR. JENKINS: 12 A. I'm not aware that there were any special 13 arrangements put in place to, you know, 14 provide supports for these particular 15 patients. There may have been, there may not 16 have been. I'm not aware of them, to the best 17 of my recollection now, but I know it was a 18 real concern for us. 19 COFFEY, Q.C.: 20 Q. Who would be aware of any special 21 arrangements, if there were any, within your 22 organization? 23 DR. JENKINS: 24 A. I think I probably would be aware of it 25 myself.</p>
<p>1 COFFEY, Q.C.: 2 Q. Okay, from Seattle to do a review. 3 DR. JENKINS: 4 A. Um-hm. 5 COFFEY, Q.C.: 6 Q. And there's a remark attributed to Larry 7 Alteen, "how are we going to access oncology 8 services to deal with treatment decisions?" 9 And then "regular updates to be provided to 10 contacts in each region. Ken is the 11 representative for Western. Eastern Health 12 will keep global registry. George will take 13 to national level." Now Doctor, a couple of 14 questions in relation to this. Do you know if 15 this information line required, for example, a 16 patient from Western to spend money to access 17 it? Is it a long distance call? 18 DR. JENKINS: 19 A. There was a 1-800 number, I believe, at one 20 point in time. I'm not sure if that was 21 initially, Mr. Coffey, and I know there was 22 another number, just a regular phone number, 23 which persons would have had to dial long 24 distance to access. 25 COFFEY, Q.C.:</p>	<p>1 COFFEY, Q.C.: 2 Q. You would be aware. So if they existed, you'd 3 be aware of it. 4 DR. JENKINS: 5 A. I would think so. 6 COFFEY, Q.C.: 7 Q. And you don't know of any. 8 DR. JENKINS: 9 A. But, yeah, my memory is not 100 percent 10 perfect, Mr. Coffey, but - 11 COFFEY, Q.C.: 12 Q. And that's something though, as a subject 13 matter, at least Larry Alteen, of course, 14 earlier Larry raised, he's your counterpart in 15 Central, he raised it early on and would have 16 occurred to you early on too? 17 DR. JENKINS: 18 A. Yes. 19 COFFEY, Q.C.: 20 Q. The point being that if the doctors can come 21 to the medical centre in Central or Western, 22 well, fine. 23 DR. JENKINS: 24 A. That's right. 25 COFFEY, Q.C.:</p>

Page 93

1 Q. But if they can't, and the patients have to go
 2 to St. John's, then there'd be costs
 3 associated with that?
 4 DR. JENKINS:
 5 A. Correct, yeah. It was access that was our
 6 concern.
 7 COFFEY, Q.C.:
 8 Q. And to your knowledge, there were never any
 9 special arrangements made in relation to this?
 10 DR. JENKINS:
 11 A. No.
 12 COFFEY, Q.C.:
 13 Q. Did that come up as a subject matter from time
 14 to time?
 15 DR. JENKINS:
 16 A. I think we had some discussions around that.
 17 I think the greater focus was about getting
 18 information out and how to get it out, but
 19 there wasn't a lot of detailed discussion
 20 around how people were going to--whether or
 21 not they were going to be visiting St. John's
 22 or whatnot. There was discussion around, for
 23 example, the tumour boards, which is a piece
 24 of information we may be talking about later
 25 and how that--how cases would get discussed in

Page 94

1 that context.
 2 COFFEY, Q.C.:
 3 Q. Doctor, here, reference, you've noted here at
 4 the bottom of the first page of the exhibit
 5 here to "HIROC has been consulted. Advised
 6 against massive mail out." What was that
 7 about?
 8 DR. JENKINS:
 9 A. I hadn't been directly involved with that
 10 particular conversation. That came through, I
 11 think, Sue Sullivan, who was around at the
 12 particular time and she had had some
 13 discussions, to the best of my recollection,
 14 with HIROC about how we were going to deal
 15 with this particular issue and how we would
 16 communicate it, and I think this might have
 17 been also--and this was a Bob Williams
 18 comment, so this was specifically in
 19 relationship to a comment that came from Bob
 20 Williams, although our own risk manager had
 21 been talking about it as well. So yes, and
 22 Bob had indicated that there had been some
 23 conversation with them and that they were
 24 going to look at having an independent
 25 evaluator do a review. I'm not sure that that

Page 95

1 ever happened though, Mr. Coffey, in terms of
 2 bringing in a subject matter expert.
 3 COFFEY, Q.C.:
 4 Q. Subject matter expert, yes, and I think we
 5 have some idea, perhaps, who that is.
 6 DR. JENKINS:
 7 A. Right.
 8 COFFEY, Q.C.:
 9 Q. But not so much that as I'm interested right
 10 now in this idea of a massive mail out.
 11 DR. JENKINS:
 12 A. Right.
 13 COFFEY, Q.C.:
 14 Q. Mail out of what to whom, for what purpose?
 15 Would that be to advise the patients of what
 16 was going on?
 17 DR. JENKINS:
 18 A. I think this was the context of the discussion
 19 at the time, would be how we were going to
 20 provide information to individuals or the
 21 public in general.
 22 COFFEY, Q.C.:
 23 Q. And your notes indicate that you heard Dr.
 24 Williams say that HIROC was not in favour of
 25 same?

Page 96

1 DR. JENKINS:
 2 A. That's what I did document there, yeah.
 3 COFFEY, Q.C.:
 4 Q. Can you recall if he explained why HIROC was
 5 not in favour of same?
 6 DR. JENKINS:
 7 A. No, I don't recall that there was any
 8 particular explanation. I think he was just
 9 passing on to us that there was an opinion
 10 that had been generated from HIROC about that.
 11 COFFEY, Q.C.:
 12 Q. Doctor, from your perspective, might there be
 13 advantages to actually sending something in
 14 writing to patients?
 15 DR. JENKINS:
 16 A. Well, certainly, I think we felt early on,
 17 that it was important that information start
 18 to get out there and, you know, I had done a
 19 media interview early on as well, where we did
 20 talk about it. So yes, I think we felt that
 21 as an organization it was important that some
 22 of this information be shared with the public,
 23 and they start to have an understanding about
 24 what was going on. Of course, we don't, you
 25 know, share individual patient information in

Page 97

1 any kind of sort of public communication, but
 2 in a general sense, it was, I think, an
 3 important exercise.
 4 COFFEY, Q.C.:
 5 Q. In the public, but I'm thinking about patients
 6 in particular, Doctor.
 7 DR. JENKINS:
 8 A. Yes.
 9 COFFEY, Q.C.:
 10 Q. Because we will see that there is a whole
 11 series of phone calls made that month to
 12 patients.
 13 DR. JENKINS:
 14 A. Right.
 15 COFFEY, Q.C.:
 16 Q. But is there an advantage, from your
 17 perspective possibly to having something in
 18 writing, in addition to a phone call?
 19 DR. JENKINS:
 20 A. In terms of contact with patients?
 21 COFFEY, Q.C.:
 22 Q. Yes.
 23 DR. JENKINS:
 24 A. Yes, indeed, yes.
 25 COFFEY, Q.C.:

Page 98

1 Q. And if we could look, please, at exhibit P-
 2 2249? Now, Doctor, this is a whole series of
 3 e-mails. We looked at the ones towards the
 4 end of the exhibit already, we looked at them
 5 already, but at the bottom of the first page,
 6 Doctor, there's an e-mail from yourself,
 7 October 11th--here it is, 2005, to a number of
 8 individuals within your organization. You
 9 write, "Hi, Susan. Regarding the
 10 teleconference today, Eastern has offered to
 11 provide their patient"--something--"feedback
 12 line"--info probably--"info feedback line as a
 13 service to the entire province. It is not a
 14 1-800 style hotline and patients would have to
 15 call long distance to the number. This line
 16 is staffed by QI personnel. We should
 17 consider adding this to our website. HIROC is
 18 bring in an SME from Seattle to review the
 19 situation at Eastern. I asked Bob Williams to
 20 start thinking about plans for additional
 21 oncology clinic time in Western to coincide
 22 with the reporting and follow-up requirements
 23 for our patients. It is anticipated that
 24 there will be a variety of individualized
 25 treatment plans. Eastern will be keeping a

Page 99

1 global registry and I have asked to see a
 2 sample of their database so that we can
 3 develop a similar format for ease of use and
 4 sharing. George will be taking this issue to
 5 the national level. A group is being formed
 6 by a Western rep. to track issues and consult
 7 on a weekly basis. I updated senior
 8 management today. Hope all is well with you
 9 in a belle province." And then she responds
 10 thanking you and "would you be able to touch
 11 base with Heidi, re the line, and if you feel
 12 that is appropriate, how do we communicate it?
 13 Thanks." And, Doctor, was there such a weekly
 14 meeting afterward or weekly meeting or
 15 conference call?
 16 DR. JENKINS:
 17 A. There were regular meetings for a period of
 18 time, I can't say that it was--continued to be
 19 over a long period of time on a weekly basis.
 20 I think it became on an as necessary basis, as
 21 time went on. But I know in the early stages
 22 there were frequent phone calls that did occur
 23 and I should have certainly documentation and
 24 notes to that effect on any of those calls, so
 25 we'd be able to sort of track those.

Page 100

1 COFFEY, Q.C.:
 2 Q. And, Doctor, these teleconferences from time
 3 to time or telephone calls from time to time,
 4 generally were organized or initiated by whom?
 5 DR. JENKINS:
 6 A. Usually by Eastern Health.
 7 COFFEY, Q.C.:
 8 Q. Who was your chief contact then at Eastern
 9 Health?
 10 DR. JENKINS:
 11 A. Well a variety of sources, it would be either
 12 Dr. Williams, Pat Pilgrim would have been
 13 another sort of regular one. We did get
 14 occasional contact from Heather Predham as
 15 well and those would have been the sort of
 16 main people that I would have dealt with.
 17 COFFEY, Q.C.:
 18 Q. Exhibit P-2250? Now the idea, Doctor, and we
 19 just saw a reference to it, Eastern Health
 20 would be the central repository of data. Did
 21 you ever actually see an electronic database
 22 from Eastern Health?
 23 DR. JENKINS:
 24 A. No, not as such. We, I mean subsequently
 25 there were hard copies of spreadsheets that

Page 101	Page 103
<p>1 were provided to us, but no electronic version</p> <p>2 so to speak.</p> <p>3 COFFEY, Q.C.:</p> <p>4 Q. Doctor, this is two e-mails of October 13th,</p> <p>5 the main one here from Dr. Neil to S. Ryan.</p> <p>6 Who is S. Ryan, Newfoundland Cancer Treatment</p> <p>7 Foundation?</p> <p>8 DR. JENKINS:</p> <p>9 A. Yes, I can't remember the first name.</p> <p>10 COFFEY, Q.C.:</p> <p>11 Q. But somebody at the Cancer Treatment</p> <p>12 Foundation in St. John's.</p> <p>13 DR. JENKINS:</p> <p>14 A. Right.</p> <p>15 COFFEY, Q.C.:</p> <p>16 Q. It's copied to yourself and ER and that</p> <p>17 presumably should be PR cases for Western.</p> <p>18 Writes, "Hi, Susan, as per our telephone</p> <p>19 conversation, I would appreciate your help in</p> <p>20 retrieving the following data for Western</p> <p>21 Health concerning patients for repeat of ER/PR</p> <p>22 testing as outlined by Eastern Health, we are</p> <p>23 required to send all ER negative cases on</p> <p>24 primary breast lesions from May '97 to March</p> <p>25 31, 2004. We have been able to retrieve most</p>	<p>1 A. Uh-hm.</p> <p>2 COFFEY, Q.C.:</p> <p>3 Q. Exhibit P-2251? Doctor, this is an e-mail of</p> <p>4 October 13th, 2005 from yourself to senior</p> <p>5 management mail group, copied to Dr. Neil,</p> <p>6 Frank Holloway, Hellen Sparkes, ER/PR update,</p> <p>7 and you write, "Hi, I just had a call from Pat</p> <p>8 Pilgrim. Eastern Health is assembling an</p> <p>9 expert panel staffed by three medical</p> <p>10 oncologists, a radiation oncologist, two</p> <p>11 surgeons and a pathologist will be available</p> <p>12 to review results and provide advise to</p> <p>13 physicians in their dealings with individual</p> <p>14 patients. The group is just assembling now</p> <p>15 and as soon as we have some detail on the</p> <p>16 service they will provide, I will communicate</p> <p>17 that to our physicians." Signed Ken. So I</p> <p>18 take it this is the first indication you had</p> <p>19 had about this review panel?</p> <p>20 DR. JENKINS:</p> <p>21 A. That's correct, Mr. Coffey.</p> <p>22 COFFEY, Q.C.:</p> <p>23 Q. From Western's perspective, how did Western</p> <p>24 feel about the idea of utilizing a review</p> <p>25 panel?</p>
<p>Page 102</p> <p>1 from our Meditech system, however in the</p> <p>2 earlier years, we were on another pathology</p> <p>3 program which is not searchable. We require</p> <p>4 your help from May '97 to include the years</p> <p>5 '98 and '99. Please provide us with all</p> <p>6 patients with breast cancer diagnosed in that</p> <p>7 timeframe by name and MCP. These are from all</p> <p>8 hospitals from our area, including Western</p> <p>9 Memorial, Stephenville, Port aux Basques,</p> <p>10 Burgeo, Bonne Bay and Port Saunders. This</p> <p>11 information was supplied to you as weekly</p> <p>12 tumour registry reports. You aware of the</p> <p>13 urgency of this exercise. Our retrieval of</p> <p>14 cases will depend on the data you provide. I</p> <p>15 sincerely appreciate your help. If you have</p> <p>16 any questions, please call." So this then is</p> <p>17 in mid October, Dr. Neil, I gather, had been</p> <p>18 able to locate what he could from 2000 onward.</p> <p>19 DR. JENKINS:</p> <p>20 A. Yes.</p> <p>21 COFFEY, Q.C.:</p> <p>22 Q. But anything before that was going to require</p> <p>23 as well the assistance or information from the</p> <p>24 Cancer Treatment Foundation.</p> <p>25 DR. JENKINS:</p>	<p>Page 104</p> <p>1 DR. JENKINS:</p> <p>2 A. We thought that was a valuable and important</p> <p>3 exercise would be to have the subject matter</p> <p>4 of clinical experts, you know, review the</p> <p>5 cases and to make sure that whatever action</p> <p>6 was required would be taken. So we felt that</p> <p>7 that was a positive move.</p> <p>8 COFFEY, Q.C.:</p> <p>9 Q. Exhibit P-2737? And, Doctor, here this is a</p> <p>10 fax coversheet to yourself from Patricia</p> <p>11 Pilgrim, October 13th, '05. It's two pages,</p> <p>12 including the coversheet. She writes, "As per</p> <p>13 our telephone conversation"--and you ask that</p> <p>14 it be copied for your ER/PR file and cc it to</p> <p>15 Ms. Gillam, the CEO?</p> <p>16 DR. JENKINS:</p> <p>17 A. Correct, yes.</p> <p>18 COFFEY, Q.C.:</p> <p>19 Q. And then here Ms. Pilgrim has sent you a memo,</p> <p>20 I take it, of October 12th, 2005 addressed to</p> <p>21 a number of doctors and Ms. Predham in St.</p> <p>22 John's, from Dr. Williams, discussing this</p> <p>23 review panel.</p> <p>24 DR. JENKINS:</p> <p>25 A. Uh-hm.</p>

Page 105

1 COFFEY, Q.C.:

2 Q. And it's mandate.

3 DR. JENKINS:

4 A. Right.

5 COFFEY, Q.C.:

6 Q. So you were not only advised by Ms. Pilgrim

7 verbally, but she also sent you kind of the

8 initiating memo?

9 DR. JENKINS:

10 A. Yes.

11 COFFEY, Q.C.:

12 Q. Exhibit P-2738? This is an e-mail, Doctor,

13 from Dr. Neil to yourself, October 18th, 2005.

14 He writes, "Ken, as per our discussion, I

15 spoke with Barry Dyer who is indeed gathering

16 an extensive amount of data on all cases from

17 each region and will be producing results on

18 spreadsheets for each region, I thought he

19 would. As of now, the information is on paper

20 and when complete, all will be computerized.

21 On the second point of our discussion, the one

22 that really concerns me, Barry can also send

23 us another list of patients that had

24 immunohistochemical tests ordered from Western

25 that we can cross reference. He thinks that

Page 106

1 that test should be all inclusive. Looks like

2 we have done all we can do. I'll keep you

3 informed." Signed Paul.

4 DR. JENKINS:

5 A. Uh-hm.

6 COFFEY, Q.C.:

7 Q. Now, Doctor, did you then interpret this e-

8 mail from Dr. Neil as him being a bit uneasy

9 about missing people and wanting to cross-

10 reference as much as he could?

11 DR. JENKINS:

12 A. That was my understanding that he had a

13 certain level of discomfort and he wanted to

14 make sure there were sort of no missed cases

15 and that was his sentiment that I took from

16 that.

17 COFFEY, Q.C.:

18 Q. Doctor, here it was envisaged at that point in

19 time that eventually spreadsheets and in fact

20 eventually computerized spreadsheets would be

21 made available. Did you ever ask Eastern

22 Health why they didn't give you the

23 information electronically?

24 DR. JENKINS:

25 A. No, I don't recall that I specifically asked

Page 107

1 that question. I think my understanding was

2 that they wanted to, you know, try and

3 maintain the integrity of the database as best

4 they could, but no, I didn't specifically ask

5 to the best of my recollection as to why they

6 did or didn't give us an electronic copy.

7 COFFEY, Q.C.:

8 Q. Now we will see when you do get these

9 reporting lists, spreadsheets on paper -

10 DR. JENKINS:

11 A. Right.

12 COFFEY, Q.C.:

13 Q. I take it then that whatever is on paper had

14 to be somehow or another recorded by Western

15 in its electronic records.

16 DR. JENKINS:

17 A. Yes.

18 COFFEY, Q.C.:

19 Q. Did you create electronic spreadsheets for

20 Western or have somebody do it for you?

21 DR. JENKINS:

22 A. We did, yes, and some of our other staff, in

23 particular I mentioned to you earlier, other

24 quality management research people were very

25 much involved with a lot of the tracking of

Page 108

1 patients and there were subsequent requests

2 that were made, so we did develop our own sort

3 of spreadsheets subsequently as well.

4 COFFEY, Q.C.:

5 Q. Exhibit P-2739 please? Doctor, this is again

6 one of your memos to follow, as it were, on

7 the ER/PR file, October 19th, 2005. It's a

8 phone call from Dr. Williams and you've

9 written, "We'll be starting to notify patients

10 tomorrow and will place notices in

11 newspapers." I take it that that's Eastern

12 Health?

13 DR. JENKINS:

14 A. Eastern Health.

15 COFFEY, Q.C.:

16 Q. Notify patients of what, do you recall?

17 DR. JENKINS:

18 A. Of results is what I would recall from that.

19 COFFEY, Q.C.:

20 Q. And place notices in newspapers. What kind of

21 notices were they?

22 DR. JENKINS:

23 A. Regarding retesting procedures, that's to the

24 best of my recollection what was going on, in

25 fact, at that particular point in time with

Page 109

1 respect to ER/PR.
 2 COFFEY, Q.C.:
 3 Q. You've written here, "Once Western to follow
 4 suit"--which would be, I take it Dr. Williams
 5 wanted Western to follow suit by what, putting
 6 notices in newspapers or -
 7 DR. JENKINS:
 8 A. That's correct.
 9 COFFEY, Q.C.:
 10 Q. In your own area.
 11 DR. JENKINS:
 12 A. Yes.
 13 COFFEY, Q.C.:
 14 Q. Do you recall if Western actually did so?
 15 DR. JENKINS:
 16 A. We did--yes, we did, we used the template I
 17 believe that came from Eastern Health and I'm
 18 fairly certain that we did publish some of
 19 those as well.
 20 COFFEY, Q.C.:
 21 Q. Now the test reports that have come back and
 22 are negative will be reported to patients.
 23 DR. JENKINS:
 24 A. Um.
 25 COFFEY, Q.C.:

Page 110

1 Q. "Will advise others who are being retested,
 2 but results not yet known."
 3 DR. JENKINS:
 4 A. Uh-hm.
 5 COFFEY, Q.C.:
 6 Q. Presumably be told that they are being
 7 retested.
 8 DR. JENKINS:
 9 A. Uh-hm.
 10 COFFEY, Q.C.:
 11 Q. "Heather Predham is the contact person for
 12 Eastern and contact Susan Bonnell."
 13 DR. JENKINS:
 14 A. Uh-hm.
 15 COFFEY, Q.C.:
 16 Q. I take it contacting Ms. Bonnell would be
 17 about the communication's piece.
 18 DR. JENKINS:
 19 A. Yes.
 20 COFFEY, Q.C.:
 21 Q. In terms of communication through newspaper
 22 ads. Doctor, you understood then that the
 23 patients whose results came back negative,
 24 negative in the sense of Mount Sinai was
 25 reporting the ER and PR as zero, zero or less

Page 111

1 than one in each case. You understood that
 2 they were going to be told how?
 3 DR. JENKINS:
 4 A. That we, I think we were going to take on the
 5 responsibility of notifying the negative cases
 6 ourselves and that we were going to be asked
 7 or provided with a list of names to make those
 8 contacts.
 9 COFFEY, Q.C.:
 10 Q. Exhibit P-1311? Doctor, this is a series of
 11 e-mails. The first of them is October 19th,
 12 2005. It's from Heidi Simmons to a number of
 13 people in Western and the subject is "A
 14 Message to Breast Cancer Patients." And it
 15 says, it's erprforpapers.doc. This is an ad
 16 that Eastern Health will be using for the
 17 ER/PR issue." Signed Heidi.
 18 DR. JENKINS:
 19 A. Uh-hm.
 20 COFFEY, Q.C.:
 21 Q. And then you've written on October--same day,
 22 October 19th, to Ms. Simmons and copied it to
 23 others saying "Dr. Williams called me last
 24 this afternoon and advised me of a release
 25 that they're planning for the weekend print

Page 112

1 media, indicated that there may be some
 2 changes yet, so if this is the same document
 3 he's referring to, there may be another
 4 iteration. I anticipate that this may be
 5 something that we want to add to our website
 6 when finalized. Could you please confirm with
 7 Susan Bonnell what their final version looks
 8 like. Dr. Williams also indicated to me that
 9 Eastern is about to start notifying all of
 10 their patients who are being retested, that
 11 testing is underway. For those they have
 12 retesting results on, they will advise the
 13 patients of the result. Dr. Williams is
 14 asking that the other regions contact all
 15 patients who have been retested. Could I
 16 obtain your help in working through this by
 17 contacting Heather Predham or on my behalf to
 18 determine what message they will be giving to
 19 their patients. Please share this feedback
 20 with Frank, who I will ask to develop a plan
 21 to begin contacting our patients."
 22 DR. JENKINS:
 23 A. Yes.
 24 COFFEY, Q.C.:
 25 Q. And you indicated that you are away from the

Page 113

1 hospital at the time, but you could still be
 2 contacted.
 3 DR. JENKINS:
 4 A. Um-hm.
 5 COFFEY, Q.C.:
 6 Q. But you could still be contacted. And,
 7 Doctor, I take it does that then reflect what
 8 was going on at the time, Doctor?
 9 DR. JENKINS:
 10 A. That's correct, yes. And I think the initial
 11 part of, just thinking back to your last
 12 question, as well, Mr. Coffey, the initial
 13 part of our advice to patients was that, of
 14 course, the retesting was being done. And it
 15 was really how we started out to become
 16 involved with notification to patients from
 17 the Western Region was to let them know that
 18 retesting was under way.
 19 COFFEY, Q.C.:
 20 Q. And Heidi then on the--two days later, on the
 21 21st of October, wrote to you, "Hi Ken, left
 22 another message for Heather today. This time
 23 I reached a person but they didn't sound too
 24 promising that I would be getting a call back.
 25 We may have to go ahead and handle this on our

Page 114

1 own." Signed, "Heidi." And then you, on the
 2 same day, sent an e-mail to Dr. Williams say,
 3 "Hi Bob, can you please advise me on the
 4 message that you are giving to patients who
 5 are being retested? We'd like to have"--I'm
 6 sorry, "to take a consistent approach.
 7 Thanks, Ken."
 8 DR. JENKINS:
 9 A. Yeah.
 10 COFFEY, Q.C.:
 11 Q. So I take it, Doctor, that this would be the
 12 message to patients who are being retested,
 13 some kind of script?
 14 DR. JENKINS:
 15 A. That's right, yeah.
 16 COFFEY, Q.C.:
 17 Q. Exhibit P-2258? Doctor, this is two e-mails
 18 of October 28th, 2005. The first is from Paul
 19 Neil to yourself, copied to Ms. Gillam.
 20 Writes, "The cases for repeat ER/PR testing
 21 have been sent to the Health Sciences Centre
 22 for retesting as requested. The last batch
 23 went yesterday, Thursday, October 27th. We are
 24 confident that we have sent all the cases that
 25 we could identify. Have been as thorough as

Page 115

1 we could possibly be, however, there is always
 2 the possibility we may have missed someone.
 3 We sincerely hope not. I don't know how HSC
 4 is handling that. Is that a PR issue? Should
 5 patients suspect that their test should be
 6 repeated contact someone to ask that
 7 question?" I take it in this context that
 8 would be PR would be public relations issue?
 9 DR. JENKINS:
 10 A. That's right.
 11 COFFEY, Q.C.:
 12 Q. "In that light I have given a complete list of
 13 cases sent from here to Marilyn Saunders in
 14 the Cancer Clinic. She has received calls
 15 from patients wondering if their test has been
 16 sent out. As of today she will be able to
 17 tell any patient when the tissue left here. I
 18 wonder where we should take this issue. Any
 19 thoughts?" Signed, "Paul." And you
 20 responded, Doctor, by saying, "Thanks for the
 21 update and all the great efforts in attending
 22 promptly to this issue. We are referring
 23 patients with questions to the patient
 24 relations officer in St. John's and/or their
 25 family doctors who are being provided with the

Page 116

1 background info. We are also working with
 2 Eastern Health to confirm the mechanism for
 3 notification of patients that their tissue
 4 samples are being retested. I wonder if
 5 Marilyn may be able to assist with the
 6 notification process? I'll have Hellen
 7 arrange a meeting with her to discuss. Once
 8 again, my sincere thanks to everyone involved
 9 for their excellent efforts. Ken." So I take
 10 it, Doctor, as of late October then you're
 11 trying to get the script in place and find
 12 someone to actually do the -
 13 DR. JENKINS:
 14 A. That's correct.
 15 THE COMMISSIONER:
 16 Q. Mr. Coffey, it's getting near the break time.
 17 COFFEY, Q.C.:
 18 Q. Thank you.
 19 THE COMMISSIONER:
 20 Q. Wherever you can find a spot.
 21 COFFEY, Q.C.:
 22 Q. If we could, one more, please, Commissioner.
 23 Exhibit P-2740? Doctor, this is a series of
 24 e-mails. The first of them is dated November
 25 1st, 2005, it's from Ms. Predham to Heidi

Page 117

1 Simmons. She says, "Hi, here's the script.
 2 We changed it a bit to reflect our
 3 conversations. Call me if you need me. Also
 4 make sure you have actually sent the sample
 5 prior to calling. I would recommend that
 6 someone with a clinical background make the
 7 calls." Signed, "Heather." And the document
 8 is "Potential Script.doc."
 9 DR. JENKINS:
 10 A. Um-hm.
 11 COFFEY, Q.C.:
 12 Q. And, right there. And, Doctor, Ms. Simmons
 13 sent it on to you on the same day. And then
 14 you sent an e-mail to Ms. Barnes. Who is Ms.
 15 Barnes?
 16 DR. JENKINS:
 17 A. Sharon Barnes currently is our senior nurse,
 18 nursing officer at Western Memorial Regional
 19 Hospital.
 20 COFFEY, Q.C.:
 21 Q. Okay. You write, "Hi Sharon, as per our
 22 telephone conversation, could you please
 23 advise me on the availability of one of your
 24 AOs." What -
 25 DR. JENKINS:

Page 118

1 A. Administrative officers.
 2 COFFEY, Q.C.:
 3 Q. "Administrative officers to serve as our point
 4 person to contact patients for whom we have
 5 submitted negative samples for review at Mount
 6 Sinai. We expect that this issue will be
 7 addressed by the minister in the legislature
 8 next week. We discussed this issue with
 9 senior management this week and we have
 10 decided to follow Eastern Health's lead in
 11 notifying patients. The lab is compiling a
 12 list of names and contact phone numbers and
 13 should have something for us on Monday. It
 14 would be best for one person to handle this
 15 for consistency sake. Please let me know if
 16 you have someone available and what the budget
 17 impact will be for this overtime service.
 18 Eastern Health provides a contact phone number
 19 if patients have additional questions. I'm
 20 available as a resource person, as well.
 21 Thanks kindly, Ken." And, Doctor, what lead
 22 you to believe that this issue, "We expect
 23 this issue will be addressed by the minister
 24 in the legislature next week."? This is
 25 November 18th, 2005.

Page 119

1 DR. JENKINS:
 2 A. We must have had some discussion, you know, I
 3 think I'm referring here to the discussion at
 4 senior management and I think it must have
 5 been in the context of that. But I don't
 6 recall specifically, Mr. Coffey, what came up
 7 in that discussion that would have referenced
 8 the reason why the minister was going to be
 9 addressing it in the following week, to be
 10 honest with you.
 11 COFFEY, Q.C.:
 12 Q. And, Doctor, there's another e-mail the same
 13 day from Ms. Barnes to yourself. She says,
 14 "Dr. Jenkins, unable to reach Louise today,
 15 but left a message for her to call me on
 16 Monday. Should be able to accommodate
 17 relieving her regular shifts to allow her to
 18 do this for us if she is willing. This could
 19 be done at her regular pay and estimating
 20 three days to do it. Cost us about \$730. I
 21 really don't have any money in the nursing
 22 admin budget to cover this cost, although
 23 minimal. It would have to be recognized as an
 24 overexpenditure for nursing administration. I
 25 expect to hear from Louise on Monday and if

Page 120

1 she's available and willing, the process could
 2 be started on Tuesday or Wednesday."
 3 DR. JENKINS:
 4 A. Um-hm.
 5 COFFEY, Q.C.:
 6 Q. So, Doctor, why was someone then, an
 7 administrative officer from nursing, tasked
 8 with this?
 9 DR. JENKINS:
 10 A. Well, we felt it really should be somebody who
 11 had some clinical knowledge and felt that we
 12 had, you know, greatest ability to access
 13 somebody, you know, through that particular
 14 part of the structure. And so we had the
 15 consultation with our senior nurse in that
 16 regard and we did ultimately have somebody
 17 from her pool of nursing support managers to
 18 make those calls for us.
 19 COFFEY, Q.C.:
 20 Q. And, Doctor, November 22nd, Ms. Barnes gets
 21 back to you saying, "Dr. Jenkins, this is to
 22 give you an update on the calls for ER/PR. I
 23 have the files from the lab as of today and
 24 had hoped to get the calls started this week.
 25 However, Louise is not available and other

Page 121

1 resources are taken up with a beds issue," or
 2 "bed issues." "I will get to it as quickly as
 3 possible and it will be no later than next
 4 week. I know patients will be asking if they
 5 will hear once the testing is done. I don't
 6 think that was covered under the script. Do
 7 you know what the process will be once the
 8 testing is finished?" Signed, "Sharon." And
 9 you responded on the same day saying, "When we
 10 get the results, they will be distributed to
 11 attending physicians for follow-up. There has
 12 been an expert panel formed in St. John's to
 13 provide advice to physicians on follow-up.
 14 There will probably be some orphan patients
 15 that we will need to contact. Please ask the
 16 person who is doing the calling to confirm who
 17 is contacted and record any concerns that
 18 individuals and/or relatives may have. In
 19 particular, if there are any indications of
 20 potential legal action, we will need to advise
 21 our risk manager. Thanks kindly." So,
 22 Doctor, I take it then that as of the middle,
 23 toward the end of November, Western was still
 24 getting organized in terms of telling patients
 25 that they were being retested?

Page 122

1 DR. JENKINS:
 2 A. That's correct.
 3 COFFEY, Q.C.:
 4 Q. Doctor, the reference to potential legal
 5 action "will need to advise our risk manager"
 6 I take it that is if the contact person was
 7 told the -
 8 DR. JENKINS:
 9 A. Yeah, that's correct. If they--you know, in
 10 the context of their discussion with any
 11 patients or others, if there is, you know, any
 12 sort of mention regarding that. And that's a
 13 typical action, Mr. Coffey, we would take
 14 within our health authority. If there is any
 15 particular mention of statements of claim or
 16 any type of legal action that may be taken, we
 17 would certainly pass it on to our risk
 18 manager, who would share it accordingly.
 19 COFFEY, Q.C.:
 20 Q. Thank you, Commissioner.
 21 THE COMMISSIONER:
 22 Q. Do I take it that Ms. Barnes, who you've
 23 described as the senior nursing officer, is
 24 she what used to be called a director of
 25 nurses?

Page 123

1 DR. JENKINS:
 2 A. Similarly. And we have a new name on it now,
 3 as well, but the role would be very similar -
 4 THE COMMISSIONER:
 5 Q. Is it that function?
 6 DR. JENKINS:
 7 A. That function would be very similar, correct.
 8 THE COMMISSIONER:
 9 Q. So at Western the function of some person who
 10 is a senior person responsible for nursing and
 11 all its aspects continues?
 12 DR. JENKINS:
 13 A. Yes, that's correct.
 14 THE COMMISSIONER:
 15 Q. All right, thank you.
 16 DR. JENKINS:
 17 A. You're welcome.
 18 THE COMMISSIONER:
 19 Q. We'll take the morning break.
 20 (BREAK)
 21 THE COMMISSIONER:
 22 Q. Please be seated. Mr. Coffey.
 23 COFFEY, Q.C.:
 24 Q. Thank you, Commissioner. Exhibit 2741,
 25 please? Doctor, these are some e-mails of

Page 124

1 December 5th and 6th, 2005. Doctor, the first
 2 of them is a December 5th from Marilyn
 3 Saunders to yourself. The subject matter is
 4 "ER/PR Rescreening Phone Calls", yeah,
 5 "Rescreening Phone Calls, Two Patients." "Dr.
 6 Jenkins," she writes, "We have received two
 7 phone calls from upset patients who say
 8 someone called them about some sort of
 9 retesting. These patients are really upset,
 10 do not understand what they are being told and
 11 are calling us for clarification. Have you
 12 arranged for someone to call the patients who
 13 have to have ER/PR retesting? Whoever is
 14 making these calls needs to be able to explain
 15 clearly what type of retesting and be able to
 16 answer any questions these patients have.
 17 Could you contact this person and let her know
 18 we are receiving phone calls from upset
 19 patients looking for answers. We are not sure
 20 what they are being told or what they've been
 21 told, which makes it difficult to answer
 22 questions. Thank you for your time." Now,
 23 Ms. Saunders is whom?
 24 DR. JENKINS:
 25 A. Marilyn Saunders is one of the nurses in the

Page 125

1 Cancer Clinic at Western Memorial.
 2 COFFEY, Q.C.:
 3 Q. Doctor, you respond then to her the next day
 4 by saying, "We are following the approach used
 5 in the rest of the province and have a script
 6 developed by Eastern Health to communicate
 7 consistently to patients. This contact task
 8 has been assigned to an AO, but I don't expect
 9 this person to act as a subject matter expert.
 10 Here is a phone number for Eastern Health that
 11 the contact person has if the patient has
 12 questions that cannot be answered. We
 13 anticipate that people would be upset, but we
 14 feel that people need to be notified of the
 15 situation. I'm copying Sharon Barnes on this
 16 so she can provide feedback to the AO
 17 involved. If you can give me specific detail
 18 on the questions posed by the two people who
 19 contacted you, I can provide info to the AO to
 20 answer similar questions in the future. As
 21 well, I'll be happy to contact these people
 22 myself if you wish to provide me with their
 23 contact info. Your feedback is appreciated."
 24 Signed, "Ken." And, then she comes back to
 25 you the next--the same day, actually, December

Page 126

1 6th and says, "Thanks for this feedback. I
 2 will certainly advise Bonnie of this as she
 3 will continue to call patients today." I'm
 4 sorry, this is from Sharon Barnes, I
 5 apologize. "Thanks for this feedback. I will
 6 certainly advise Bonnie of this and she will
 7 continue to call patients today and one week--
 8 day next week. I actually just had an update
 9 from her before receiving this e-mail and she
 10 felt all was going well. People are
 11 appreciative for the call and she was not
 12 getting the sense that there were concerns.
 13 She is keeping a record of the contact she's
 14 making and if concerns are expressed to her
 15 personally she will have them followed up."
 16 Signed, "Sharon." Now, Doctor, at the time, I
 17 take it, by early then December, first week of
 18 December into the second week of December,
 19 2005 Western was having Bonnie contact the
 20 patients?
 21 DR. JENKINS:
 22 A. That's correct.
 23 COFFEY, Q.C.:
 24 Q. Who is Bonnie?
 25 DR. JENKINS:

Page 127

1 A. Bonnie is Bonnie Walker, who was at that time
 2 serving in an administrative officer role.
 3 COFFEY, Q.C.:
 4 Q. And, Doctor, here the reference by Ms.
 5 Saunders to these two particular patients,
 6 anyway, being really upset. "They do not
 7 understand what they are being told and are
 8 calling us for clarification."
 9 DR. JENKINS:
 10 A. Um-hm.
 11 COFFEY, Q.C.:
 12 Q. Doctor, would sending something in writing to
 13 the patients as well as calling them perhaps
 14 have better explained to people the nature of
 15 what was involved there?
 16 DR. JENKINS:
 17 A. Oh, I think there's merit in both approaches.
 18 COFFEY, Q.C.:
 19 Q. And using both?
 20 DR. JENKINS:
 21 A. And using both approaches. And there are pros
 22 and cons, I think, of using each individually.
 23 And, you know, I certainly think having direct
 24 contact by verbally with patients is wise and
 25 to try to answer as best you can. I think

Page 128

1 either way, method of communication is going
 2 to, you know, raise concerns in people when
 3 you're dealing with issues of such
 4 significance and such importance, so I think
 5 there would be benefit to both.
 6 COFFEY, Q.C.:
 7 Q. Was any further consideration given in early
 8 December, 2005, to having written
 9 communication with the patients?
 10 DR. JENKINS:
 11 A. On Western Health's behalf?
 12 COFFEY, Q.C.:
 13 Q. Yes.
 14 DR. JENKINS:
 15 A. No, I think we decided we would pretty much
 16 follow the consistent approach that was being
 17 taken provincially, and we would adopt those
 18 measures.
 19 COFFEY, Q.C.:
 20 Q. And, Doctor, in relation to that then, the
 21 objection to sending a written communication
 22 to patients, the basis for that was what, to
 23 your--up to this point in time?
 24 DR. JENKINS:
 25 A. Which objection are you referring to?

Page 129

1 COFFEY, Q.C.:

2 Q. Well, there had been--we had looked at

3 something in your handwritten notes, in fact,

4 the contemplation that there might be

5 something written and sent to patients

6 outlining HIROC had raised some concerns about

7 massive mailout. Recall that?

8 DR. JENKINS:

9 A. Right.

10 COFFEY, Q.C.:

11 Q. Other than that, the concerns expressed by

12 HIROC about any massive mailout, were you

13 aware of any other concern expressed by

14 anyone, objection?

15 DR. JENKINS:

16 A. No, I don't think there was really any other

17 objection on anybody's part, you know, that

18 that particular approach would be adopted. I

19 think it was just a decision that was made

20 that the mechanism that would be used would be

21 by direct contact to try to be as personal as

22 possible about it.

23 COFFEY, Q.C.:

24 Q. Exhibit P-2742, please. Doctor, this is a

25 couple of e-mails, but in the main it's an e-

Page 130

1 mail, December 8th, 2005, from Heidi Simmons

2 to yourself and others within Western, but

3 she's copied it to Susan Bonnell and Deborah

4 Thomas in Eastern Health, and attached to it a

5 transcript and an e-mail of December 8th,

6 2005, for a broadcast entitled "False Cancer

7 Test Results", and it's apparently an

8 interview that was conducted on December 8th,

9 2005.

10 DR. JENKINS:

11 A. Uh-hm.

12 COFFEY, Q.C.:

13 Q. I'll just try to get this right here now -

14 yeah, at 8:22 a.m, Item #21, CBC, Corner

15 Brook, and there was an interview by Dorothy

16 King of yourself?

17 DR. JENKINS:

18 A. Correct.

19 COFFEY, Q.C.:

20 Q. How is it that you came then to be

21 interviewed, Doctor?

22 DR. JENKINS:

23 A. Usually with media requests, they would come

24 in through our Director of Communications, who

25 would then approach the Chief Executive

Page 131

1 Officer for a decision on how we would

2 respond, and then a decision would be made as

3 to who would be the most appropriate person to

4 respond. So I think in this particular case

5 it likely came in that particular fashion.

6 COFFEY, Q.C.:

7 Q. Doctor, looking at the actual transcript, Ms.

8 King introduces the story by saying, "It's

9 been months since the Health Board in Eastern

10 Newfoundland admitted some of its test results

11 may have been wrong, but patients on the west

12 coast are only now finding out that they're

13 affected. Eastern Health said last May that

14 about 800 breast cancer patients needed to

15 have some tests rechecked. The false results

16 could mean that women didn't get the best

17 treatment available. Dr. Ken Jenkins, as Vice

18 President of Medical Services for the Western

19 Health Authority approached by our studio

20 earlier this morning, what's your

21 understanding of what went wrong here", and

22 you respond, "In terms of the results

23 themselves, Dorothy", and she says, "Indeed",

24 and then you say, "Well, what's been happening

25 here over the summer is that the lab personnel

Page 132

1 and pathologists have been doing their own

2 level of consulting with respect to the

3 results and the work that was required. This

4 particular issue came to our executive level

5 attention, Dorothy, actually the end of

6 September and early October, and at that

7 particular time, I made a decision to assign

8 some additional resources so the lab personnel

9 so the pathologist could, in fact, get on with

10 the work of identifying these particular

11 specimens", and then it goes on from there,

12 Doctor. Toward the bottom of the first page

13 of the transcript, Ms. King says, "Fair

14 enough, but would it not have been a better

15 procedure to have at least released some kind

16 of an announcement to the general public that

17 there was a situation and that women may be

18 contacted with these test results that were

19 not, in fact, accurate", and you respond,

20 "Yes, there was actually a fair bit of

21 indication early on and we certainly were

22 relying upon Eastern Health to a certain

23 extent in taking the lead on this", and then,

24 "Why Eastern Health", and then you respond,

25 "Well, because they were responsible actually

Page 133

1 for the conduct of the tests. Our samples are
 2 actually submitted to Eastern Health for
 3 processing and in that, in fact, there was
 4 communication from Eastern that was in our
 5 paper in the Western region, and we also had
 6 communication internally with our staff", and
 7 you go on from there. So, Doctor, from
 8 Western's perspective, and you speaking as the
 9 VP Medical, primarily whose problem was this?
 10 I appreciate it's the patient's problem
 11 ultimately, but in an organizational sense?
 12 DR. JENKINS:
 13 A. Well, certainly, I mean, the focus was with
 14 Eastern Health. I mean, we had clearly a role
 15 to play as it related to our patients in
 16 Western Health and that was very important, as
 17 the rest of the health authorities did as
 18 well. We relied to a significant extent on the
 19 expertise and the feedback and inputs from
 20 Eastern Health to judge and guide our
 21 activities.
 22 COFFEY, Q.C.:
 23 Q. Doctor, continuing on the interview, Ms. King
 24 asked you a question, "And those results
 25 should be finalized when", because you're

Page 134

1 talking about the total number sent out from
 2 Western?
 3 DR. JENKINS:
 4 A. Uh-hm.
 5 COFFEY, Q.C.:
 6 Q. And the number of people who have been to that
 7 point contacted and you respond, "We don't
 8 have an ideas as to when we can expect Mount
 9 Sinai to complete these tests, and that's
 10 where all of the samples are being
 11 resubmitted. We haven't been provided with a
 12 date either from Eastern Health or through
 13 Mount Sinai, so we do have to wait for those
 14 results to be completed before we can move to
 15 the next step".
 16 DR. JENKINS:
 17 A. Uh-hm.
 18 COFFEY, Q.C.:
 19 Q. Now, Doctor, your own understanding as the VP
 20 Medical in relation to when the results might
 21 be forthcoming of the retesting, what was your
 22 initial understanding, who did you receive it
 23 from, and if it changed over time, how did it
 24 evolve?
 25 DR. JENKINS:

Page 135

1 A. Well, certainly we understood that our samples
 2 would be going in batched with others, there
 3 would be a significant amount of work that was
 4 going to be on the table for Mount Sinai. I
 5 think the understanding of any sort of time
 6 frames around that would have come up in the
 7 teleconferences, the Vice Presidents of
 8 Medical Services meetings, discussions with
 9 Dr. Neil, that I had with him, and that he had
 10 with his pathology colleagues, and in terms of
 11 how that may have changed, we really--we only
 12 started to know as test results came back and
 13 we were advised by Eastern Health, you know,
 14 expect results back, you know, today,
 15 tomorrow, within the next short time frame,
 16 and we'll share those with you. So that was
 17 really how we became informed was through our
 18 regular and ongoing communications with
 19 Eastern Health through the various channels.
 20 THE COMMISSIONER:
 21 Q. Doctor, did that mean that you had no
 22 expectation on the time frame before you start
 23 sending your blocks in?
 24 DR. JENKINS:
 25 A. I don't think we really understood how short

Page 136

1 or long that may be, that's correct.
 2 THE COMMISSIONER:
 3 Q. So if you anticipated any period of time, it
 4 was on the basis of what the first, or the
 5 second, or the third batch had taken in terms
 6 of turnaround time?
 7 DR. JENKINS:
 8 A. Correct.
 9 COFFEY, Q.C.:
 10 Q. Up to this point, and this would be early
 11 December, 2005, to your knowledge had any
 12 results come back to Western that you're aware
 13 of?
 14 DR. JENKINS:
 15 A. Mr. Coffey, I don't recall off the top of my
 16 head what date we started seeing the first
 17 results coming back.
 18 COFFEY, Q.C.:
 19 Q. And we're going to see some certainly in 2006.
 20 There are large batches of results come in
 21 '06. I'm just -
 22 DR. JENKINS:
 23 A. Okay. Yeah, no, I'm not recalling off the top
 24 of my head that we saw any at that particular
 25 point in time.

Page 137

1 COFFEY, Q.C.:

2 Q. Doctor, here then toward the end of the

3 interview, Ms. King poses a question, "I know

4 this concerns Eastern Health Care, but I'm

5 sure it's something that has been discussed by

6 you with other people, and that is the length

7 of time that it took to realize that these

8 test results were, in fact, flawed". See

9 that?

10 DR. JENKINS:

11 A. Uh-hm.

12 COFFEY, Q.C.:

13 Q. And then you responded by saying, "Well,

14 there's an interesting background on this

15 which we should probably consider and it

16 really relates to the whole spectre of new

17 technology coming into the health system, and

18 the background on this is that they started

19 testing for ER/PR receptors back in 1997, and

20 in 2004 at health care, Eastern Health

21 introduced a new system, an automated system.

22 Now prior to that, it had been a semi-

23 automated system, and, you know I know some of

24 your listeners have been hearing from other

25 people who have been online here describing,

Page 138

1 for example, the 40 steps that were involved

2 in this previous process. So what happened

3 then in 2004 was that this new technology was

4 introduced, more sensitive, and picked up

5 results the previous older technology may not

6 have been able to pick up, and, Dorothy, this

7 is something that we certainly face in Health

8 Care all the time. You know, they have new

9 technologies that come along, they find things

10 that the previous technologies couldn't find,

11 and we end up having to adjust and adapt to

12 that and that creates difficulties and concern

13 for patients because now they have a diagnosis

14 that they didn't have before, and that may

15 have made a difference in terms of the type of

16 treatment. I think the good news here really

17 is that I think Eastern Health has been very

18 responsible in what they have done here by

19 going public and by letting people how what's

20 happening, for taking the testing to another

21 level external to validate and confirm whether

22 or not the suspicion they had was correct. So

23 I think that is very good news for the

24 patients that are out there. Despite the

25 difficult part of it, we do know that with

Page 139

1 this particular type of tumour that there is a

2 window that may be up to ten years long within

3 which treatment with other drugs such as

4 Tamoxifen can be given".

5 DR. JENKINS:

6 A. Uh-hm.

7 COFFEY, Q.C.:

8 Q. And she thanks you then for the interview.

9 Now, Doctor, where had you gotten the

10 information about this ten years?

11 DR. JENKINS:

12 A. That would have been in discussions and

13 representations made by Dr. Williams

14 principally at our VP Medical Services meeting

15 and the subsequent teleconferences as well.

16 COFFEY, Q.C.:

17 Q. Doctor, were you aware that--you understood

18 that certainly here based upon what you said

19 here that there had been a semi--what you have

20 described as a semi-automated system.

21 DR. JENKINS:

22 A. Uh-hm.

23 COFFEY, Q.C.:

24 Q. And then the new system, a more automated

25 system. Had anyone advised you that these

Page 140

1 semi-automated systems, the DAKO system, was

2 in fact being utilized in Mount Sinai to do

3 the retesting?

4 DR. JENKINS:

5 A. No, I wasn't aware of that, no.

6 COFFEY, Q.C.:

7 Q. Might that have been of interest to you, do

8 you think at the time?

9 DR. JENKINS:

10 A. I think that would have been of interest,

11 yeah.

12 COFFEY, Q.C.:

13 Q. And why is that, Doctor?

14 DR. JENKINS:

15 A. Well, in particular, I mean, there were issues

16 that were brought up regarding, you know, the

17 multi step process and whether or not there

18 had been contributing factors from that as it

19 relates to reliability for test results.

20 COFFEY, Q.C.:

21 Q. If you were to be told at the time that, in

22 fact, it's the same system that was utilized

23 in St. John's for years, Mount Sinai is

24 actually using it to do the retesting -

25 DR. JENKINS:

Page 141

1 A. Uh-hm.
 2 COFFEY, Q.C.:
 3 Q. Would you have asked any questions in relation
 4 to, for example, why had it taken--why the
 5 test had gone on for so long and not been--
 6 the flaws discovered?
 7 DR. JENKINS:
 8 A. Yeah, I think that would have been of
 9 relevancy and importance to us to understand
 10 that.
 11 COFFEY, Q.C.:
 12 Q. So, Doctor, the types of things identified in
 13 what is now P-0046 and P-0047, Trish
 14 Wegrynowski's and Dr. Banerjee's reports -
 15 DR. JENKINS:
 16 A. Right.
 17 COFFEY, Q.C.:
 18 Q. That you're now aware of -
 19 DR. JENKINS:
 20 A. Uh-hm.
 21 COFFEY, Q.C.:
 22 Q. Doctor, if you had been aware at the time, in
 23 December, 2005, been made aware of the subject
 24 matters there in any kind of detail, would you
 25 have said this to the people on the west coast

Page 142

1 of Newfoundland?
 2 DR. JENKINS:
 3 A. Certain aspects of it, I think, would ring
 4 true to a certain extent, Mr. Coffey, and, you
 5 know, I think the new technology piece has a
 6 certain degree of relevance because as
 7 technology changes and improves, there
 8 certainly is likely that things would be
 9 picked up may not have been picked up before.
 10 We see that in many aspects of diagnostic
 11 technology. As it relates here, you know,
 12 specifically to ER/PR testing and a comparison
 13 between semi-automated process and now an
 14 automated process, so I think there's--yeah,
 15 having that information would have been
 16 valuable in terms of positioning or concluding
 17 what the underlying factors may be here, and
 18 certainly would have been relevant to the
 19 discussion at hand, but that was the
 20 information that we were provided with at that
 21 particular point in time.
 22 COFFEY, Q.C.:
 23 Q. And that you had got from Eastern Health?
 24 DR. JENKINS:
 25 A. Yes, that's correct.

Page 143

1 THE COMMISSIONER:
 2 Q. I'm not quite sure I understand what it is you
 3 are intending to convey in this particular -
 4 DR. JENKINS:
 5 A. Okay.
 6 THE COMMISSIONER:
 7 Q. There seemed to me to be two aspects. One is
 8 the matter of the new technology.
 9 DR. JENKINS:
 10 A. Yes.
 11 THE COMMISSIONER:
 12 Q. And if I'm looking at this transcript, it
 13 seems to me that what you are saying to people
 14 is that not that there was anything wrong with
 15 what occurred prior years, it was just that we
 16 now have a technology that enables us to pick
 17 up things that we could not pick up before.
 18 DR. JENKINS:
 19 A. And I think that was our understanding at that
 20 particular point in time. It was mainly an
 21 issue related around changing technology, and
 22 sensitivity, and specificity perhaps of new
 23 testing procedures.
 24 THE COMMISSIONER:
 25 Q. So at that stage, when you were doing this

Page 144

1 interview, you had no knowledge of any other
 2 factors entering into the determination of why
 3 a change occurred, factors like those that
 4 we've heard so often here about fixation, for
 5 example, processing of the--within the
 6 laboratory in St. John's, et cetera, et
 7 cetera? None of that was within your radar at
 8 the time?
 9 DR. JENKINS:
 10 A. We didn't have a significant amount of detail
 11 on it. I think we did have some general
 12 discussion and I think I referred to it
 13 earlier in terms of the early presentations
 14 that Dr. Williams had made, an early
 15 understanding that there may be some process
 16 issues related to how the semi-automated
 17 process was conducted itself, and that that
 18 could be an issue, but that was--I mean, when
 19 I made that particular comment, it was in
 20 specific reference to new technology. It
 21 wasn't a full description of all of the issues
 22 at hand, I don't think. I think it was, you
 23 know, a comment on that specific aspect of new
 24 technology being introduced.
 25 THE COMMISSIONER:

Page 145

1 Q. And then you say, "So what happened then in
 2 2004 was this new technology was introduced,
 3 more sensitive and picked up results that
 4 previous older technology had not been able to
 5 pick up".
 6 DR. JENKINS:
 7 A. Uh-hm, that's right, so that was the -
 8 THE COMMISSIONER:
 9 Q. And then you go on to talk about how that
 10 happens all the time in health care, as I'm
 11 sure it does.
 12 DR. JENKINS:
 13 A. Right.
 14 THE COMMISSIONER:
 15 Q. But you're saying that that isn't the full
 16 story, and while you may not have known at the
 17 time what the full story was, you knew there
 18 was more than that to it?
 19 DR. JENKINS:
 20 A. That's correct.
 21 THE COMMISSIONER:
 22 Q. All right, thank you.
 23 COFFEY, Q.C.:
 24 Q. Doctor, did you ever--at the time, did you
 25 expect that at some point you would be told in

Page 146

1 detail what the fuller story was?
 2 DR. JENKINS:
 3 A. Yes, I think we fully anticipated that we
 4 would--at some point in time we would have an
 5 understanding of what went on here, you know,
 6 from a learning perspective, and we would need
 7 to know what went on.
 8 COFFEY, Q.C.:
 9 Q. Prior to May of 2007, was your understanding
 10 any wider than it was in December of '05?
 11 DR. JENKINS:
 12 A. Not particularly, no.
 13 COFFEY, Q.C.:
 14 Q. Exhibit P-0692. Doctor, this is a series of
 15 e-mails, and Ms. Simmons sent an e-mail to
 16 Tansy Mundon here on December 8th, "For your
 17 information, Ken Jenkins, VP Medical Services,
 18 did an interview this morning with CBC on
 19 ER/PR, and in particular to Western. They
 20 also had Peter Dawe on yesterday a.m", and
 21 then she responds by saying, "Hi Heidi, are
 22 you ordering a transcript? Can you give me
 23 the status of testing in the Western region,
 24 how many people have been notified of the
 25 retesting, total number of samples being

Page 147

1 retested, and the status of the retesting",
 2 and then there's a response from Ms. Simmons
 3 to Ms. Mundon on the same day saying, "I've
 4 requested the transcript and will forward it
 5 along. We have 249 cases sent in for
 6 retesting. Ken was checking last yesterday,
 7 but I think that most if not all the women
 8 have been notified. We are unsure of the
 9 status. They were sent from here the end of
 10 October to Eastern and then on to Mount Sinai
 11 for retesting. Mount Sinai is hoping to have
 12 all the retesting completed by the end of
 13 January. It seems like 10 percent of the
 14 samples are coming back as inaccurate, so that
 15 translates in Western to about 25 women who
 16 could have benefited from a different course
 17 of treatment". Signed, Heidi. "I will also
 18 send you Minnie's transcript on the surgical
 19 bed issue". Now, Doctor, the reference to "it
 20 seems like 10 percent of the samples are
 21 coming back as inaccurate, so that translates
 22 in Western to about 25 women", so 10 percent
 23 of 249 would be 25, rounded.
 24 DR. JENKINS:
 25 A. Right.

Page 148

1 COFFEY, Q.C.:
 2 Q. Doctor, the idea that 25 percent of the
 3 samples are coming back as inaccurate, where
 4 did that figure come from?
 5 DR. JENKINS:
 6 A. That 10 percent number you gave me, Mr.
 7 Coffey?
 8 COFFEY, Q.C.:
 9 Q. Yes.
 10 DR. JENKINS:
 11 A. I'm not sure where Heidi would have come up
 12 with that figure. I'm not sure.
 13 COFFEY, Q.C.:
 14 Q. But it certainly because of the arithmetic
 15 suggests that, well, out of approximately 250
 16 cases sent for retesting as of December 8th,
 17 2005, in Western Health, it was thought that
 18 10 percent of the total retested -
 19 DR. JENKINS:
 20 A. Uh-hm.
 21 COFFEY, Q.C.:
 22 Q. Would convert? That's what this suggests.
 23 DR. JENKINS:
 24 A. Yeah.
 25 COFFEY, Q.C.:

Page 149

1 Q. Up to that point, did you have any
 2 understanding of how many might--what
 3 percentage might have converted?
 4 DR. JENKINS:
 5 A. Yeah, there had ben some discussion along the
 6 way. I recall at one of our--I think it was
 7 VP Medical Services meeting, or one of our
 8 teleconferences, that Dr. Williams had given -
 9 once they started getting some of the early
 10 results back, that there was some indication
 11 as to what those numbers might look like. So
 12 there had been some discussion about that at
 13 some point in time. Exact date, I'm not sure.
 14 COFFEY, Q.C.:
 15 Q. Do you recall what fraction or percentage was
 16 being utilized at that time?
 17 DR. JENKINS:
 18 A. I think it was around that range, Mr. Coffey,
 19 to the best of my recollection early on. That
 20 seems to be consistent with what I'm recalling
 21 from the early discussions.
 22 COFFEY, Q.C.:
 23 Q. Ten percent, do you recall of what, Doctor,
 24 was it of the total number of original tests
 25 done?

Page 150

1 DR. JENKINS:
 2 A. That's my recollection.
 3 COFFEY, Q.C.:
 4 Q. Ten percent of all breast -
 5 DR. JENKINS:
 6 A. Yes.
 7 COFFEY, Q.C.:
 8 Q. Including the positives?
 9 DR. JENKINS:
 10 A. Correct, yeah.
 11 COFFEY, Q.C.:
 12 Q. So it wouldn't be 10 percent of the retest, it
 13 would be 10 percent of the total?
 14 DR. JENKINS:
 15 A. That's my--that's what I'm recalling.
 16 COFFEY, Q.C.:
 17 Q. Which would--10 percent of the total would
 18 probably give you a higher figure than 10
 19 percent of the retests?
 20 DR. JENKINS:
 21 A. Uh-hm.
 22 COFFEY, Q.C.:
 23 Q. That would be your understanding?
 24 DR. JENKINS:
 25 A. I'd have to go back - I'd have to go back to

Page 151

1 my notes. I'm not 100 percent on that.
 2 COFFEY, Q.C.:
 3 Q. Doctor, up to the point, and just after all
 4 the samples for retesting had been gathered in
 5 Western and shipped to St. John's for
 6 forwarding to Mount Sinai -
 7 DR. JENKINS:
 8 A. Right.
 9 COFFEY, Q.C.:
 10 Q. Doctor, can you tell us, please, if there was
 11 any analysis conducted within Western, to your
 12 knowledge, as to what our positivity rate of
 13 negativity rate is?
 14 DR. JENKINS:
 15 A. Yeah, we -
 16 COFFEY, Q.C.:
 17 Q. Between '97 and '04 or '05?
 18 DR. JENKINS:
 19 A. We didn't do any significant statistical
 20 analysis on, you know, what we were--the
 21 results that we were getting. I know--I had a
 22 review of Dr. Neil's testimony here as well,
 23 and I think he had indicated as well that, you
 24 know, there wasn't sort of a hard statistical
 25 analysis that was conducted. We were aware of

Page 152

1 what the numbers were in terms of the
 2 ultimately results that came back, but we
 3 didn't go about a specific statistical
 4 analysis.
 5 COFFEY, Q.C.:
 6 Q. I appreciate that's after the bulk results
 7 come back?
 8 DR. JENKINS:
 9 A. Right.
 10 COFFEY, Q.C.:
 11 Q. But I'm asking, Doctor--I take it no
 12 statistics had been kept as to positivity or
 13 negativity rates, to your knowledge, before
 14 this arose in 2005?
 15 DR. JENKINS:
 16 A. Oh, I see--no, no, that's right.
 17 COFFEY, Q.C.:
 18 Q. But after in the fall of '05 before you got
 19 the results back -
 20 DR. JENKINS:
 21 A. Uh-hm.
 22 COFFEY, Q.C.:
 23 Q. But you packaged the blocks for retesting -
 24 DR. JENKINS:
 25 A. Right.

Page 153

1 COFFEY, Q.C.:

2 Q. Was there any calculation done at that point

3 as to, well, how have we done in the past in

4 terms of positivity rates?

5 DR. JENKINS:

6 A. Uh-hm, uh-hm, not that I can recall, Mr.

7 Coffey.

8 COFFEY, Q.C.:

9 Q. No, because we've seen--the Commissioner has

10 seen a certain amount of evidence, or heard a

11 certain amount of evidence and seen it

12 calculations done within Eastern Health.

13 DR. JENKINS:

14 A. Right.

15 COFFEY, Q.C.:

16 Q. As to what their local positivity rate and

17 negativity rates were.

18 DR. JENKINS:

19 A. Right.

20 COFFEY, Q.C.:

21 Q. Western didn't engage in that?

22 DR. JENKINS:

23 A. I don't recall that, and Dr. Neil may be

24 aware, but I don't recall that.

25 COFFEY, Q.C.:

Page 154

1 Q. Exhibit P-2743, please. Doctor, this is a

2 couple of e-mails on December 8th and 9th. On

3 December 8th, Ms. Walker, Bonnie Walker, wrote

4 to Ms. Barnes regarding breast sample

5 retesting calls saying, "Hi, Sharon, here's an

6 update of patient calls re; breast sample

7 retesting as of December 7th. 142 patient

8 charts reviewed up to and including 2002 file.

9 Files 2003 to 2005 remaining, and predict two

10 to three days required to complete".

11 DR. JENKINS:

12 A. Uh-hm.

13 COFFEY, Q.C.:

14 Q. "Especially if recall is required. Many

15 recalls required, sometimes three calls,

16 especially the 2000 file. Successful with

17 many of the recalls completed last evening.

18 Recalls still required, 12 of 142 patients,

19 and have not done recalls for 2002 file yet,

20 which equals 6 out of the 12. Total number of

21 patients without updated contact information,

22 including next of kin contact information,

23 equals 11 of 142 patients. Total number of

24 patients expired, 70 out of 142, many

25 discovered after the calls were made". I take

Page 155

1 it Ms. Walker was finding that in a number of

2 instances the patients were deceased?

3 DR. JENKINS:

4 A. Yes, and some difficulty with contact, yeah.

5 COFFEY, Q.C.:

6 Q. Doctor, was any thought given at the time by

7 Western to accessing any kind of computerized

8 mortality, provincial mortality database?

9 DR. JENKINS:

10 A. We did look through MCP databases as a means

11 of securing some patient contact information.

12 I don't think we utilized any provincial

13 mortality database, though, to the best of my

14 recollection.

15 COFFEY, Q.C.:

16 Q. Like Vital Statistics database for births and

17 deaths.

18 DR. JENKINS:

19 A. Uh-hm.

20 COFFEY, Q.C.:

21 Q. I take it, it just didn't occur to anyone -

22 DR. JENKINS:

23 A. Yeah, I don't think that was accessed.

24 COFFEY, Q.C.:

25 Q. "Also Dr. Jenkins has questioned possible

Page 156

1 percentage of patients who commented they were

2 on Tamoxifen". Ms. Walker says, "I calculated

3 27 of 142 patients who reported this. I

4 thought it seemed to be more. I hope this is

5 helpful". Doctor, had you done any checking

6 as to how many of the patients from Western

7 were already on Tamoxifen?

8 DR. JENKINS:

9 A. Apart from the information that we have here,

10 no.

11 THE COMMISSIONER:

12 Q. These are patient calls to tell people that

13 there will be retests?

14 DR. JENKINS:

15 A. That there will be retesting, that's correct,

16 Commissioner.

17 COFFEY, Q.C.:

18 Q. And then Ms. Barnes on September 9th, e-mails

19 you saying "For your information, I will

20 proceed to arrange to have the remaining

21 patients called."

22 DR. JENKINS:

23 A. Uh-hm.

24 COFFEY, Q.C.:

25 Q. Sharon. So the actual management of the--the

Page 157

1 day-to-day management of having these patient
 2 calls and recalls made was in Ms. Barnes'
 3 hands?
 4 DR. JENKINS:
 5 A. Yes, and her administrative officer was
 6 carrying that function out, that's correct.
 7 THE COMMISSIONER:
 8 Q. Just because it happens to be flowing through
 9 my head at the moment, can you tell me whether
 10 the content of the phone call to patients was
 11 to the effect that there will be retests, or
 12 was it to the effect of here's the reason,
 13 would you like a retest? Was there a consent
 14 element to it or was it just merely
 15 information that this was going to happen?
 16 DR. JENKINS:
 17 A. It would be information that it was going to
 18 occur and it was along the lines of the script
 19 that was provided through Eastern Health and
 20 that was the information we were using.
 21 COFFEY, Q.C.:
 22 Q. Exhibit P-2744? Doctor, these are the minutes
 23 of a meeting of December 22nd, 2005, VP of
 24 Medical Services. You'll note that yourself
 25 and a number of others are in attendance.

Page 158

1 And, yes, it's page 6 of the exhibit,
 2 paragraph 20. Update on screening for breast
 3 cancer. And I take it, Doctor, of course you
 4 would have understood this didn't involve
 5 breast cancer screening?
 6 DR. JENKINS:
 7 A. Correct.
 8 COFFEY, Q.C.:
 9 Q. It reads, "Bob Williams gave an update on some
 10 of the problems incurred with getting results
 11 back from Mount Sinai Hospital. It was hoped
 12 by the end of January most of the backlog will
 13 be eliminated. There was the question raised
 14 about what is happening in Nova Scotia as it
 15 was understood that Nova Scotia started some
 16 of their testing. Bob noted that one of the
 17 key recommendations coming from the
 18 consultants is that there be a smaller group
 19 of pathologists actually reading the test
 20 results with regard to breast cancer." Well
 21 first of all, Doctor, the idea that there was
 22 something going on in Nova Scotia related to
 23 this, do you recall what that was about?
 24 DR. JENKINS:
 25 A. No, just as I was reading down through there,

Page 159

1 I was trying to recollect what that discussion
 2 was all about, but I don't have much memory
 3 for that, Mr. Coffey, in terms of what that
 4 discussion was.
 5 COFFEY, Q.C.:
 6 Q. And you conclude by, the minutes conclude by
 7 referring to Dr. Williams saying that one of
 8 the key recommendations is that small or
 9 smaller group of pathologists should actually
 10 read the test results.
 11 DR. JENKINS:
 12 A. Uh-hm.
 13 COFFEY, Q.C.:
 14 Q. Was the reason for that discussed at the time?
 15 Why would you need a smaller, why was it being
 16 suggested that a smaller group of pathologists
 17 actually read all the--report the results.
 18 DR. JENKINS:
 19 A. If I had my notes from the reading in front of
 20 me, it would be helpful, but I think in just
 21 going back, it would be around issues with
 22 respect to, you know, volumes and ability for
 23 individual pathologists to be able to remain
 24 current, you know, in terms of their
 25 experience and subject matter expertise. But

Page 160

1 again, this is--I'm not a hundred percent sure
 2 about that, Mr. Coffey.
 3 COFFEY, Q.C.:
 4 Q. Exhibit P-2745? Doctor, this is a series of
 5 e-mails of the end of--well the middle to the
 6 end of December of 2005. And the first of
 7 them is December 16th, 2005. It's from Ms.
 8 Walker to Ms. Barnes and she says, "As you
 9 probably have already noted, there are 15
 10 recalls still required after I finish calls
 11 December 14th. I have called these patients
 12 two to five times each, in addition the
 13 contact numbers that were updated still were
 14 unchanged from what was originally provided.
 15 I have recalled anyways and confirmed these
 16 were wrong numbers. I am not sure what the
 17 plan is now, but if you still require I make
 18 recalls, please let me know. Maybe I can do a
 19 few hours after my risk management orientation
 20 next week. I think the total number of
 21 patients involved in calls equals 202 or 204.
 22 Thanks. Bonnie Walker."
 23 DR. JENKINS:
 24 A. Umm.
 25 COFFEY, Q.C.:

Page 161

1 Q. And then Ms. Barnes forwards that on December
 2 21st to yourself saying, "Please see Bonnie's
 3 message below re the calls regarding ER/PR.
 4 Still some clients unable to be contacted
 5 after a number of attempts and others without
 6 appropriate contact information. I have all
 7 the information in my office. Please advise
 8 how you wish to proceed." And then, Doctor,
 9 on December 28th you responded to Ms. Barnes
 10 saying, "Could you please pass the
 11 consolidated list to me and I'll ask Hellen to
 12 troubleshoot the numbers that Bonnie was
 13 unable to get through to. Many thanks to you
 14 and Bonnie for the help here. Cheers."
 15 Doctor, what then happened with respect to
 16 following up on the people who had not been
 17 able to be contacted by Ms. Walker?
 18 DR. JENKINS:
 19 A. So I know my administrative assistant then
 20 made an effort to search through and find an
 21 alternate means of contacting those particular
 22 individuals, but I think didn't have any
 23 further success than what Ms. Walker had at
 24 the time. And then I believe there was some
 25 follow up and feedback provided. I think

Page 162

1 there is some subsequent e-mail traffic to
 2 that that refers specifically to that and I
 3 think there was a request to look further
 4 into--I believe we went--I think I asked
 5 Bonnie to go back through the lab data banks
 6 to see if they had any further contact
 7 information I believe is what happened
 8 subsequent to that, Mr. Coffey.
 9 COFFEY, Q.C.:
 10 Q. Exhibit P-2746? Doctor, this is a series of
 11 e-mails of January 30th, 2006. Doctor here on
 12 January 30th, you wrote to senior management
 13 to Dr. Neil and Mr. Holloway and others,
 14 saying "Hi Folks, I just had a call from Dr.
 15 Bob Williams, the ER/PR test results from
 16 Mount Sinai are back and I should be getting a
 17 call from Heather Predham today with the
 18 results for Western Region patients. We will
 19 be required to notify the patients with
 20 negative results. For those with positive
 21 results, however, the patients of the Cancer
 22 Clinic in St. John's and expert panel in St.
 23 John's will review the results and provide
 24 advice to treating provider. For those with
 25 positive results who are not Cancer Clinic

Page 163

1 patients, it is anticipated that further
 2 clinical information will need to be provided
 3 so that cases can be reviewed by the expert
 4 panel and advice provided. We will need to
 5 have some staffing supports to call the
 6 patients who are negative and advise the
 7 attending physicians of the positive
 8 converters for whom further info is required.
 9 For Kelli, can Bonnie Walker be made available
 10 to do this or should I look elsewhere?
 11 Thanks, Ken Jenkins." And so, Doctor, I take
 12 it then that this is advice to all concerned
 13 within Western Health about the fact that the
 14 results are back and we have to move forward
 15 on it.
 16 DR. JENKINS:
 17 A. That's correct.
 18 COFFEY, Q.C.:
 19 Q. Doctor, was any thought ever given to just
 20 simply getting the results from Eastern at
 21 this point and passing them directly on to the
 22 attending physicians, whether the results were
 23 positive or negative in the sense of the
 24 retest results?
 25 DR. JENKINS:

Page 164

1 A. No, I think we were wanting to sort of
 2 maintain consistency with the approach that
 3 Eastern Health was using, so we really didn't
 4 consider alternate means of communication with
 5 the physicians at that point in time.
 6 COFFEY, Q.C.:
 7 Q. And, Doctor, on the 30th, Ms. O'Brien
 8 responded to you saying "Bonnie is probably
 9 the most appropriate one to do this." Which
 10 would be to make the calls, I take it, to tell
 11 people that their retest was still zero or
 12 negative?
 13 DR. JENKINS:
 14 A. That's correct.
 15 COFFEY, Q.C.:
 16 Q. And you, on the same day, advised Ms. O'Brien
 17 "Wednesday will be fine, if she could start on
 18 it first thing." Ms. O'Brien had told you
 19 that Ms. Walker was away at the time.
 20 DR. JENKINS:
 21 A. Right.
 22 COFFEY, Q.C.:
 23 Q. "Bonnie will be able to give you an idea as to
 24 how long it will take her to do the calls. I
 25 believe she was at it for about a week."

Page 165

1 DR. JENKINS:
 2 A. Uh-hm.
 3 COFFEY, Q.C.:
 4 Q. That would be a week before. "It would make
 5 best sense for her to do the calls, so I am
 6 really appreciative that you are open to
 7 this." So in effect, you were asking the head
 8 of nursing staff to provide you with personnel
 9 to have the calls concerning the negative
 10 results?
 11 DR. JENKINS:
 12 A. That's right, and I think Ms. Walker had
 13 indicated there she was in the process of
 14 switching over into another position into risk
 15 management, which is the position she
 16 currently serves in. So it was just a matter
 17 of trying to free up some time for her in the
 18 transition.
 19 COFFEY, Q.C.:
 20 Q. If I could, exhibit P-2747? This is some e-
 21 mails of January 30th, again, Doctor, one of
 22 them we just looked at, which is your e-mail
 23 advising all concerned about the phone call
 24 from Dr. Williams.
 25 DR. JENKINS:

Page 166

1 A. Uh-hm.
 2 COFFEY, Q.C.:
 3 Q. But then Susan Gillam on the same day, your
 4 CEO, responds to you saying, "Thanks Ken.
 5 Will Heidi need to be involved regarding
 6 communication and notification of the
 7 department?"
 8 DR. JENKINS:
 9 A. I think department.
 10 COFFEY, Q.C.:
 11 Q. "Thanks. Susan." That will be the Department
 12 of Health?
 13 DR. JENKINS:
 14 A. Yes.
 15 COFFEY, Q.C.:
 16 Q. And then you responded to Ms. Gillam saying,
 17 "I believe that Eastern is liaisoning with
 18 Department of Health. It is perhaps wise for
 19 Heidi to do so to ensure that we aren't
 20 missing out on anything. Okay with you?
 21 Heidi."
 22 DR. JENKINS:
 23 A. Uh-hm.
 24 COFFEY, Q.C.:
 25 Q. I take it then she would be responsible for

Page 167

1 dealing with the public relations end of it
 2 with the public?
 3 DR. JENKINS:
 4 A. That's correct.
 5 COFFEY, Q.C.:
 6 Q. Exhibit P-2748? Doctor, this is an e-mail of
 7 January 30th, 2006 from Ms. Predham to
 8 yourself, ER/PR results. She writes simply,
 9 "Hi, here are the results."
 10 DR. JENKINS:
 11 A. Uh-hm.
 12 COFFEY, Q.C.:
 13 Q. Spreadsheet, if we look then, Doctor, here,
 14 attached to this, is a redacted version of the
 15 spreadsheets you received that day, I take it?
 16 DR. JENKINS:
 17 A. Right.
 18 COFFEY, Q.C.:
 19 Q. Doctor, here in relation to this, I'm going to
 20 bring to the Commissioner's attention, under
 21 the comments column there's a note, for
 22 example, this is about ten down, I haven't
 23 counted them, it's about ten rows down.
 24 DR. JENKINS:
 25 A. Yes.

Page 168

1 COFFEY, Q.C.:
 2 Q. It's 00SU3738 and under comments column,
 3 there's path report says Sir Thomas Roddick?
 4 DR. JENKINS:
 5 A. Uh-hm.
 6 COFFEY, Q.C.:
 7 Q. And there's some others, patients are noted to
 8 be deceased and then path report says Sir
 9 Thomas Roddick, and then if we look down
 10 through it, there are a number of other
 11 references to Sir Thomas Roddick. Where is
 12 Sir Thomas Roddick?
 13 DR. JENKINS:
 14 A. Sir Thomas Roddick Hospital is in
 15 Stephenville.
 16 COFFEY, Q.C.:
 17 Q. Exhibit P-1088. Doctor, this is an e-mail
 18 from Heather Predham, January 31st, 2006 to
 19 yourself and Dr. Alteen. It's Mount Sinai
 20 abbreviations and she writes, "I have finally
 21 found an e-mail with the definitions of the
 22 abbreviations on the Mount Sinai report. If
 23 you have any questions, please call me. The
 24 Cancer Clinic are reviewing the patients that
 25 are not 'confirmed negative' for your regions

<p style="text-align: right;">Page 169</p> <p>1 and will let me know which ones are Cancer 2 Clinic patients. As soon as they have 3 completed this, I will forward the names from 4 your region on to you. That will be a listing 5 of the patients that we will be panelling in 6 the coming weeks. Signed Heather." 7 DR. JENKINS: 8 A. Uh-hm. 9 COFFEY, Q.C.: 10 Q. So I take it that that list of patients would 11 be someone who Ms. Walker would not be 12 calling? 13 DR. JENKINS: 14 A. That's correct. 15 COFFEY, Q.C.: 16 Q. Exhibit P-2264 please? Doctor, this is 17 difficult to see, but it's an e-mail of 18 January 31st, 2006. It's to Ms. Walker, it's 19 copied to a number of individuals, including 20 yourself, Frank Holloway and Dr. Neil. 21 Subject is ER/PR results. And it says, "Hi 22 Bonnie, here is the list for our patients. I 23 have confirmed with Heather that our 24 responsibility for patient notification is 25 just the negatives at this point. The</p>	<p style="text-align: right;">Page 171</p> <p>1 third sentence, you write "The attending 2 physicians" - 3 DR. JENKINS: 4 A. Negatives, yeah. 5 COFFEY, Q.C.: 6 Q. - "of the positives will need to be notified." 7 DR. JENKINS: 8 A. Right. 9 COFFEY, Q.C.: 10 Q. "And if they require advice from the expert 11 panel in St. John's, then they will need to 12 provide some clinical info., not specifically 13 defined for the panel." 14 DR. JENKINS: 15 A. Right. 16 COFFEY, Q.C.: 17 Q. Doctor, this seemingly suggests that it was 18 contemplated that the positives, patients with 19 positive results on retest? 20 DR. JENKINS: 21 A. 22 COFFEY, Q.C.: 23 Q. Their physicians would be notified directly, 24 initially? 25 DR. JENKINS:</p>
<p style="text-align: right;">Page 170</p> <p>1 attending physicians of the positives will 2 need to be notified and if they require advice 3 from the expert panel in St. John's, then they 4 will need to provide some clinical info, not 5 specifically defined, for the panel. Best to 6 speak with Heather before you start. She can 7 be reached at"--and a particular phone number. 8 "Thanks, Connie for your help. Signed Ken." 9 And that's at the Mount Sinai's abbreviations 10 and ER/PR results. 11 DR. JENKINS: 12 A. Um-hm. 13 COFFEY, Q.C.: 14 Q. So, Doctor, by sending Ms. Walker this e-mail 15 you understood what was going to happen? 16 DR. JENKINS: 17 A. Um-hm. Well, in fact, that there would be 18 action taken now regarding with respect to, 19 you know, the notification of the negatives 20 and that, you know, the follow-up would be 21 occurring as far as the expert panel would 22 occur and subsequent that physicians would be 23 notified accordingly. 24 COFFEY, Q.C.: 25 Q. Doctor, here, though, in the second line,</p>	<p style="text-align: right;">Page 172</p> <p>1 A. Um-hm. 2 COFFEY, Q.C.: 3 Q. And with a view to, if necessary, getting 4 records. So was that contemplated at the time 5 that you'd actually go out to the physicians 6 first? 7 DR. JENKINS: 8 A. That Western - 9 COFFEY, Q.C.: 10 Q. Yes, Western. 11 DR. JENKINS: 12 A. That Western Health would actually go out to 13 the physicians first. Can we actually go back 14 to the actual previous list? 15 COFFEY, Q.C.: 16 Q. Yes. 17 DR. JENKINS: 18 A. The Excel spreadsheet? 19 COFFEY, Q.C.: 20 Q. The spreadsheet itself? 21 DR. JENKINS: 22 A. Yeah. 23 COFFEY, Q.C.: 24 Q. The spreadsheet is Exhibit 2748, please? 25 There's two different ones, Doctor. This is</p>

Page 173

1 the actual spreadsheet itself, 2748 is.
 2 DR. JENKINS:
 3 A. Right. Okay, yes.
 4 THE COMMISSIONER:
 5 Q. Both are referenced in the immediate one
 6 before.
 7 COFFEY, Q.C.:
 8 Q. Yes, that's the one that -
 9 THE COMMISSIONER:
 10 Q. You may need -
 11 DR. JENKINS:
 12 A. Yes, that's the one I was -
 13 COFFEY, Q.C.:
 14 Q. That's the one -
 15 DR. JENKINS:
 16 A. I think that's the one I'm thinking about,
 17 yeah.
 18 COFFEY, Q.C.:
 19 Q. It's 1088, please. Doctor.
 20 DR. JENKINS:
 21 A. Right. So your question being, Mr. Coffey, is
 22 that was there an expectation that Western was
 23 going to contact the physicians regarding
 24 positives, I think that's your question?
 25 COFFEY, Q.C.:

Page 174

1 Q. Yes. Because that's, you know -
 2 DR. JENKINS:
 3 A. Yeah.
 4 COFFEY, Q.C.:
 5 Q. And I appreciate this is just the day after
 6 you first get the results.
 7 DR. JENKINS:
 8 A. Yeah, I'm trying--to the best of my
 9 recollection, Mr. Coffey, our responsibility
 10 and focus was on reporting of the negatives.
 11 I'm not recalling that we were given, being
 12 given responsibility for reporting to the
 13 physicians regarding positives at that time.
 14 COFFEY, Q.C.:
 15 Q. And, Doctor, so it was contemplated then that
 16 Ms. Walker would contact the patients with
 17 negative retest results?
 18 DR. JENKINS:
 19 A. Right.
 20 COFFEY, Q.C.:
 21 Q. By phone?
 22 DR. JENKINS:
 23 A. Correct.
 24 COFFEY, Q.C.:
 25 Q. Was any thought given to following up in

Page 175

1 writing with them?
 2 DR. JENKINS:
 3 A. No, no, we didn't, we didn't think about that
 4 as a strategy.
 5 COFFEY, Q.C.:
 6 Q. And how about telling their physicians what
 7 the results were?
 8 DR. JENKINS:
 9 A. Um-hm.
 10 COFFEY, Q.C.:
 11 Q. Was any thought given to contacting the
 12 attending physicians for the negatives?
 13 DR. JENKINS:
 14 A. Not apart from the general information that we
 15 had initially provided to physicians about the
 16 process that was undergoing.
 17 COFFEY, Q.C.:
 18 Q. Did that ever come up, do you know, Doctor?
 19 DR. JENKINS:
 20 A. I believe, Mr. Coffey, at one particular point
 21 in time, yes, it was a request that, you know,
 22 we look at helping with notifications.
 23 Because there was some uncertainty, I know at
 24 least one point in time, as to whether Eastern
 25 Health was successful in contacting all of the

Page 176

1 physicians, and so there was a request that
 2 came in to us to have a look at that or to
 3 help them with notification.
 4 COFFEY, Q.C.:
 5 Q. Notification of physicians for which group of
 6 patients?
 7 DR. JENKINS:
 8 A. I'm not--and I can't remember if it was a
 9 combination of groupings of patients or if it
 10 was just for positives. It was probably
 11 mostly the positives, Mr. Coffey, because we
 12 would have been responsible for the negatives
 13 notifications, so and would have conducted
 14 that ourselves and have known that that was
 15 completed. So it must have been, it must have
 16 been positive patients.
 17 COFFEY, Q.C.:
 18 Q. So to this day, Doctor, to your knowledge, at
 19 least in Western, have the physicians of
 20 patients who had negative results on retest,
 21 have the physicians been told by Western?
 22 DR. JENKINS:
 23 A. By Western?
 24 COFFEY, Q.C.:
 25 Q. Yes.

Page 177	Page 179
<p>1 DR. JENKINS: 2 A. I can't say that I could confirm that each and 3 every case that would be the instance. 4 COFFEY, Q.C.: 5 Q. In fact, was there ever any - 6 DR. JENKINS: 7 A. No. 8 COFFEY, Q.C.: 9 Q. - initiative to contact the physicians for 10 those with negative retest results? 11 DR. JENKINS: 12 A. No, no. It was the patient notification was 13 the principle methodology that we had 14 utilized. 15 COFFEY, Q.C.: 16 Q. Patients directly? 17 DR. JENKINS: 18 A. Yeah. 19 COFFEY, Q.C.: 20 Q. Exhibit P-2749? Doctor, this again VP of 21 medical services, minutes of meeting of 22 February 2nd, 2006. A number in attendance, 23 including yourself by phone this time. 24 DR. JENKINS: 25 A. Um-hm.</p>	<p>1 in time what was the situation in relation to 2 the deceased in Western? 3 DR. JENKINS: 4 A. In terms of, Mr. Coffey? 5 COFFEY, Q.C.: 6 Q. Retesting having been done, families having-- 7 well, I understand that Ms. Walker had 8 inadvertently called a number of patients. 9 DR. JENKINS: 10 A. Yeah. And this was February--what's the date 11 again on these particular minutes? 12 COFFEY, Q.C.: 13 Q. It's is February the 2nd. 14 DR. JENKINS: 15 A. That's February, 2006, yeah. So I know the 16 initial focus, of course, was not on, you 17 know, deceased patients and reprocessing of 18 test results. And at some point in time a 19 decision was made to do so, but I think that 20 would be post this particular set of minutes. 21 COFFEY, Q.C.: 22 Q. Doctor, the idea of resuming testing for ER/PR 23 at Eastern Health, which is referred to here. 24 DR. JENKINS: 25 A. Yes.</p>
Page 178	Page 180
<p>1 COFFEY, Q.C.: 2 Q. And on page 3 of the exhibit, Doctor, is a 3 reference to ER and PR receptors. 4 DR. JENKINS: 5 A. Um-hm. 6 COFFEY, Q.C.: 7 Q. Paragraph 11(g). "Dr. Bob Williams provided 8 an update on reports being returned from Mount 9 Sinai Hospital. Larry advised that there's 10 been no follow-up with any of the patients in 11 the Central area. Bob Williams advised that 12 by April, 2006 they hope to start testing 13 patients in Eastern Health rather than 14 continue to send the test to Mount Sinai 15 Hospital. The difference will be that the 16 report will include an interpretation of the 17 slide. It is expected two or three 18 pathologists will do the work associated with 19 breast cancer. There was some discussion on 20 the type of correspondence that should go to 21 families of patients who are deceased. It was 22 agreed that we need to have a standard letter 23 so the same information will go to all 24 families." Doctor, I have a couple of 25 question in relation to this. At that point</p>	<p>1 COFFEY, Q.C.: 2 Q. And the Commissioner has heard it didn't occur 3 until early 2007. I'm going to ask you about 4 it now generally. Have you ever been asked or 5 discussed the idea of Western utilizing 6 Eastern to do ER/PR results since this time? 7 DR. JENKINS: 8 A. Um-hm. Well, there had been some discussion 9 at the VP Medical Services meeting regarding 10 the fact that, you know, they were hoping to 11 start back up with the testing again at some 12 particular point in time. But we had decided 13 internally within Western Health that we would 14 continue to send our results to Mount Sinai. 15 We understood that there were workload 16 challenges in Eastern Health, given the 17 situation with their numbers of pathologists 18 and whatnot, and we felt as an organization 19 that we just wanted to, you know, continue to 20 send out work out to Mount Sinai. We were 21 getting, you know, reasonably good turnaround 22 times and good support from them and given the 23 complicated situation that the Eastern Health 24 was facing, we felt it would be appropriate to 25 continue with that.</p>

Page 181

1 COFFEY, Q.C.:

2 Q. Doctor, here then as of the beginning of

3 February, 2006 amongst the VP medicals who are

4 meeting, the idea that the reporting of ER/PR,

5 anyway, would be limited to two or three

6 pathologists throughout the province, in fact,

7 it's put here, do all the work associated with

8 breast cancer, what was Western's attitude

9 towards that at the time, were you accepting

10 of the idea of having a limited number of

11 people do this?

12 DR. JENKINS:

13 A. Well, certainly, you know, our pathologists

14 had been engaged in interpreting slides, as

15 you would be aware, once they were processed

16 in Eastern Health. We didn't really have a

17 large discussion around, you know, the, I

18 guess you'd call it the centralization of that

19 particular process at that particular point in

20 time. And Dr. Neil and I, I think, had some

21 brief discussion around it, but it wasn't a

22 huge point of discussion or concern for us at

23 that particular point in time.

24 COFFEY, Q.C.:

25 Q. I take it that's because Mount Sinai was doing

Page 182

1 the ongoing testing anyway?

2 DR. JENKINS:

3 A. That's correct.

4 COFFEY, Q.C.:

5 Q. The idea that some discussion, the type of

6 correspondence that should go to families of

7 patients who are deceased, so I take it at

8 that point, early February, serious thought

9 was being given by the VP medicals to sending

10 a letter to the families of patients who were

11 known to be deceased?

12 DR. JENKINS:

13 A. Um-hm.

14 COFFEY, Q.C.:

15 Q. About ER/PR?

16 DR. JENKINS:

17 A. Um-hm.

18 COFFEY, Q.C.:

19 Q. And utilizing a standard letter?

20 DR. JENKINS:

21 A. Um-hm.

22 COFFEY, Q.C.:

23 Q. Standard, I take it, across the province?

24 DR. JENKINS:

25 A. Right.

Page 183

1 COFFEY, Q.C.:

2 Q. What was contemplated at that time might be

3 told to the families of deceased patients?

4 DR. JENKINS:

5 A. I don't think we had had a particular text

6 that was worked up, a message, so to speak,

7 that would be communicated. I think it was

8 more of a discussion around, you know, the

9 issue of somehow notification being something

10 that needed to be considered. But at that

11 particular meeting, Mr. Coffey, I don't recall

12 that we had hammered out any particular points

13 of what that communication should look like.

14 COFFEY, Q.C.:

15 Q. Exhibit P-2750? And, Doctor, again, this is a

16 series of e-mails of February 2nd, 2006. Ms.

17 Walker on that day e-mails you saying

18 "Apologies for delayed reply, been away until

19 today. In answer to the question re

20 clients/patients that may be deceased, there

21 was a list I started when I was making the

22 calls that noted any deceased clients/patients

23 discovered. In addition there were some

24 clients/patients that had been unreachable

25 after several calls and some that did not have

Page 184

1 up-to-date contact information. Unsure if

2 these were reached. If so, were they noted as

3 deceased if discovered during the call?"

4 Signed by Ms. Walker, the risk manager and

5 patient safety advisor.

6 DR. JENKINS:

7 A. Um-hm.

8 COFFEY, Q.C.:

9 Q. And then you responded on the same day saying,

10 "I thought that the file may have been passed

11 back to you for this follow-up. I'll ask

12 Hellen to advise Susan of the list of those

13 who are deceased. We did not have any luck

14 with making contact with those that you could

15 not get a hold of. As well, I'll have Hellen

16 send the file back to you for this piece of

17 the work so that everything remains together."

18 I take it, Doctor, that is the--this is one of

19 these e-mails you referred to earlier about

20 the idea that there were some people Western

21 up to that point just couldn't contact?

22 DR. JENKINS:

23 A. That's correct, yeah, that's what I was

24 referring to previously, Mr. Coffey.

25 COFFEY, Q.C.:

Page 185

1 Q. Sure. And as well there's Ms. Gillam who has
2 been included in this e-mail exchange on that
3 day tells you by e-mail, "Thanks, Ken. I
4 don't need to receive the list. Thanks for
5 the follow-up."
6 DR. JENKINS:
7 A. Um-hm.
8 COFFEY, Q.C.:
9 Q. So I take it Ms. Gillam was being kept in the
10 loop as to what was going on -
11 DR. JENKINS:
12 A. Yes.
13 COFFEY, Q.C.:
14 Q. - but the nitty gritty of who remained to be
15 called or who had been contacted, she didn't
16 wish to be -
17 DR. JENKINS:
18 A. That's right. And she trusted that follow-up
19 to us in terms of the detail work.
20 COFFEY, Q.C.:
21 Q. Exhibit P-2751? This is an e-mail of February
22 7th, 2006. It's from Ms. Walker to yourself
23 and others, and Ms. O'Brien. She says "I have
24 just finished calling the list of negatives,
25 ER/PR provided by Heather Predham. There were

Page 186

1 63 patients identified to call. I made those
2 calls Friday and Monday, required
3 approximately four hours. Here is an update
4 of those calls. There are four clients that
5 were not on the original ER/PR call list."
6 They list them, redacted. "Will require
7 contact information for these. Number two,
8 there are three clients with incorrect contact
9 information as previously identified, but
10 still cannot find any contact information on
11 sheets I provided from last calls." And
12 there's three names redacted. "Number three,
13 there were ten of the 63 clients were deceased
14 (this was known from previous calls made).
15 There are two of the 63 clients I have to
16 recall in order to reach, excluding patients
17 with no contact information (3) and not on the
18 original list (4)." And then she goes on to
19 say, "Also, Heather advises the decision to
20 panel all positives still to be decided, but
21 she will keep us informed. A team
22 (oncologists, pathologists, Heather..) are
23 looking at this over the next week or so.
24 Following she will inform us regarding that
25 decision. Also, she will inform re what

Page 187

1 clinical care will be required from the
2 attending physician. She says it will likely
3 involve progress notes, discharge summaries,
4 significant lab, etcetera. In addition
5 Heather advises we will be deciding on how to
6 approach the issue for patients that have
7 since deceased. Also, that for clients that
8 have unavailable contact information, we will
9 have to get creative on how to get a proper
10 telephone contact. Note, I have previously
11 called Next of Kin and Information for clients
12 with no contact information, but unsuccessful
13 it obtain new telephone numbers. Also,
14 Heather advises that we should be keeping
15 documentation of calls made throughout this
16 process. I have kept a spreadsheet of calls
17 throughout this process. Also, Ken, I was
18 unsure if the list I had previously left with
19 Hellen Sparkes regarding clients that were not
20 reached after multiple calls had been
21 contacted by you. I reached four of the 14 of
22 these during my calls regarding results, but
23 was unsure regarding the other ten." So, I
24 take it, Doctor, this is reflective of the
25 communications efforts that were going on from

Page 188

1 Western involving the negative patients at
2 that time?
3 DR. JENKINS:
4 A. That's correct.
5 COFFEY, Q.C.:
6 Q. And Exhibit P-1100? Doctor, this is an e-mail
7 of February 10th, 2006 from Ms. Predham to a
8 number of individuals within Eastern Health.
9 But she says, "This is an update as of this
10 morning, February 10th, 2006." Under the
11 heading "Confirmed Negative" the fourth entry
12 is "Western" and it reads, "All the confirmed
13 negative have been informed except for one
14 that needs to be checked. They have three
15 that they don't have contact information on
16 and they have four that were not on their
17 original list. Dr. Jenkins is following up on
18 that." Doctor, what then happened in relation
19 to contacting the balance of the patients?
20 DR. JENKINS:
21 A. Those specific ones, Mr. Coffey, I'm not 100
22 percent sure, but I know we--you know, we
23 followed through in whatever mechanisms we
24 could have, in terms of going back through our
25 information contact systems and those sorts of

Page 189

1 things, but I can't recall off the top of my
 2 head what actually happened then with those
 3 other ones. I'm hoping you may have something
 4 there in the list of documents that might help
 5 us with that.

6 COFFEY, Q.C.:

7 Q. Exhibit P-2752. Doctor, this is a series of
 8 e-mails, beginning in February and extending
 9 into March. The first of them is from Bonnie
 10 Walker to yourself, February 14th, 2006. She
 11 writes "Heather Predham has requested we
 12 provide MCP numbers for the remaining list of
 13 patients/clients, patients identified as not
 14 repeat negative. There are a large number of
 15 patients still on the list. Can the lab
 16 possibly provide this information? The list
 17 provided by Heather provides the ER/PR result
 18 related to name and tissue sample number. I
 19 feel it's safer for the lab to confirm the
 20 match of MCP to this information. Also, I
 21 understand the recalls or no contact
 22 clients/patients previously identified were
 23 not contacted by you. Therefore, do you feel
 24 these calls should be done at this stage or is
 25 it more appropriate to await the time the

Page 190

1 panel attending physician will be calling them
 2 regarding their result?" So I take it, Doctor,
 3 this -

4 DR. JENKINS:

5 A. Um-hm.

6 COFFEY, Q.C.:

7 Q. - and then you, on March 4th, Doctor,
 8 responded to Ms. Walker saying "Hi, Bonnie.
 9 Did this all get sorted and the lab can
 10 provide MCP numbers?" Signed Ken.

11 DR. JENKINS:

12 A. Right.

13 COFFEY, Q.C.:

14 Q. And then she responded March 6th saying she
 15 had "visited Dennis Boone in the lab. He was
 16 very helpful. The MCP numbers were provided
 17 approximately two weeks ago." And she said,
 18 "at this time, I am awaiting Heather's
 19 feedback regarding the remaining clients,
 20 patients, awaiting the decision, are remaining
 21 patients/clients to be all panelled or will
 22 some be notified through their attending
 23 physician. Otherwise, all the
 24 patients/clients I was asked to contact have
 25 been contacted, except one client I am still

Page 191

1 having difficulty contacting due to no contact
 2 information and another I am still attempting
 3 to contact, but cannot reach. Also, I was
 4 successful contacting three clients/patients
 5 that previously did not have correct contact
 6 information and discovered through family
 7 members that they have since deceased." So I
 8 take it that is the e-mail you're referring
 9 to?

10 DR. JENKINS:

11 A. That was the follow through, yeah.

12 COFFEY, Q.C.:

13 Q. If we could, please, Exhibit P-2753? Doctor,
 14 this is--these are minutes of a meeting of
 15 June 5th, 2006, the VP of Medical Services,
 16 you are in attendance. Doctor, there's a
 17 paragraph here entitled recruitment--number
 18 four, recruitment of diagnostic imaging and
 19 laboratory technologists.

20 DR. JENKINS:

21 A. Um.

22 COFFEY, Q.C.:

23 Q. And I'm not going to take you all the way
 24 through, but it begins "Ken Jenkins requested
 25 this item be raised as there are concerns that

Page 192

1 there will be a desperate need for both lab
 2 and x-ray technologists in the province in the
 3 next few years," and then it goes on in some
 4 detail to discuss that.

5 DR. JENKINS:

6 A. Yes.

7 COFFEY, Q.C.:

8 Q. Doctor, how is it you are involved in that
 9 aspect of medicine?

10 DR. JENKINS:

11 A. Well, that, of course, relates to my line
 12 responsibility for diagnostic imaging or
 13 medical imaging and laboratory services and
 14 certainly our regional directors would have
 15 been indicating to us, you know, that there
 16 are significant recruitment challenges for
 17 technologists in both those areas of
 18 professional practice and it was significant
 19 enough that we felt, you know, we really
 20 needed to get things moving from an
 21 educational perspective and from a recruitment
 22 and retention perspective as well.

23 COFFEY, Q.C.:

24 Q. The notes here, in about the fifth line, say
 25 "there was considerable discussion over the

Page 193	Page 195
<p>1 selection method by the College of the North 2 Atlantic as it is understood the selection of 3 students in both the lab and x-ray programs 4 are based on first-come first-selected and not 5 on the best candidates. As a result, the 6 failure rate for both programs is fairly high. 7 It was agreed that the association should 8 initiate discussions between the Department of 9 Health and Community Services and the 10 Department of Education with regards to the 11 College of North Atlantic's selection 12 process," and it goes on to talk about 13 suggesting meetings between all parties 14 concerned.</p> <p>15 DR. JENKINS: 16 A. Yes. 17 COFFEY, Q.C.: 18 Q. Up to and including the CEOs of the health 19 authorities. 20 DR. JENKINS: 21 A. Right. 22 COFFEY, Q.C.: 23 Q. Doctor, can you tell us where that has gone 24 from that point? Where is that now? 25 DR. JENKINS:</p>	<p>1 mail of July 9th, 2006 from Heather Predham to 2 yourself. She has attached a briefing note 3 July 4.doc and she writes "Hello, Dr. Jenkins. 4 Dr. Williams asked me to contact you regarding 5 a development in our ER/PR review. We have 6 determined that there are two categories of 7 patients that require further review and/or 8 disclosure as a result of our retesting. I 9 have attached a briefing note that explains 10 the situation more clearly. As the 11 organization conducting the review, we are 12 asking for direction, in particular to the 13 DCIS patients. Would you prefer to conduct 14 this review of the previous pathology slides 15 and blocks by the pathology lab in your region 16 or would you like that review to be conducted 17 by Eastern Health? There are approximately 18 four patients in this category from your 19 region. In the case of the retroconverters, 20 there is one patient from your region affected 21 and this information will have to be disclosed 22 to her. Of course, if you need any further 23 contact" contact her or Dr. Williams directly. 24 DR. JENKINS: 25 A. Um-hm.</p>
Page 194	Page 196
<p>1 A. There has been some development and 2 principally, our VP of Human Resources has 3 taken the ball and run with it, from Western 4 Health's perspective, and developed a number 5 of documents which have been submitted to 6 provincial groups regarding proposed 7 methodologies for addressing this issue. I 8 haven't been directly involved with this 9 myself, but I'm aware of what's going on. I 10 know at one particular point in time, they 11 were looking at some variable training 12 options, in terms of expansion of the program 13 to meet needs. But it really hasn't changed 14 all that much in terms of how the program 15 works and it's still basically as described 16 here. 17 COFFEY, Q.C.: 18 Q. In terms of the concern about not necessarily 19 the best qualified academically, not 20 necessarily those - 21 DR. JENKINS: 22 A. Yes, in terms of the first-come first-serve 23 methodology for application to programs. 24 COFFEY, Q.C.: 25 Q. Exhibit 2754, please. Doctor, this is an e-</p>	<p>1 COFFEY, Q.C.: 2 Q. And Doctor, attached is a memo of July 4th, 3 2006. It's to a number of individuals within 4 Eastern Health from Heather Predham. It's 5 regarding estrogen and progesterone receptor 6 testing, DCIS and retroconverters. 7 DR. JENKINS: 8 A. Right. 9 COFFEY, Q.C.: 10 Q. Is this the first you heard about the matter 11 involving the concern about DCIS and 12 retroconverters? 13 DR. JENKINS: 14 A. To any significant detail. I know there had 15 been some discussion by Dr. Williams along the 16 way. I'm not sure if it predates this 17 particular memo, but in terms of having, you 18 know, a better understanding of what it 19 actually meant, this is my first recollection 20 of having, you know, a significant description 21 of the impact of that. 22 COFFEY, Q.C.: 23 Q. Exhibit P-2755. Doctor, here is again a 24 series of e-mails of July 9th through the 25 11th. The bottom of the first page here, see</p>

Page 197

1 one from Lorraine Woolgar to yourself, July
2 10th, 2006. She says "Dr. Jenkins, please see
3 attached from Heather Predham" and the
4 attachment from Heather Predham is in fact
5 that ER/PR developments we just looked at.
6 DR. JENKINS:
7 A. Right.
8 COFFEY, Q.C.:
9 Q. Or at least one of them anyway, and July 10th,
10 you then forwarded that e-mail to Dr. Neil
11 saying "could you please provide your
12 recommendation?" and then Dr. Neil responded
13 on July 11th to you saying "I have no problem
14 with Eastern doing this. However, I would
15 like Western to have the opportunity to review
16 as well. I am unclear as to what the problem
17 really entails. Mount Sinai says DCIS, they
18 may only have reviewed the slide and block we
19 sent them. There may indeed be only DCIS left
20 on the slide, but other blocks they did not
21 review may show invasive. Only review of the
22 entire case would show this. Therefore, I
23 would like to have the original pathology
24 reviewed here as well. Thanks, Paul."
25 DR. JENKINS:

Page 198

1 A. Right.
2 COFFEY, Q.C.:
3 Q. And then you sent that on to Ms. Woolgar
4 saying "please see feedback from our chief of
5 pathology, Dr. Paul Neil, below." So your
6 understanding then, Doctor, in terms of Dr.
7 Neil was prepared to certainly have or be
8 involved with Eastern -
9 DR. JENKINS:
10 A. Yeah.
11 COFFEY, Q.C.:
12 Q. - in reviewing these cases, but he was going
13 to take an active role -
14 DR. JENKINS:
15 A. Right.
16 COFFEY, Q.C.:
17 Q. - himself as well?
18 DR. JENKINS:
19 A. Right.
20 COFFEY, Q.C.:
21 Q. In terms of then dealing with the DCIS or
22 retroconverters from the Western Health area,
23 who then actually dealt with them? I take it
24 there were some such cases?
25 DR. JENKINS:

Page 199

1 A. Yeah, and I know certainly Dr. Neil had a lot
2 of involvement himself in terms of reviewing
3 those particular cases, because he has stated
4 here, he felt, you know, there was some
5 potential that with the limited amounts of
6 information and sampling that Mount Sinai
7 might have, that there, you know, they would
8 not have the full context and the full
9 picture. So he felt, you know, he wanted to
10 be involved with a full case review when these
11 cases were being looked at to make sure
12 nothing was missed.
13 COFFEY, Q.C.:
14 Q. And then what happened, Doctor, in terms of
15 were there any such patients who, when the
16 dust settled, were from Western DCIS or
17 retroconverters?
18 DR. JENKINS:
19 A. There were a number and not sure of the total
20 number of those, but I know there would have
21 been some follow-up communication then between
22 Dr. Neil and his colleagues in St. John's
23 regarding the cases and what they meant and
24 any support that was required would have been
25 provided by Eastern Health.

Page 200

1 COFFEY, Q.C.:
2 Q. Were the patients met with by Western
3 personnel?
4 DR. JENKINS:
5 A. Were they met with to describe?
6 COFFEY, Q.C.:
7 Q. Yes.
8 DR. JENKINS:
9 A. To the best of my knowledge, not.
10 COFFEY, Q.C.:
11 Q. Okay. So who was to meet with those patients
12 then? That was left to whom?
13 DR. JENKINS:
14 A. I believe that was left with Eastern, Mr.
15 Coffey.
16 COFFEY, Q.C.:
17 Q. Exhibit P-2756, please. Doctor, this is an e-
18 mail of May 24th, 2007. It's from Denise Dunn
19 to yourself and Dr. Alteen and Dr. Jong, and
20 it's an urgent conference call. It reads "Dr.
21 Oscar Howell asked that I contact you with a
22 request to the Minister of Health for you,
23 your CEO and head pathologist to participate
24 in a conference call on May 24th," like 45
25 minutes later, at ten a.m.

1 DR. JENKINS:
 2 A. Um-hm.
 3 COFFEY, Q.C.:
 4 Q. Now Doctor, by this point in time, of course,
 5 the establishment of the Commission of Inquiry
 6 had already been made.
 7 DR. JENKINS:
 8 A. Indeed, yeah.
 9 COFFEY, Q.C.:
 10 Q. Days before. Doctor, could you describe then
 11 for the Commissioner then, when the bulk of
 12 the results came back in early 2006 and you
 13 received them the end of January and the calls
 14 were made to patients with negative results,
 15 from your perspective, as the VP Medical, how
 16 then did events unfold from Western's
 17 perspective? What happened overall?
 18 DR. JENKINS:
 19 A. Subsequently, from our perspective, then we
 20 had significant involvement with our Quality
 21 Management Research side of the house as well.
 22 They were very actively involved with follow
 23 ups on the results that were being reported
 24 and we were also asked--you know, there was a
 25 number of times we were asked to scrub down

1 A. I'd have to almost refer back to my notes at
 2 the time to say what our particular activities
 3 were. You know, I think principally, we were
 4 reacting and responding to requests that were
 5 being made of us at that particular time, and
 6 we were certainly wanting to go about, you
 7 know, carrying out those responsibilities in
 8 terms of contact with patients, you know, in
 9 terms of advising them of the retesting
 10 procedure. But Mr. Coffey, I don't recall any
 11 other specific activities apart from that. So
 12 we have the initial retest results coming
 13 back, that's what you're talking about?
 14 COFFEY, Q.C.:
 15 Q. Yes, and we've gone through the e-mails about
 16 the -
 17 DR. JENKINS:
 18 A. Yes, we've gone through that series of events.
 19 COFFEY, Q.C.:
 20 Q. - calls and attempts to contact the patients
 21 with the negative results.
 22 DR. JENKINS:
 23 A. Yes.
 24 COFFEY, Q.C.:
 25 Q. The patients who had positive results were

1 lists and confirm, you know, from a number of
 2 different perspectives, what had been coming
 3 back in terms of results and requirements for
 4 re-analysis. You know, of course, we had the
 5 involvement of the provincial group with
 6 respect to, you know, developing a database of
 7 all the retesting results.
 8 COFFEY, Q.C.:
 9 Q. That came after the -
 10 DR. JENKINS:
 11 A. Yes.
 12 COFFEY, Q.C.:
 13 Q. I'll come to that in a minute.
 14 DR. JENKINS:
 15 A. Right, okay.
 16 COFFEY, Q.C.:
 17 Q. I'm just thinking between the announcement of
 18 the Commission of Inquiry, going back in time
 19 to the results coming back from Mount Sinai,
 20 what happened between the Mount Sinai results
 21 arriving at the end of January on your
 22 computer and the announcement of the
 23 Commission of Inquiry? What, if anything, was
 24 Western involved in?
 25 DR. JENKINS:

1 attended to or addressed by whom?
 2 DR. JENKINS:
 3 A. By Eastern Health.
 4 COFFEY, Q.C.:
 5 Q. Eastern Health?
 6 DR. JENKINS:
 7 A. Right.
 8 COFFEY, Q.C.:
 9 Q. Was Western, in fact, in any formally, ever
 10 advised as to what the status was in relation
 11 to contacting the positive result patients?
 12 DR. JENKINS:
 13 A. Not through my channels. There may have been-
 14 -and again, understand that there would be
 15 communication at a number of different levels,
 16 but not to my understanding.
 17 COFFEY, Q.C.:
 18 Q. What I'm getting at is this, because we looked
 19 at--we could look through that list and see a
 20 list of negatives.
 21 DR. JENKINS:
 22 A. Um-hm.
 23 COFFEY, Q.C.:
 24 Q. Then there were the positives, and in terms of
 25 whether or not or when any particular Western

Page 205	Page 207
<p>1 positive patient was contacted with a panel 2 review letter, for example - 3 DR. JENKINS: 4 A. Right, yes. 5 COFFEY, Q.C.: 6 Q. - Western wasn't apprised of that? 7 DR. JENKINS: 8 A. No. 9 COFFEY, Q.C.: 10 Q. I take it, in any kind of formal way? 11 DR. JENKINS: 12 A. No. Now, I think, you know, physicians would 13 have been notified themselves and been made 14 aware, but I don't recall that we were 15 specifically notified about that follow up. 16 COFFEY, Q.C.: 17 Q. To actually have kind of your spreadsheet 18 checklist for all the positive patients to 19 finally confirm that they'd been contacted? 20 DR. JENKINS: 21 A. Right. 22 COFFEY, Q.C.: 23 Q. You weren't being kept in a loop in any formal 24 way? 25 DR. JENKINS:</p>	<p>1 am away most of the next two weeks, as of 2 tomorrow morning. Hellen has my file. Bonnie 3 Walker has detailed knowledge of the numbers. 4 It may be best to ask Paul Neil to respond to 5 this request in my absence." 6 DR. JENKINS: 7 A. Um-hm. 8 COFFEY, Q.C.: 9 Q. And then Paul, the next day, Dr. Neil sends an 10 e-mail saying--to Heidi saying "I really don't 11 have all that information. I was not involved 12 in the treatment issue. All that was handled 13 by a panel set up by Eastern Health to review. 14 Bonnie may have more information. Also, I 15 believe Dr. Hutton may have the info on 16 deaths." Doctor, I take it that you would be 17 able to--or Western has been able to figure 18 out how many patients from the Western Region 19 had been retested? 20 DR. JENKINS: 21 A. Yes. 22 COFFEY, Q.C.: 23 Q. That could be done? 24 DR. JENKINS: 25 A. Yes.</p>
Page 206	Page 208
<p>1 A. Not to the best of my recollection. 2 THE COMMISSIONER: 3 Q. Mr. Coffey, it's getting near the luncheon 4 break. Where you can find a convenient spot, 5 we'll break. 6 COFFEY, Q.C.: 7 Q. Commissioner, this would be a convenient time. 8 THE COMMISSIONER: 9 Q. All right then, we'll meet again at five after 10 two. 11 (LUNCH BREAK) 12 THE COMMISSIONER: 13 Q. Please be seated. Mr. Coffey. 14 COFFEY, Q.C.: 15 Q. Thank you, Commissioner. Exhibit P-2757, 16 please, Registrar? Doctor, this is a series 17 of e-mails of May 24th and 25th, 2007. 18 Doctor, the first in the series is from Heidi 19 Simmons to yourself. She writes "Hi, Ken. 20 The Western Star has called today wondering 21 how many of our patients were involved in the 22 ER/PR issue and how many would have had an 23 incorrect treatment as a result and how many 24 have since died. Would you have a few minutes 25 to discuss?" And you responded by saying "I</p>	<p>1 COFFEY, Q.C.: 2 Q. Have you ever been given or have you ever 3 calculated how many patients from the Western 4 region had an incorrect treatment as a result, 5 in other words, incorrect in the sense of had 6 to have their treatment changed? 7 DR. JENKINS: 8 A. No, we haven't tabulated that. 9 COFFEY, Q.C.: 10 Q. In fact, would you actually--as it is right 11 now, would you even have that readily 12 available to you or would you have to go to 13 St. John's to ask them? 14 DR. JENKINS: 15 A. I think I'd have to confer with my colleagues 16 in Eastern to be able to get an accurate 17 determine of that. 18 COFFEY, Q.C.: 19 Q. And they've never offered one? 20 DR. JENKINS: 21 A. Not to the best of my knowledge. 22 COFFEY, Q.C.: 23 Q. Exhibit P-0973, please, and Doctor, this is a 24 letter of July 10th, 2007. It's from Susan 25 Gillam to Robert Thompson.</p>

Page 209

1 DR. JENKINS:
 2 A. Um-hm.
 3 COFFEY, Q.C.:
 4 Q. And here, in the second paragraph, she writes
 5 "Dr. Ken Jenkins, VP of Medical Services, has
 6 agreed to be your point of contact." That
 7 would be in relation to his role as Secretary
 8 to Cabinet for the management of health
 9 issues?
 10 DR. JENKINS:
 11 A. Right.
 12 COFFEY, Q.C.:
 13 Q. Including the Commission of Inquiry.
 14 DR. JENKINS:
 15 A. Right.
 16 COFFEY, Q.C.:
 17 Q. As well, Doctor, I believe this is a
 18 handwritten note by yourself, July 26th, 2007.
 19 DR. JENKINS:
 20 A. It is.
 21 COFFEY, Q.C.:
 22 Q. You write "Hi, Susan. Would it be possible to
 23 clarify in writing to Robert that I will be
 24 the point of contact re: ER/PR and that Lisa
 25 will be a point of contact for the Task Force

Page 210

1 on Adverse Events. Thanks, Ken."
 2 DR. JENKINS:
 3 A. Correct.
 4 COFFEY, Q.C.:
 5 Q. Lisa is?
 6 DR. JENKINS:
 7 A. Lisa Hoddinott, our VP for Quality Management
 8 Research.
 9 COFFEY, Q.C.:
 10 Q. Exhibit P-2760, please. Doctor, this is a
 11 memo to yourself from Bonnie Walker, July
 12 12th, 2007. The subject is ER/PR recall, no
 13 contact/expired, which I take it means
 14 deceased, that would be the -
 15 DR. JENKINS:
 16 A. That's correct.
 17 COFFEY, Q.C.:
 18 Q. And she says "Dear Ken, please find enclosed a
 19 spreadsheet outlining Western Health's clients
 20 called regarding ER/PR retesting process. The
 21 spreadsheet includes clients called in
 22 December 2005 and also includes, indicated by
 23 an asterisk by the name, who of those clients
 24 were recalled in February 2006. There were 63
 25 requested to call in February 2006 and 59 of

Page 211

1 those were from the original list requested to
 2 call in December 2005. Contact details of all
 3 63 clients recalled are indicated on the
 4 spreadsheet list provided by Eastern Health,"
 5 and this "requested to recall," requested by
 6 whom?
 7 DR. JENKINS:
 8 A. I'm thinking it must be Eastern Health, but
 9 I'm not exactly sure.
 10 COFFEY, Q.C.:
 11 Q. So the calls in December of 2005, would have
 12 been the original calls to tell people they
 13 were being retested?
 14 DR. JENKINS:
 15 A. That's correct.
 16 COFFEY, Q.C.:
 17 Q. Those in February of '06 would be the results
 18 of the retesting?
 19 DR. JENKINS:
 20 A. Yes.
 21 COFFEY, Q.C.:
 22 Q. The negatives?
 23 DR. JENKINS:
 24 A. That's right.
 25 COFFEY, Q.C.:

Page 212

1 Q. That would be the negatives.
 2 DR. JENKINS:
 3 A. Yeah.
 4 COFFEY, Q.C.:
 5 Q. And she goes on to say, "for clarification
 6 purposes, the list of names for recall were
 7 generated at the direction of Eastern Health."
 8 DR. JENKINS:
 9 A. Right.
 10 COFFEY, Q.C.:
 11 Q. Heather Predham provided a spreadsheet of
 12 names for Western Health and advised names
 13 from the list for recall.
 14 DR. JENKINS:
 15 A. Right.
 16 COFFEY, Q.C.:
 17 Q. "My understanding was names chosen for Western
 18 Health to recall based on ER/PR values. Not
 19 all clients on the spreadsheet list from
 20 Eastern were requested to be called."
 21 DR. JENKINS:
 22 A. Right.
 23 COFFEY, Q.C.:
 24 Q. "My spreadsheet includes 196 clients called in

Page 213

1 December. This number is different from total
2 samples sent from Western to Eastern, as not
3 all were chosen for us to recall. I
4 understood some clients would be handled by
5 Eastern Health. In summary, my spreadsheet
6 indicates the unsuccessful contacts and
7 expired clients. Unsuccessful contacts is 13
8 plus one for February recall, see the
9 spreadsheet for the list, and expired, meaning
10 deceased, is 21.

11 DR. JENKINS:
12 A. Right.

13 COFFEY, Q.C.:
14 Q. See spreadsheet for list. Regards, Bonnie."
15 Doctor, I take it then, Doctor, this, in the
16 middle of July 2007, was arising because of
17 requests from Robert Thompson and his, the
18 people working for him, I take it it would
19 have bene around that time?

20 DR. JENKINS:
21 A. Yeah, there were a number of requests that
22 followed subsequent to the stand up of that
23 came that came, so it perhaps did originate
24 from that.

25 COFFEY, Q.C.:

Page 214

1 Q. Exhibit P-2280, please. Doctor, this is a
2 letter from yourself, copied to Ms. Gillam and
3 Dr. Neil, to Don MacDonald of NLCHI, as it's
4 been referred to.

5 DR. JENKINS:
6 A. Yeah.

7 COFFEY, Q.C.:
8 Q. Re: ER/PR testing and patient notification,
9 Western Health. You write "further to our
10 telephone conversation of July 11th, 2007,
11 please find enclosed the copies of the reports
12 and related documents that you had requested.
13 Our regional director of laboratory services
14 has made contact with Dr. Neil regarding the
15 pathology summary report. The reference to
16 'report' on the table refers to cases where it
17 was uncertain whether tissue blocks needed to
18 be submitted in accordance with the criteria
19 for the review. Tissue samples related to
20 these 'reports' were submitted, if requested
21 by Eastern Health. As well, please note, that
22 there is some variation in the total number of
23 the pathology summary, 249, versus the total
24 number in a final summary, as reflected in the
25 enclosed table dated July 12th, 2007. Actual

Page 215

1 total is 254. All cases are accounted for
2 from a patient contact perspective. Do not
3 hesitate to contact me if you have any
4 questions."

5 DR. JENKINS:
6 A. Um-hm.

7 COFFEY, Q.C.:
8 Q. So I take it, Doctor, this is you're providing
9 then information or data requested by NLCHI?

10 DR. JENKINS:
11 A. Right.

12 COFFEY, Q.C.:
13 Q. For their database.

14 DR. JENKINS:
15 A. Right.

16 COFFEY, Q.C.:
17 Q. Exhibit P-1475. Doctor, I'm going to ask you
18 about this just simply because I use it as an
19 example for the Commissioner.

20 DR. JENKINS:
21 A. Okay.

22 COFFEY, Q.C.:
23 Q. It's an e-mail from yourself of July 27th,
24 2007 to Moira Hennessey and you write "just an
25 update on this file related to an e-mail

Page 216

1 received in the Minister's office in early
2 June. This lady had breast cancer and was
3 wondering why she hadn't been contacted in the
4 ER/PR review process, as she understood her
5 results were negative. On review of her file,
6 we determined that she was, in fact, ER/PR
7 positive and had been started on Tamoxifen. I
8 explained this all to her personally and
9 reassured her that she is on the proper
10 treatment. She has been seen by her
11 oncologist on routine follow up recently and
12 is doing well. She was satisfied with the
13 explanation provided." Signed Ken.

14 DR. JENKINS:
15 A. Um-hm.

16 COFFEY, Q.C.:
17 Q. So Doctor, I take it then, there were times
18 that you had direct contact with patients?

19 DR. JENKINS:
20 A. Yes, there were unique situations where that
21 requirement arose.

22 COFFEY, Q.C.:
23 Q. And you had been contacted by the Minister's
24 office in early June, I take it about a query
25 that they had had from this lady?

Page 217

1 DR. JENKINS:
 2 A. Yes.
 3 COFFEY, Q.C.:
 4 Q. And when you checked, you found that, in fact,
 5 she wasn't retested because she was positive
 6 all along?
 7 DR. JENKINS:
 8 A. Right.
 9 COFFEY, Q.C.:
 10 Q. And was on Tamoxifen all along?
 11 DR. JENKINS:
 12 A. Right.
 13 COFFEY, Q.C.:
 14 Q. Doctor, did that--and you spoke to her,
 15 explained it, and she was satisfied with your
 16 explanation and reassured.
 17 DR. JENKINS:
 18 A. Um-hm.
 19 COFFEY, Q.C.:
 20 Q. Doctor, this is June and July 2007. The fact
 21 that a particular patient did not understand
 22 that, in fact, she was already positive and in
 23 fact was already on Tamoxifen, were you
 24 surprised by that, at that point?
 25 DR. JENKINS:

Page 218

1 A. To a certain degree, because there had been,
 2 you know, certainly a fair amount of media
 3 coverage obviously about ER/PR and you know, I
 4 would have thought that by that time, if
 5 people had sort of issues or concerns, perhaps
 6 they would have heard about it in some way,
 7 shape or form, and if had questions, perhaps
 8 may have approached their care providers to
 9 seek answers to that question. So in some
 10 ways, yes, it was surprising. In other ways,
 11 you know, sometimes people don't have easy
 12 access to public information, depending on
 13 where they live or if they're out of the
 14 province and been out for a while and there
 15 can be circumstances whereby, you know, folks
 16 are just out of touch with what's going on
 17 locally and have to get those questions
 18 answered. So we, you know, expected to find
 19 some unique situations like that.
 20 COFFEY, Q.C.:
 21 Q. And Doctor, the idea then of perhaps
 22 communicating with patients who are positive
 23 all along, like were put in the group that
 24 weren't to be retested, as this woman would
 25 be, at least would belong to that group, was

Page 219

1 any thought given, at any point, to contacting
 2 all of the positive patients in writing?
 3 DR. JENKINS:
 4 A. No, we never really included that as part of
 5 our communication strategy either, in terms of
 6 following up in writing.
 7 COFFEY, Q.C.:
 8 Q. Exhibit P-2775, please. Now Doctor, this
 9 particular version of this e-mail is undated,
 10 but it's an e-mail to yourself. It's a letter
 11 form actually, it's a letter, probably sent in
 12 e-mail format, from Don MacDonald, and he
 13 writes "as you are aware, the Centre for
 14 Health Information is working on behalf of the
 15 Minister of Health to develop a database that
 16 will document events surrounding ER/PR testing
 17 for breast cancer patients from '97 to 2005.
 18 The Western Health Authority recently provided
 19 the Centre with demographic and pathology
 20 results for all patients," and he thanks you
 21 for having done so, saying "it's very
 22 valuable." He then tells you, "we are now
 23 moving to the second phase of the project,
 24 which involves events on how the
 25 retesting/results were communicated to those

Page 220

1 patients who had their ER/PR retested at Mount
 2 Sinai. Specifically, we are asking for the
 3 following:" and there's a list of one to
 4 seven, and they've been asked to compile and
 5 report this information to the Ministry of
 6 Health by September 7th.
 7 Doctor, had Western, in fact, sent all
 8 the pathology reports?
 9 DR. JENKINS:
 10 A. To?
 11 COFFEY, Q.C.:
 12 Q. To NLCHI.
 13 DR. JENKINS:
 14 A. To NLCHI?
 15 COFFEY, Q.C.:
 16 Q. As far as -
 17 DR. JENKINS:
 18 A. Yes, we had. We had submitted a very full and
 19 complete package of reports, which included
 20 pathology reports, to NLCHI.
 21 COFFEY, Q.C.:
 22 Q. Exhibit P-2776? This is e-mails of August
 23 16th, 2007, Doctor. The one at the bottom of
 24 the page here is from yourself to Don
 25 MacDonald and you write, "Hi Don, I've met

Page 221

1 with some members of our team to discuss your
 2 questions, to answer your questions"--and then
 3 he answers them one to seven in the format, in
 4 the order he had set them out. Now, Doctor,
 5 Western then did have, I take it, a database
 6 or at least a listing of data, a database
 7 setting out when people were contacted and for
 8 what purpose.
 9 DR. JENKINS:
 10 A. Yes, that's correct.
 11 COFFEY, Q.C.:
 12 Q. And that's having been made by Ms. Walker?
 13 DR. JENKINS:
 14 A. That's correct.
 15 COFFEY, Q.C.:
 16 Q. Here, Doctor, you've written, paragraph 7,
 17 "Western Health was not asked to take
 18 responsibility for contacting physicians
 19 regarding verification that all of the
 20 treating physicians have reviewed all the
 21 retest results. There was a short list of 32
 22 patients that Eastern Health forwarded to us
 23 in October, 2006. Western Health has made
 24 contact with the treating physicians of eight
 25 of those 32 that were positive converters over

Page 222

1 the past month, and the remaining 24 patients
 2 were negative on retesting. I hope this
 3 answers your questions."
 4 DR. JENKINS:
 5 A. Right.
 6 COFFEY, Q.C.:
 7 Q. So you're being asked and you had been asked
 8 to provide the date of verification by Western
 9 Health, the treating physician review the
 10 retest results with the patient?
 11 DR. JENKINS:
 12 A. Right.
 13 COFFEY, Q.C.:
 14 Q. And that would be the retest results where it
 15 went from negative to positive?
 16 DR. JENKINS:
 17 A. Right.
 18 COFFEY, Q.C.:
 19 Q. Doctor, again I would just use one of these as
 20 an example, exhibit P-2777 please? Doctor,
 21 this is again a handwritten memorandum by
 22 yourself. It's to Marilyn Saunders of the
 23 Cancer Clinic. The patient's name is
 24 redacted. It's ER/PR retesting, August 16th,
 25 '07 and you write, "Hi Marilyn, further to our

Page 223

1 discussion today, I have not yet heard back
 2 from Dr. (blank) office regarding follow up on
 3 Mrs. So and So. Could you please confirm what
 4 the status on her follow up is and let me
 5 know. Thanks for your help. Signed Ken."
 6 Now, Doctor, this is just one I've picked here
 7 and there are others here in the documents
 8 entered before the Commissioner this morning.
 9 Would this be representative of the sort of
 10 contact that you might have from time to time
 11 with--internally within your own organization
 12 and elsewhere, in terms of following up on
 13 particular aspects of the matter?
 14 DR. JENKINS:
 15 A. Yes, there were some specific and unique
 16 circumstances where, you know, I would have
 17 become involved personally and this would be a
 18 representative sample of that and of course,
 19 Marilyn Saunders, as we had mentioned earlier,
 20 one of the senior nurses within the Cancer
 21 Clinic, and so there had been some back and
 22 forth discussions between her and I and
 23 various other people, in terms of some of this
 24 follow up.
 25 COFFEY, Q.C.:

Page 224

1 Q. Exhibit P-2778 please?
 2 DR. JENKINS:
 3 A. Doctor, this is a letter of November 1st, 2007
 4 to Robert Thompson, it's from Ms. Gillam, it's
 5 copied to yourself, suggesting perhaps that
 6 you had a hand in drafting it. You could just
 7 have a look.
 8 DR. JENKINS:
 9 A. Uh-hm.
 10 COFFEY, Q.C.:
 11 Q. I would be right on that, would I? You had
 12 input into this?
 13 DR. JENKINS:
 14 A. This particular one, I believe I did. There
 15 was some periods of time I know when some of
 16 the other staff, you know, were involved
 17 principally with drafting correspondence when
 18 I was away, but I can't recall if that was one
 19 of these particular dates or not. But this
 20 would normally be something I would either be
 21 involved in, either before the fact or after
 22 the fact certainly.
 23 COFFEY, Q.C.:
 24 Q. Doctor, here Ms. Gillam writes, "Mr. Thompson,
 25 this letter is in follow up to your

Page 225

1 correspondence of October 29, 2007 regarding
 2 patients who had original ER/PR results
 3 between 1997 and 2005 in the Western region.
 4 Following the review of case information by
 5 NLCHI, questions arose on a portion of these
 6 cases and were sent to Western Health for
 7 review. The results of the review are
 8 attached in the charts as follows." List one
 9 is a) Western region cases negative ER/PR
 10 results not tested due to patients deceased,
 11 the number is eight.

12 DR. JENKINS:
 13 A. Uh-hm.

14 COFFEY, Q.C.:
 15 Q. And it goes on to list, to various categories
 16 of test results. List two, again has one
 17 category, actually, it's Western Regional
 18 cases be tested at Mount Sinai. Patient
 19 family contact regarding the retest process,
 20 the number is four.

21 DR. JENKINS:
 22 A. Uh-hm.

23 COFFEY, Q.C.:
 24 Q. And then she concludes by saying, "There are a
 25 number of cases for which retesting was not

Page 226

1 complete in 2005, due to patients being
 2 deceased. This was consistent with the
 3 criteria established by Eastern Health for
 4 retesting in 2005. We have briefly discussed
 5 the issue of re-sending the samples for
 6 retesting on October 29, 2007. Please advise
 7 if retesting is required and we will make
 8 arrangements to send the cases as soon as
 9 possible. Please contact Dr. Jenkins if you
 10 require clarification or further information."

11 DR. JENKINS:
 12 A. Uh-hm.

13 COFFEY, Q.C.:
 14 Q. Now, Doctor, and here, a redacted version of
 15 the spreadsheets that accompany this letter -

16 DR. JENKINS:
 17 A. Right.

18 COFFEY, Q.C.:
 19 Q. List one and two.

20 DR. JENKINS:
 21 A. Yes.

22 COFFEY, Q.C.:
 23 Q. Can you tell the Commissioner, please, what
 24 this was about generally?

25 DR. JENKINS:

Page 227

1 A. Well in general, I think this was the process
 2 whereby NLCHI was starting to scrub down the
 3 information that they had and were attempting
 4 to, where they found questions that had arisen
 5 as a result of the review of the database,
 6 they were looking for clarification from the
 7 health authorities, so, you know, we were
 8 doing our bit then to try to clarify on the
 9 specific cases that had come forward through
 10 their request. And there were a number of
 11 occasions when we were asked to relook, rather
 12 through NLCHI or through Mr. Thompson's office
 13 to look at numbers to clarify in the database.

14 THE COMMISSIONER:
 15 Q. Forgive me, but the term "scrub down"?

16 DR. JENKINS:
 17 A. So in terms of trying to provide further
 18 detail to, to provide answers to specific
 19 questions that were posed to us.

20 THE COMMISSIONER:
 21 Q. So when you say they were starting to scrub
 22 down, they were trying to--they were starting
 23 to examine the detail of the information.

24 DR. JENKINS:
 25 A. Perhaps analyze would be a better word,

Page 228

1 Commissioner.

2 THE COMMISSIONER:
 3 Q. Thank you.

4 COFFEY, Q.C.:
 5 Q. And here, Doctor, I'm just looking at list
 6 one, all the patients listed on this first
 7 page of list one, the rationale for retest not
 8 required, it says "did not meet criteria for
 9 retesting in 2005 as patient was deceased."
 10 And it list them all here.

11 DR. JENKINS:
 12 A. Right.

13 COFFEY, Q.C.:
 14 Q. I take it, Doctor, that it was the
 15 understanding of Western Health in 2005 that
 16 at that point the retesting of deceased was
 17 not going to occur at that moment?

18 DR. JENKINS:
 19 A. That's correct, that was the direction we were
 20 given.

21 COFFEY, Q.C.:
 22 Q. And therefore, where it was known, the
 23 deceased's tissue sample were weeded out and
 24 put aside.

25 DR. JENKINS:

Page 229	Page 231
<p>1 A. Correct.</p> <p>2 COFFEY, Q.C.:</p> <p>3 Q. There are a number of others of these, Doctor,</p> <p>4 I'm not going to take you through all of them,</p> <p>5 but at page 5, again on list one, this is</p> <p>6 category C you'll notice, it's bottom two</p> <p>7 refer to "did not meet criteria for retesting,</p> <p>8 original breast lesion in 1996, 2001 sample</p> <p>9 was a pleural biopsy" and then "did not meet</p> <p>10 criteria for retesting. Two biopsies, ER</p> <p>11 positive in 1992 treated with Tamoxifen."</p> <p>12 DR. JENKINS:</p> <p>13 A. Uh-hm.</p> <p>14 COFFEY, Q.C.:</p> <p>15 Q. And then finally, page 6 of the exhibit,</p> <p>16 category D, "rationale for retest not</p> <p>17 required, specimen obtained March 11, 1997.</p> <p>18 The retesting criteria indicated that</p> <p>19 specimens for May 1997 be sent for retesting;</p> <p>20 therefore, this specimen did not meet</p> <p>21 retesting criteria." And then the next one is</p> <p>22 specimen obtained March, 1997. The retesting</p> <p>23 criteria indicated the specimens obtained for</p> <p>24 May, 1997 be sent for retesting; therefore,</p> <p>25 this sample was not submitted for retesting.</p>	<p>1 COFFEY, Q.C.:</p> <p>2 Q. And I say he was told, he was requested by</p> <p>3 Eastern Health, he understood that was the cut</p> <p>4 off.</p> <p>5 DR. JENKINS:</p> <p>6 A. Right.</p> <p>7 COFFEY, Q.C.:</p> <p>8 Q. What was then done in respect of those</p> <p>9 patients, Doctor, and the deceased, for that</p> <p>10 matter?</p> <p>11 DR. JENKINS:</p> <p>12 A. So in those particular cases, the specimen</p> <p>13 between January and May, is your question of</p> <p>14 1997.</p> <p>15 COFFEY, Q.C.:</p> <p>16 Q. Yes.</p> <p>17 DR. JENKINS:</p> <p>18 A. And those samples would have been resubmitted</p> <p>19 for testing through Eastern Health.</p> <p>20 COFFEY, Q.C.:</p> <p>21 Q. What about the deceased, Doctor? What</p> <p>22 happened then with the deceased?</p> <p>23 DR. JENKINS:</p> <p>24 A. There was subsequent retesting, but in terms</p> <p>25 of the context--what's the date on this one</p>
Page 230	Page 232
<p>1 Additionally the original breast tumour was in</p> <p>2 1990, but unable to complete ER/PR due to</p> <p>3 insufficient sample. The 1997 tumour was a</p> <p>4 chest wall tumour."</p> <p>5 DR. JENKINS:</p> <p>6 A. Right.</p> <p>7 COFFEY, Q.C.:</p> <p>8 Q. So, Doctor, I take it then that there was some</p> <p>9 issue arose at this point in 1997, this is</p> <p>10 towards the end of 1997, NLCHI was querying</p> <p>11 why patients who, their ER/PR test would have</p> <p>12 occurred between January and May of 1997?</p> <p>13 DR. JENKINS:</p> <p>14 A. Yes.</p> <p>15 COFFEY, Q.C.:</p> <p>16 Q. And I take it, Dr. Neil, when you made</p> <p>17 inquiries, you found Dr. Neil said, look, I</p> <p>18 was literally told May of 1997.</p> <p>19 DR. JENKINS:</p> <p>20 A. That's correct.</p> <p>21 COFFEY, Q.C.:</p> <p>22 Q. That's what I did.</p> <p>23 DR. JENKINS:</p> <p>24 A. That's correct, and that's how we used that</p> <p>25 cut-off date.</p>	<p>1 again, Mr. Coffey?</p> <p>2 COFFEY, Q.C.:</p> <p>3 Q. This is November 1st, I believe.</p> <p>4 DR. JENKINS:</p> <p>5 A. That's November 1st, is it?</p> <p>6 COFFEY, Q.C.:</p> <p>7 Q. 2007.</p> <p>8 DR. JENKINS:</p> <p>9 A. I think it's subsequent to this particular</p> <p>10 date, but then there was a retesting of</p> <p>11 negatives as well, to the best of my</p> <p>12 recollection.</p> <p>13 COFFEY, Q.C.:</p> <p>14 Q. Of the deceased.</p> <p>15 DR. JENKINS:</p> <p>16 A. I'm sorry, of the deceased.</p> <p>17 COFFEY, Q.C.:</p> <p>18 Q. Deceased negatives.</p> <p>19 DR. JENKINS:</p> <p>20 A. Yes.</p> <p>21 COFFEY, Q.C.:</p> <p>22 Q. If we could look, please, at exhibit P-2779?</p> <p>23 Here, Doctor, this is a series of e-mails,</p> <p>24 November 5th, 2007, the first of them is from</p> <p>25 Hellen Sparkes to yourself, November 5. She</p>

Page 233

1 writes, "Dr. Jenkins, Dr. Neil wasn't sure if
2 you were aware re the number of cases that
3 would need to be reviewed. He notes it would
4 be a monumental task, number of cases is
5 37,000 and he notes this would need to be a
6 manual review."
7 DR. JENKINS:
8 A. Uh-hm.
9 COFFEY, Q.C.:
10 Q. And you go on to say, you responded the same
11 day to her saying, "Yes, I am aware of this
12 from Heidi. I think Monica is aware of the
13 number too." And then there's an exchange
14 about the replies for discovery undertakings.
15 Doctor, was this--did this relate to the ER/PR
16 matter? And I ask you that in the context of
17 discovery undertakings.
18 DR. JENKINS:
19 A. The discovery undertakings.
20 COFFEY, Q.C.:
21 Q. Yes.
22 DR. JENKINS:
23 A. Yes, I believe, Mr. Coffey, it was related -
24 COFFEY, Q.C.:
25 Q. So that discovery undertakings, was that like

Page 234

1 a lawsuit or was that a Commission of Inquiry.
2 DR. JENKINS:
3 A. No, Commission of Inquiry. And we're -
4 COFFEY, Q.C.:
5 Q. That's the way it's just phrased, okay, that's
6 -
7 DR. JENKINS:
8 A. Right, yeah.
9 COFFEY, Q.C.:
10 Q. I just want to be careful about that.
11 DR. JENKINS:
12 A. Okay.
13 COFFEY, Q.C.:
14 Q. And -
15 THE COMMISSIONER:
16 Q. Are you all right with that (phonetic), Mr.
17 Browne.
18 MR. BROWNE:
19 Q. Yes, I think and we discussed the issue with
20 Dr. Neil and I don't think it does--it relates
21 to another matter but we need to clarify that
22 at some point.
23 DR. JENKINS:
24 A. Okay, I could be wrong.
25 COFFEY, Q.C.:

Page 235

1 Q. And -
2 THE COMMISSIONER:
3 Q. So, Mr. Browne, you're raising a question of
4 whether--what this actually relates to?
5 MR. BROWNE:
6 Q. Yes, and it actually may relate to -
7 THE COMMISSIONER:
8 Q. To something entirely different?
9 MR. BROWNE:
10 Q. The legal proceeding unrelated to the
11 Commission of Inquiry.
12 THE COMMISSIONER:
13 Q. Oh, okay.
14 MR. BROWNE:
15 Q. This did come up in Dr. Neil, as you recall
16 and I'll go through this with Mr. Coffey on
17 the break, perhaps.
18 COFFEY, Q.C.:
19 Q. Sure. And Doctor, it's only because the
20 subject matter is referred to as ER/PR.
21 MR. BROWNE:
22 Q. Yes, and I think there was a mix up in terms
23 of, from the administration as to which
24 matter.
25 COFFEY, Q.C.:

Page 236

1 Q. If we could, please, Exhibit P-2782? Doctor,
2 this is an exchange of e-mails November 26th,
3 2007. The first is from Robert Thompson to
4 Susan Gillam and yourself. Mr. Thompson
5 writes, "Based on further discussion with
6 Eastern Health it has been determined that all
7 cases back to January, '97 should be retested
8 rather than back to May, 1997 as you may have
9 previously understood." And he goes on to
10 speak about that and that's something you just
11 discussed with me now.
12 DR. JENKINS:
13 A. Um-hm.
14 COFFEY, Q.C.:
15 Q. And then, Doctor, the same day you responded
16 to Mr. Thompson saying, Hi Robert, I have
17 asked our lab folks to compile the requested
18 info ASAP." So it was then put in the works?
19 DR. JENKINS:
20 A. Right.
21 COFFEY, Q.C.:
22 Q. Has that been done, Doctor, the retests have
23 been performed?
24 DR. JENKINS:
25 A. Has it been done?

Page 237

1 COFFEY, Q.C.:

2 Q. Yes.

3 DR. JENKINS:

4 A. Yes, to the best of my knowledge.

5 COFFEY, Q.C.:

6 Q. And the results, have they been communicated

7 to the patients?

8 DR. JENKINS:

9 A. To the best of my knowledge, Mr. Coffey,

10 that's correct.

11 COFFEY, Q.C.:

12 Q. Exhibit P-2783? And, Doctor, this is a series

13 of e-mails November 27th, 26th, 27th and 18th.

14 I take it, Doctor, I'm just going to--as of

15 the 26th you had written to Dr. Neil saying,

16 "We have some more work to do here. Could you

17 please arrange to have this worked on as soon

18 as possible and brief Susan and I before we

19 submit our follow-up report? Thanks." And

20 then I'm just going to scroll through this,

21 Doctor. November 28th is Hedy Dalton Kenny to

22 yourself re (phonetic) the list of patients

23 for that period, January, '97 to April '97 has

24 been compiled and Dr. Neil had gone through

25 it.

Page 238

1 DR. JENKINS:

2 A. Right.

3 COFFEY, Q.C.:

4 Q. So this is really when it's being done?

5 DR. JENKINS:

6 A. Right.

7 COFFEY, Q.C.:

8 Q. Exhibit P-2785, please? Actually, before I

9 leave it, 2784, please? Page, second page,

10 Doctor, is a letter of November 28th, 2007 to

11 Mr. Dyer from Dr. Neil. I take it this him

12 sending in the ER/PR negative cases for the

13 period in question in 1997. He also, he said,

14 "I've included two patients. Both of them

15 were never done before but should have been."

16 from '97?

17 DR. JENKINS:

18 A. Um-hm.

19 COFFEY, Q.C.:

20 Q. And the other cases which are three cases from

21 January to April.

22 DR. JENKINS:

23 A. Um-hm.

24 COFFEY, Q.C.:

25 Q. So I take it Dr. Neil must have found two

Page 239

1 others in the meantime?

2 DR. JENKINS:

3 A. Yes.

4 COFFEY, Q.C.:

5 Q. From 1997. If we could go back then, please,

6 to 2785? Doctor, this an e-mail of November

7 30th, 2007 to yourself from Pat, Patricia

8 Pilgrim. Its subject is "Communication of

9 Test Results ER/PR." And she advises you

10 she's now coordinating Eastern Health's

11 activities relating to the continuing ER/PR

12 retesting, Commission of Inquiry and class

13 action lawsuit. And she says, "As you are

14 aware, we have recently referred the Mount

15 Sinai some specimens for retesting for

16 patients who are still living, patients who,

17 for whatever reason, were not sent back in

18 2005. Also, Eastern Health has completed the

19 submission of the specimens for all deceased

20 patients who originally tested negative for

21 the prescribed testing period, 1997 through

22 2005. The results of the retests are now

23 being received within Eastern Health and the

24 patients or the next of kin, in the case of

25 the deceased, will now have to be contacted.

Page 240

1 I need to ensure that we have agreement of the

2 process of communication for this. Eastern

3 Health is proposing the following process."

4 And she sets out a process.

5 DR. JENKINS:

6 A. Um-hm.

7 COFFEY, Q.C.:

8 Q. One is for the living patients whose results

9 have not changed and there's two for the

10 living patients whose results have changed.

11 Three, for deceased patients within the

12 Eastern Health region for those who have not

13 changed, those whose results changed. And

14 then finally, for deceased patients from other

15 regions. Doctor, the time you received this

16 what was Western's view of the proposal by Ms.

17 Pilgrim?

18 DR. JENKINS:

19 A. Well, I mean, at the time there were some

20 discussions that were held between Ms.

21 Pilgrim's office and ourselves and colleagues

22 from Central Region, as well. You know, I

23 think we felt at the time that we, you know,

24 we particularly were prepared to help out

25 where we could. We thought, you know, the

Page 241

1 notification of the negatives would be
 2 appropriate for us. And then we had some
 3 discussion around how we would, you know, deal
 4 with the rest of them, specifically the
 5 positives.
 6 THE COMMISSIONER:
 7 Q. Wait now, this is November 30th, 2007.
 8 DR. JENKINS:
 9 A. Um-hm.
 10 THE COMMISSIONER:
 11 Q. So in terms of the total number of persons you
 12 would have had to contact, what would come
 13 after November 30th, 2007 as opposed to
 14 before?
 15 DR. JENKINS:
 16 A. Okay. My understanding is the deceased
 17 negatives, I think, is the ones that I'm
 18 referring to here.
 19 THE COMMISSIONER:
 20 Q. But the process includes living patients whose
 21 results have not changed, living patients
 22 whose results have changed, etcetera.
 23 DR. JENKINS:
 24 A. Right.
 25 THE COMMISSIONER:

Page 242

1 Q. Wouldn't they have been contacted by you?
 2 There might have been the occasional person
 3 who was missed, but -
 4 DR. JENKINS:
 5 A. Right.
 6 THE COMMISSIONER:
 7 Q. Wouldn't have all the contacts essentially for
 8 those you would have identified been done by
 9 then?
 10 DR. JENKINS:
 11 A. Previously, yes.
 12 THE COMMISSIONER:
 13 Q. Yeah, okay.
 14 COFFEY, Q.C.:
 15 Q. Was there ever any effort to recontact
 16 everybody again?
 17 DR. JENKINS:
 18 A. No, not to the best of my knowledge.
 19 THE COMMISSIONER:
 20 Q. So you saw this communique as really applying
 21 to contact with--in respect of the deceased
 22 patients?
 23 DR. JENKINS:
 24 A. Yes, in particular.
 25 COFFEY, Q.C.:

Page 243

1 Q. Exhibit P-2786, please? Doctor, these are
 2 your handwritten notes of a telephone
 3 conversation you had with Patricia Pilgrim on
 4 February 13, 2008?
 5 DR. JENKINS:
 6 A. Right.
 7 COFFEY, Q.C.:
 8 Q. The subject is "Communication to Deceased Next
 9 of Kin."
 10 DR. JENKINS:
 11 A. Um-hm.
 12 COFFEY, Q.C.:
 13 Q. And here it says, "Process proposed by Eastern
 14 has changed. Unable to find an oncologist to
 15 support the process. NLCHI is finishing their
 16 database. Government is about to release
 17 details. Minister of health will have a press
 18 conference. Comment will be made that
 19 families can get info by contacting a phone
 20 number. Other boards agreed to one number
 21 which will be Sharon Smith's office. She will
 22 direct to other boards. Kara Laing has
 23 developed a Q and A," question and answer.
 24 "Sharon will provide results and offer a Q and
 25 A sheet. Will suggest follow-up with family

Page 244

1 doctor or appropriate oncologist. Sharon will
 2 not give results for other regions." And
 3 "Quality people will be talking in other
 4 regions. Release not this week. More detail
 5 coming next few days. One contact number for
 6 each region. Late next week is anticipated
 7 release."
 8 DR. JENKINS:
 9 A. Um-hm.
 10 COFFEY, Q.C.:
 11 Q. So, Doctor, the reference to "Process proposed
 12 by Eastern has changed. Unable to find an
 13 oncologist to support the process." what did
 14 that relate to?
 15 DR. JENKINS:
 16 A. There was some discussion regarding, you know,
 17 attempts to have subject matter expertise from
 18 a clinical perspective engage in, you know,
 19 advise in notification to patients and
 20 families, and I think there was difficulty
 21 with obtaining that advice in support of the
 22 Eastern Health administration in conducting
 23 this particular exercise. So that's my
 24 recollection of what that comment was
 25 referring to, specifically.

Page 245

1 COFFEY, Q.C.:

2 Q. I take it that they couldn't find an

3 oncologist who would become involved -

4 DR. JENKINS:

5 A. Participate in the process, yeah.

6 COFFEY, Q.C.:

7 Q. Exhibit P-2296, please? Now, Doctor, there's

8 two e-mails here of May 6th, 2008 and there's

9 a memorandum attached, it's to surgeons in the

10 OR, to yourself and Dr. E. Mercer, Chief of

11 Diagnostic Imaging from Dr. Paul Neil, May 5,

12 2008. Said, "It's my understanding that

13 breast surgery was not performed in this or

14 any other institution of Western Health on

15 Fridays. However, it has come to my attention

16 on Monday, May 5th that this is, indeed, not

17 the case." He underlines "not". "It is

18 imperative" he's underlined the word

19 "imperative", "that pathologists receive all,"

20 in caps, "breast specimens removed from

21 malignancy in a timely manner in order to

22 process properly for ER/PR analysis. No cases

23 should be done on a Friday afternoon as they

24 cannot be dealt with properly. In addition,

25 all cases should be scheduled early in the

Page 246

1 morning in order for the specimen to reach our

2 lab in a timely manner. Surgery should be

3 done Monday through Wednesday. This is to

4 facilitate proper fixation for ER/PR testing.

5 For needle core biopsies all samples should be

6 sent from Monday through Thursday. None

7 should be done on Friday." That takes or

8 suggests, I'm going to suggest to you, Doctor,

9 a certain firmness of tone?

10 DR. JENKINS:

11 A. Um-hm.

12 COFFEY, Q.C.:

13 Q. By Dr. Neil. Did you discuss this with Dr.

14 Neil at the time?

15 DR. JENKINS:

16 A. We had a number of discussions about this,

17 including at our Regional Medical Advisory

18 Committee level. And I mean, Dr. Neil had--

19 was very clear in his communications with

20 myself and with colleagues that, you know,

21 there were important processing issues at play

22 here and that there needed to be a respective

23 time line for submission for the samples in

24 order to meet the standards that had been set.

25 COFFEY, Q.C.:

Page 247

1 Q. And if we look here at the first page of the

2 exhibit, on May 6th Dr. Neil has sent this to

3 a lady named Jeanette asking Sharon to

4 distribute this memo to the appropriate people

5 because he didn't know who to send it to in

6 the OR.

7 DR. JENKINS:

8 A. Um-hm.

9 COFFEY, Q.C.:

10 Q. Doctor, what, if anything, had been done in

11 relation to addressing this subject matter

12 before May 5th, 2008?

13 DR. JENKINS:

14 A. I know Dr. Neil had had some direct

15 communications with some of his surgical

16 colleagues. I'm not sure if that predated the

17 5th of May or not, but I know he did approach

18 individuals to say that this was an issue and

19 a concern, and that, you know, there needed to

20 be some arrangements made to ensure that the

21 timelines would be respected, but again I'm

22 not entirely certain if that was predating the

23 May 5th date or not.

24 COFFEY, Q.C.:

25 Q. Doctor, to your knowledge, was there anything

Page 248

1 kind of like this in writing?

2 DR. JENKINS:

3 A. Not that I can recall. I think this was the

4 first sort of major -

5 COFFEY, Q.C.:

6 Q. A formal memo.

7 DR. JENKINS:

8 A. Formal correspondence, yes.

9 COFFEY, Q.C.:

10 Q. Now the idea that there might be concerns

11 about fixation, fixation protocols, I'm going

12 to suggest to you that that first arose back

13 in May of 2007.

14 DR. JENKINS:

15 A. Uh-hm.

16 COFFEY, Q.C.:

17 Q. You would have become aware of it probably

18 back then with Dr. Denic?

19 DR. JENKINS:

20 A. Dr. Denic--Dr. Denic had certainly raised this

21 issue to the pathologists, and, you know, in

22 terms of the requirement for fixation for a

23 certain period of time.

24 COFFEY, Q.C.:

25 Q. Doctor, this matter of--the idea or the notion

Page 249	Page 251
<p>1 of a physician or somebody being able to tell</p> <p>2 people within a hospital, if you're going to</p> <p>3 do surgery of a particular type, you are to go</p> <p>4 it on these days, and if possible at all, on</p> <p>5 particular times of the day -</p> <p>6 DR. JENKINS:</p> <p>7 A. Uh-hm.</p> <p>8 COFFEY, Q.C.:</p> <p>9 Q. Who has that sort of authority within Western?</p> <p>10 DR. JENKINS:</p> <p>11 A. Well, it would be at a number of levels, and</p> <p>12 certainly Dr. Neil in his own role as Chief of</p> <p>13 Pathology would have ever ability and</p> <p>14 opportunity to be able to speak to his</p> <p>15 colleagues in surgery through the discipline</p> <p>16 chief there or with contact with individual</p> <p>17 surgeons and certainly at a more regional</p> <p>18 level, we would deal with it through my</p> <p>19 office, and he would also have opportunity to</p> <p>20 deal with it directly at our other hospital in</p> <p>21 Stephenville where surgeries are done. So</p> <p>22 there's a couple of different avenues by which</p> <p>23 we could certain spread that message, and</p> <p>24 through my office, through his office, and</p> <p>25 through our Regional Medical Advisory</p>	<p>1 A. Grabka.</p> <p>2 COFFEY, Q.C.:</p> <p>3 Q. Grabka?</p> <p>4 DR. JENKINS:</p> <p>5 A. Uh-hm.</p> <p>6 COFFEY, Q.C.:</p> <p>7 Q. And I take it as these are your notes involved</p> <p>8 yourself as well?</p> <p>9 DR. JENKINS:</p> <p>10 A. Uh-hm.</p> <p>11 COFFEY, Q.C.:</p> <p>12 Q. For ER/PR.</p> <p>13 DR. JENKINS:</p> <p>14 A. Indeed.</p> <p>15 COFFEY, Q.C.:</p> <p>16 Q. And then there's 2003 peer review report, "Is</p> <p>17 there a copy". What's that about, is that Dr.</p> <p>18 Ejeckam's -</p> <p>19 DR. JENKINS:</p> <p>20 A. Yes, that's correct, that's what it's</p> <p>21 referring to.</p> <p>22 COFFEY, Q.C.:</p> <p>23 Q. So up to that point in time at least, you</p> <p>24 hadn't readily been able to lay your hands on</p> <p>25 a copy?</p>
<p>Page 250</p> <p>1 Committee, and our local medical advisory</p> <p>2 committees as well. Those would be the</p> <p>3 structures we would rely on.</p> <p>4 COFFEY, Q.C.:</p> <p>5 Q. What about in terms of, though--it's one thing</p> <p>6 to discuss it with somebody and perhaps</p> <p>7 sometimes it's something different to tell</p> <p>8 them to do it, to order them to do it.</p> <p>9 DR. JENKINS:</p> <p>10 A. Sure.</p> <p>11 COFFEY, Q.C.:</p> <p>12 Q. Who would have that sort of ability within</p> <p>13 your institution?</p> <p>14 DR. JENKINS:</p> <p>15 A. In terms of responsibility, it would be myself</p> <p>16 from a medical services perspective in terms</p> <p>17 of somebody having overall authority and</p> <p>18 responsibility, excuse me, for passing on</p> <p>19 those types of policy directions.</p> <p>20 COFFEY, Q.C.:</p> <p>21 Q. Exhibit P-2809, please. Doctor, this is a</p> <p>22 meeting of July 2nd, 2008. It says, "Meeting</p> <p>23 with CEO, Lisa Hoddinott, Dr. Neil, Hedy</p> <p>24 Dalton Kenny, and Jeanette -</p> <p>25 DR. JENKINS:</p>	<p>Page 252</p> <p>1 DR. JENKINS:</p> <p>2 A. No. That was more of a question, did we have</p> <p>3 a hard copy in our files is really what that</p> <p>4 note was about.</p> <p>5 COFFEY, Q.C.:</p> <p>6 Q. And then there's issues listed. One, "PH</p> <p>7 testing on formalin not done when opened". So</p> <p>8 I take it you had ascertained that that up to</p> <p>9 that point in time had not been done?</p> <p>10 DR. JENKINS:</p> <p>11 A. That's what was being reported to me at that</p> <p>12 meeting.</p> <p>13 COFFEY, Q.C.:</p> <p>14 Q. Number two, "Not sure if OR fridge temperature</p> <p>15 is checked on a regular basis. Three, that pH</p> <p>16 of formalin is checked about once per month</p> <p>17 for recycled formalin, and four, pH formalin</p> <p>18 needs to be documented when checked on each</p> <p>19 run".</p> <p>20 DR. JENKINS:</p> <p>21 A. Uh-hm.</p> <p>22 COFFEY, Q.C.:</p> <p>23 Q. So I take it you were being given at this</p> <p>24 point an update by Dr. Neil?</p> <p>25 DR. JENKINS:</p>

Page 253

1 A. And the lab managers and leaders, yes, that's
2 correct.

3 COFFEY, Q.C.:

4 Q. And who are the lab managers and leaders here?

5 DR. JENKINS:

6 A. Okay, so Hedy Dalton Kenny is our Regional
7 Director for Laboratory Services, and Jeanette
8 Grabka is one of her two assistant managers.

9 COFFEY, Q.C.:

10 Q. And then there's--you refer to
11 textbook/internet/resource materials. "Hedy
12 and Jeanette feel that these are adequate" by
13 that point.

14 DR. JENKINS:

15 A. Uh-hm.

16 COFFEY, Q.C.:

17 Q. Another point, "Policies and procedures manual
18 is outdated and needs development in some
19 areas of histology. That applies to both
20 technologists and pathologists".

21 DR. JENKINS:

22 A. Uh-hm.

23 COFFEY, Q.C.:

24 Q. So this is what was being reported to you at
25 that time?

Page 254

1 DR. JENKINS:

2 A. At that time.

3 COFFEY, Q.C.:

4 Q. Had you known that before this?

5 DR. JENKINS:

6 A. Not--not to that extent. I was aware that
7 there was a general updating of policies and
8 procedures that was required throughout
9 laboratory services program, but specific to
10 histology--but I wasn't surprised because I
11 knew we had challenges in policy and procedure
12 throughout the lab.

13 COFFEY, Q.C.:

14 Q. When did you become aware of that, Doctor?

15 DR. JENKINS:

16 A. That would have been apparent in terms of our
17 accreditation process that we had engaged in
18 in the prior fall. So the fall of 2007 when
19 we're engaged in the accreditation process.

20 COFFEY, Q.C.:

21 Q. And had that come to your attention at any
22 time before that?

23 DR. JENKINS:

24 A. In a formal way?

25 COFFEY, Q.C.:

Page 255

1 Q. Yes.

2 DR. JENKINS:

3 A. Not that I can recall in a formal way.

4 COFFEY, Q.C.:

5 Q. How about in an informal way?

6 DR. JENKINS:

7 A. We may have had some discussions. I'm not
8 recalling anything that particularly stands
9 out in my mind that, you know, sinks home as a
10 real important variable there.

11 COFFEY, Q.C.:

12 Q. What happened then in the fall of 2007, what
13 was--hospital accreditation, I take it?

14 DR. JENKINS:

15 A. Yes.

16 COFFEY, Q.C.:

17 Q. What was different--was there anything
18 different about that in relation to the
19 laboratory compared to earlier accreditation?

20 DR. JENKINS:

21 A. Well, we actually haven't been participating
22 in specific laboratory accreditation process
23 at this particular point in time, but we did -
24 I did ask my regional director, in fact, to
25 start to get ready to participate in that

Page 256

1 process, and she actually made a visit to
2 Eastern Health to look at what they were doing
3 because they were engaging in an accreditation
4 process for--or looking at an accreditation
5 process for their lab. So we wanted to try to
6 get on top of that, get ourselves ready for
7 what was--what is to come from this particular
8 inquiry, and to pick up the standard, so to
9 speak, from an accreditation and quality
10 assurance perspective. So that's when these
11 kinds of things start to become more obvious
12 to us.

13 COFFEY, Q.C.:

14 Q. And you've written here, "CAP for histology
15 not started yet, can start soon". What's CAP
16 here?

17 DR. JENKINS:

18 A. I'm just trying to remember what CAP is, what
19 that acronym was for.

20 COFFEY, Q.C.:

21 Q. There's a College of American Pathologists and
22 there's a Canadian Association of
23 Pathologists?

24 DR. JENKINS:

25 A. Yeah.

Page 257

1 COFFEY, Q.C.:

2 Q. We've heard -

3 DR. JENKINS:

4 A. I can't recall, Mr. Coffey, what the context

5 was for that acronym.

6 COFFEY, Q.C.:

7 Q. And I'm assuming that that is a "C".

8 DR. JENKINS:

9 A. That is a "C", it's CAP.

10 COFFEY, Q.C.:

11 Q. And then there's pathologist QA, quality

12 assurance.

13 DR. JENKINS:

14 A. Uh-hm.

15 COFFEY, Q.C.:

16 Q. "For small samples, example, core biopsies, a

17 review is done by another pathologist and is

18 documented in Meditech".

19 DR. JENKINS:

20 A. Uh-hm.

21 COFFEY, Q.C.:

22 Q. So I take it that was Dr. Neil advising you -

23 DR. JENKINS:

24 A. Yes.

25 COFFEY, Q.C.:

Page 258

1 Q. That they were checking each other's work?

2 DR. JENKINS:

3 A. Right.

4 COFFEY, Q.C.:

5 Q. Small samples.

6 DR. JENKINS:

7 A. Right.

8 COFFEY, Q.C.:

9 Q. And then consider "best practice", external

10 site visit, Jeanette and pathologist.

11 DR. JENKINS:

12 A. Right.

13 COFFEY, Q.C.:

14 Q. What was that about, Doctor?

15 DR. JENKINS:

16 A. So what we talked about there was the

17 possibility of our assistant manager who had

18 primary responsibility for the pathology

19 department and histology to--and one of our

20 pathologists to basically go to some places

21 where it was felt the best practice was being

22 used from a laboratory pathology perspective

23 to look at their operations, how they're

24 conducting their business, particularly from a

25 QA perspective, and bring whatever learnings

Page 259

1 that they could back to our organization to

2 consider implementing some of those measures.

3 COFFEY, Q.C.:

4 Q. And has anything further been done in that

5 regard?

6 DR. JENKINS:

7 A. Not yet, and we have had--Jeanette Grabka, as

8 referred to here, has just recently been

9 attending an international conference in

10 Pittsburg where is bringing together

11 networking technologists and subject matter

12 experts in histology. So that is one of the

13 steps that we've decided to take, but we

14 haven't conducted any of the external site

15 visits yet.

16 COFFEY, Q.C.:

17 Q. And finally a note here, Doctor, "Consider

18 using lab accreditation framework to help

19 conduct an internal review".

20 DR. JENKINS:

21 A. Right.

22 COFFEY, Q.C.:

23 Q. What was that about, Doctor?

24 DR. JENKINS:

25 A. So that this would be similar to what Eastern

Page 260

1 Health had begun to explore, which would be

2 through an appropriate agency to look at what

3 measures we could implement then in terms of

4 establishing for ourselves a QA process, and,

5 in particular, getting ourselves ready for lab

6 accreditation, as we anticipated that would be

7 a mandatory requirement down the road in

8 future surveys by Accreditation Canada.

9 COFFEY, Q.C.:

10 Q. Exhibit P-2813, please. Doctor, in the main

11 e-mail of August 15th, 2008, from Donna Brewer

12 to a number of individuals, primarily CEOs of

13 the health authorities and she says, "Further

14 to my previous e-mail, here is the

15 correspondence for CEOs being forward on

16 behalf of Robert Thompson", and he addresses

17 it to CEOs and he says, "I would like to

18 discuss the following matter with you during

19 your meeting on Monday, August 18th" and then

20 he talks about the fact that, "Since mid

21 March, 11 new ER/PR patients have come to

22 light that should have been retested in

23 2005/2006. Eight of these patients were

24 discovered through calls from the patients or

25 their families and three were discovered

Page 261

1 through further file searches in Central
 2 Health".
 3 DR. JENKINS:
 4 A. Uh-hm.
 5 COFFEY, Q.C.:
 6 Q. And he goes on to talk about it, and then he
 7 states, "New search strategies have been
 8 examined by NLCHI on the Meditech System in
 9 Eastern. A preliminary test for one year
 10 showed that the strategy was broad enough to
 11 include the newly identified case, but it
 12 would still require significant effort to
 13 review pathology reports to determine if
 14 additional cases existed. To expand this
 15 process province-wide, we propose the
 16 following three step approach", and there are
 17 steps one, two, and three. Okay.
 18 DR. JENKINS:
 19 A. Uh-hm.
 20 COFFEY, Q.C.:
 21 Q. Now, Doctor, with that in mind, I'm going to
 22 ask, Registrar, please, to open Exhibit P-
 23 2814. Look at page two. Are they your notes,
 24 Doctor?
 25 DR. JENKINS:

Page 262

1 A. They are indeed.
 2 COFFEY, Q.C.:
 3 Q. And it's for teleconference of August 18th,
 4 2008, involving Mr. Thompson, CEOs, ADMS, VP
 5 Medical Services, re; ER/PR follow-up, and
 6 you've written, "Robert offered to cover any
 7 overtime costs related to further searching.
 8 Briefing note likely to be tabled as evidence
 9 at the Commission of Inquiry. Wants to get
 10 alternate search strategy off the ground.
 11 Karen responded". Who's Karen?
 12 DR. JENKINS:
 13 A. This would be Karen McGrath, the CEO in
 14 Central Health.
 15 COFFEY, Q.C.:
 16 Q. "Karen responded on behalf of the three CEOs
 17 external to Eastern and indicated disagreement
 18 with the need for search, and indicated
 19 government should direct and conduct the
 20 review if deemed necessary. Robert asked for
 21 assurances that we would provide access to the
 22 lab leaders, IT, Director of Pathology, if
 23 government proceeds. Further telephone call
 24 to follow-up the -
 25 DR. JENKINS:

Page 263

1 A. Discussion with -
 2 COFFEY, Q.C.:
 3 Q. "Discussion with the directors of pathology".
 4 Doctor, what was this about and what's
 5 happened with it since?
 6 DR. JENKINS:
 7 A. There was a particular effort and this
 8 involved--there was some discussions that
 9 happened at the CEOs table and also involved
 10 the medical directors, as you can see here,
 11 and I think there was an indication that there
 12 was a need or a desire that Mr. Thompson was
 13 expressing to go back and do this further
 14 review, and he was looking for, I guess, the
 15 health authorities to engage in that, but I
 16 think at the time the CEOs felt that it should
 17 be really directed by government and followed
 18 through on if it was felt to be appropriate.
 19 So that's my basic understanding of what that
 20 discussion was about.
 21 COFFEY, Q.C.:
 22 Q. And I take it that it had arisen because since
 23 March of 2008, 10 or 11 people, certainly 10,
 24 anyway, had--not all of the 10, but a number
 25 of them had self-identified, as it were?

Page 264

1 DR. JENKINS:
 2 A. Right.
 3 COFFEY, Q.C.:
 4 Q. And it was ascertained that they'd been
 5 missed?
 6 DR. JENKINS:
 7 A. Right.
 8 COFFEY, Q.C.:
 9 Q. What is the current status of that, do you
 10 know, Doctor?
 11 DR. JENKINS:
 12 A. In terms of the search strategies, we're
 13 actually still engaging--we're trying to sort
 14 out a date with NLCHI to have that discussion.
 15 We actually haven't organized our
 16 teleconference with them yet. So that
 17 particular piece is pending, Mr. Coffey.
 18 COFFEY, Q.C.:
 19 Q. Thank you.
 20 THE COMMISSIONER:
 21 Q. Those are your questions?
 22 COFFEY, Q.C.:
 23 Q. No, Doctor, I will ask one final one. Is
 24 there anything that we haven't covered, Doctor
 25 --you'd be familiar with the Commissioner's

Page 265	Page 267
<p>1 mandate.</p> <p>2 DR. JENKINS:</p> <p>3 A. uh-hm.</p> <p>4 COFFEY, Q.C.:</p> <p>5 Q. Is there anything we haven't covered that you</p> <p>6 think she should know, from your perspective?</p> <p>7 DR. JENKINS:</p> <p>8 A. I have a general statement which I think Mr.</p> <p>9 Eaton would -</p> <p>10 COFFEY, Q.C.:</p> <p>11 Q. Yes, at the very end.</p> <p>12 DR. JENKINS:</p> <p>13 A. Well, at the end. Other than that, no,</p> <p>14 nothing else, in particular, Mr. Coffey, thank</p> <p>15 you.</p> <p>16 COFFEY, Q.C.:</p> <p>17 Q. Thank you, Doctor. Thank you, Commissioner.</p> <p>18 THE COMMISSIONER:</p> <p>19 Q. Mr. Pritchard?</p> <p>20 MR. PRITCHARD:</p> <p>21 Q. Thank you, Commissioner. No questions for</p> <p>22 this witness. Thank you for your evidence.</p> <p>23 THE COMMISSIONER:</p> <p>24 Q. Mr. Simmons?</p> <p>25 MR. SIMMONS:</p>	<p>1 the need for pathology generally in the</p> <p>2 regional systems, I guess, or the regional</p> <p>3 health authorities. We've heard a fair bit of</p> <p>4 evidence to date about very specialized areas</p> <p>5 of pathology, but nobody has spoken or</p> <p>6 indicated about the need for pathology within</p> <p>7 the regional health authorities.</p> <p>8 DR. JENKINS:</p> <p>9 A. Right.</p> <p>10 EATON, Q.C.:</p> <p>11 Q. Can you comment on that?</p> <p>12 DR. JENKINS:</p> <p>13 A. Sure.</p> <p>14 EATON, Q.C.:</p> <p>15 Q. Perhaps give the Commissioner some idea of how</p> <p>16 it works on the regional basis, just in a</p> <p>17 general way.</p> <p>18 DR. JENKINS:</p> <p>19 A. Sure. So in terms of looking at our, you know</p> <p>20 major health centres in the Western region</p> <p>21 which would be located in Corner Brook and</p> <p>22 Stephenville where our two hospitals are</p> <p>23 located, any time there's a provision of</p> <p>24 specialty service and particularly for</p> <p>25 surgical programs, but also in some other</p>
<p>Page 266</p> <p>1 Q. I have no questions.</p> <p>2 THE COMMISSIONER:</p> <p>3 Q. Mr. Browne.</p> <p>4 MR. BROWNE:</p> <p>5 Q. No questions for Dr. Jenkins.</p> <p>6 THE COMMISSIONER:</p> <p>7 Q. Ms. Newbury.</p> <p>8 MS. NEWBURY:</p> <p>9 Q. No questions.</p> <p>10 THE COMMISSIONER:</p> <p>11 Q. Ms. Brocklehurst.</p> <p>12 MS. BROCKLEHURST:</p> <p>13 Q. No questions.</p> <p>14 THE COMMISSIONER:</p> <p>15 Q. Mr. Pike?</p> <p>16 MR. PIKE:</p> <p>17 Q. No, thank you.</p> <p>18 THE COMMISSIONER:</p> <p>19 Q. You hold the record. Mr. Eaton? I don't</p> <p>20 think it's about this. Mr. Browne has already</p> <p>21 indicated that he has no questions.</p> <p>22 MR. KENNETH JENKINS, EXAMINATION BY EATON, Q.C.:</p> <p>23 Q. Just one area to touch on generally, Dr.</p> <p>24 Jenkins, and that is something that really</p> <p>25 hasn't come up specifically yet, and that is</p>	<p>Page 268</p> <p>1 areas, you know, pathology--excuse me,</p> <p>2 dermatology would be one that comes to mind.</p> <p>3 You know, there's a fair amount of demand for</p> <p>4 general pathology service, in particular, and</p> <p>5 there's a need to have ready access and</p> <p>6 availability between colleagues, you know, to</p> <p>7 be able to deal with samples that may need</p> <p>8 some immediate attention and for colleagues to</p> <p>9 converse directly on aspects of patient care.</p> <p>10 So certainly it's very important, from our</p> <p>11 perspective, that we do have access to general</p> <p>12 pathology supports, and I think you would find</p> <p>13 that in secondary centres, which basically</p> <p>14 everything outside of St. John's in hospitals</p> <p>15 is considered a secondary centre, for the most</p> <p>16 part. Yeah, there certainly is a need to</p> <p>17 provide some of those types of services,</p> <p>18 particularly in support of the surgical</p> <p>19 program that I've mentioned, particularly</p> <p>20 significant.</p> <p>21 EATON, Q.C.:</p> <p>22 Q. What's your knowledge generally about the</p> <p>23 level of communication back and forth between</p> <p>24 the pathologists and the surgeons or the other</p> <p>25 physicians in Western Regional, in particular?</p>

Page 269

1 DR. JENKINS:
 2 A. I think it's fairly open and fairly good. We
 3 are a small region. Most people know each
 4 other fairly well, and I think folks feel that
 5 if they need to, whether it's Dr. Neil or his
 6 pathologists have a need to talk the
 7 colleagues or vice versa, that that kind of
 8 open discussion will occur. We have
 9 opportunities through our medical advisory
 10 committee structure as well where, you know,
 11 leaders in those various disciplines can pose
 12 questions to each other and whereby exchange
 13 information as well. So for us, it's a really
 14 valuable and very important part of how we do
 15 our business, very much so.
 16 EATON, Q.C.:
 17 Q. Okay, and I know that you have come prepared.
 18 There are some things that you would like to
 19 address to the Commissioner before you finish.
 20 DR. JENKINS:
 21 A. Sure. A few things I'd just like to add on
 22 behalf of Western Health. Certainly, first of
 23 all, we would join in extending our regrets
 24 for any hardship experienced by our patients,
 25 families, significant others, staff, managers,

Page 270

1 and physicians, that are a result of these
 2 circumstances. We are very committed to
 3 taking appropriate action as the results and
 4 recommendations of this inquiry come forth.
 5 We really feel very importantly that
 6 utilization of electronic health records is
 7 very essential to tracking and managing the
 8 large amounts of patient information that are
 9 out there in the health system, and we do feel
 10 that investments are required in health
 11 information technology infrastructure and
 12 staff in order to manage such a system. We do
 13 value the relationship that we have with
 14 Eastern Health and we're certainly very
 15 committed to working with all our partners to
 16 improve the laboratory system. We do feel
 17 there's a greater participation in quality
 18 assurance activities. That is essential in
 19 order for us to ensure safe and quality
 20 service for our patients, our clients, and our
 21 residents, and specifically Western Health
 22 commits to participation in accreditation of
 23 its laboratory services. We acknowledge
 24 recent investments made in laboratory
 25 services, staffing, and equipment by the

Page 271

1 Department of Health and Community Services,
 2 and we certainly will continue to work with
 3 the department for further investment in that
 4 area. We feel transparency and timeliness in
 5 communications is essential to maintaining
 6 public trust. We should continue to be open
 7 and honest, be prepared to acknowledge when
 8 adverse events occur, and be prepared to
 9 respond accordingly, and Western Health is
 10 committed to these principles. The
 11 Newfoundland and Labrador health system must
 12 have a critical look at how and where the more
 13 sophisticated aspects of its services are
 14 delivered, and as a system, we must be able to
 15 ensure that we can deliver quality service to
 16 the people of Newfoundland and Labrador, and
 17 if reasonable assurances for quality and
 18 safety cannot be confirmed, look for other
 19 means of delivering that service. Those are
 20 my comments, Commissioner.
 21 THE COMMISSIONER:
 22 Q. Thank you. Anything arising?
 23 COFFEY, Q.C.:
 24 Q. No, Commissioner.
 25 THE COMMISSIONER:

Page 272

1 Q. Thank you, Mr. Coffey. Do you have anything
 2 to say regarding the matter of participation
 3 within your organization in the ER/PR process,
 4 or are you content with a system, whether it
 5 be with Eastern Health or with some other
 6 organization where essentially the blocks are
 7 shipped out of your hospital to another place
 8 for processing and reading?
 9 DR. JENKINS:
 10 A. Uh-hm. Well, I think what we would need to
 11 conclude at the end of the day once, I guess
 12 the results and determinations are in, is
 13 what's best for the patient. I think that's
 14 what we have to keep our mind to. So if there
 15 are issues around, for example, maintenance of
 16 competency for pathologists, if there's a
 17 determination that a pathologist needs to be
 18 able to read a certain number, for examples,
 19 of specimens in an particular given year, we'd
 20 have to consider that. You know, I think we
 21 heard from Dr. Neil in his testimony that
 22 there will be a limited number of such
 23 specimens and slides that may have to be
 24 interpreted by pathologists in our region. So
 25 I think we have to rely upon, you know, the

Page 273

1 expert advice that we're given in that regard,
 2 for example, to make decisions and provide
 3 comment upon whether it's best, you know, for
 4 processing and interpretation, or
 5 interpretation specifically, to occur in our
 6 region and whether--you know, the whole
 7 processing piece as well, how that impacts.
 8 It's very important that obviously--and we've
 9 heard throughout this Commission of Inquiry
 10 that the steps that are involved in testing,
 11 whether it's current automated technology or
 12 whatever may come in the future, that there's
 13 a very significant degree of importance on how
 14 things occur, and that will be very relevant
 15 to all of our laboratory operations whatever
 16 we do. So I think it will be important and
 17 critical for us to understand as we move
 18 forward that we need to be able to put all
 19 those pieces into place in order to ensure
 20 safe and quality service to our patients, and
 21 that would be the ultimate test for us.
 22 THE COMMISSIONER:
 23 Q. Thank you. Thank you very much for assisting
 24 us.
 25 DR. JENKINS:

Page 274

1 A. You're welcome.
 2 THE COMMISSIONER:
 3 Q. We do appreciate you coming.
 4 DR. JENKINS:
 5 A. Thank you for the opportunity to be here.
 6 THE COMMISSIONER:
 7 Q. I suggest we take the afternoon break and then
 8 we'll continue with the next witness.
 9 (BREAK)
 10 THE COMMISSIONER:
 11 Q. Please be seated. Mr. Coffey.
 12 COFFEY, Q.C.:
 13 Q. Dr. Lawrence Alteen, please, Commissioner.
 14 DR. LAWRENCE ALTEEN (SWORN) EXAMINATION BY BERNARD
 15 COFFEY, Q.C.
 16 REGISTRAR:
 17 Q. And would you please state and spell your
 18 complete name for the Commission?
 19 DR. ALTEEN:
 20 A. Lawrence Walter Alteen. L-A-W-R-E-N-C-E, W-A-
 21 L-T-E-R, A-L-T-E-E-N.
 22 REGISTRAR:
 23 Q. Thank you.
 24 COFFEY, Q.C.:
 25 Q. Commissioner, I have some more exhibits that I

Page 275

1 ask be entered, please? They're exhibits P-
 2 2890 through P-2932, inclusive.
 3 THE COMMISSIONER:
 4 Q. All right.
 5 COFFEY, Q.C.:
 6 Q. And as well, Exhibit C-0262 and 0263, C-0262,
 7 C-0263.
 8 THE COMMISSIONER:
 9 Q. Entered.
 10 EXHIBITS ENTERED AND MARKED P-2890 THROUGH P-2932,
 11 INCLUSIVE.
 12 EXHIBIT ENTERED AND MARKED C-0262.
 13 EXHIBIT ENTERED AND MARKED C-0263.
 14 COFFEY, Q.C.:
 15 Q. Thank you, Commissioner. Dr. Alteen, would
 16 you please outline for the Commissioner your
 17 educational and professional background?
 18 DR. ALTEEN:
 19 A. Yes. I did a Bachelor of Science degree at
 20 Acadia University, graduated in 1978, then
 21 went to Memorial Medical School completing
 22 medical school in 1982 and did a one-year
 23 rotating internship, finishing that in the end
 24 of June of 1983. Since that time I've worked
 25 first as a family physician in Grand Falls

Page 276

1 from 1983 to 1998, from 1998 to 2005 I was a
 2 medical director at the old Central West
 3 Health Corporation and from April of 2005
 4 until June 22nd, I believe it was, of 2007 I
 5 was the medical director for the new Central
 6 Regional Health Authority.
 7 COFFEY, Q.C.:
 8 Q. Now, Doctor, and your actual medical practice
 9 was as a general practitioner?
 10 DR. ALTEEN:
 11 A. That's correct.
 12 COFFEY, Q.C.:
 13 Q. Doctor, you started your work as the VP of
 14 Medical Services with what is now Central
 15 Health in April of 1998?
 16 DR. ALTEEN:
 17 A. In April of 1998, correct.
 18 COFFEY, Q.C.:
 19 Q. And you continued in that position until March
 20 31st, 2005 when the current Central Health was
 21 created. Doctor, you were based in what part
 22 of what is now Central Health, in Grand Falls?
 23 DR. ALTEEN:
 24 A. Located physically in Grand Falls-Windsor.
 25 COFFEY, Q.C.:

Page 277

1 Q. Grand Falls, yes. And before the March--April
 2 1st, 2005 creation of Central Health as it now
 3 is, what were the predecessor organizations?
 4 DR. ALTEEN:
 5 A. They were the Central West Health Care Board
 6 and Central East, if I have the terminology
 7 right, I think probably Institutions Health
 8 Board.
 9 COFFEY, Q.C.:
 10 Q. Okay. And you worked with which one?
 11 DR. ALTEEN:
 12 A. I worked with Central West.
 13 COFFEY, Q.C.:
 14 Q. So Central West was--sorry, was Grand Falls-
 15 Windsor?
 16 DR. ALTEEN:
 17 A. Grand Falls-Windsor and surrounding -
 18 COFFEY, Q.C.:
 19 Q. Surrounding area.
 20 DR. ALTEEN:
 21 A. - communities.
 22 COFFEY, Q.C.:
 23 Q. And Central East, I'll call it, for my
 24 purposes.
 25 DR. ALTEEN:

Page 278

1 A. Right.
 2 COFFEY, Q.C.:
 3 Q. Was Gander and the environment the east?
 4 DR. ALTEEN:
 5 A. That's right.
 6 COFFEY, Q.C.:
 7 Q. Doctor, in your position as VP Medical
 8 Services for Central West, as it then was, you
 9 were responsible for what, who reported to
 10 you, what were you responsible for and whom
 11 did you report to?
 12 DR. ALTEEN:
 13 A. General reporting was, I guess, or I guess the
 14 function generally was the recruitment and
 15 credentialing of medical staff and retention
 16 of medical staff, functioning in terms of the
 17 organization of the medical staff, medical
 18 staff bylaws, policies and procedures, rules
 19 and regulations, those sort of things was an
 20 ex-officio member of the Medical Advisory
 21 Committee, obviously a member of the senior
 22 team and attended board meetings to provide a
 23 report in terms of medical services during my
 24 involvement with the organization. I reported
 25 to the CEO of the organization. And for

Page 279

1 reporting structure to me, also had under my
 2 responsibilities was the laboratory diagnostic
 3 imaging and cardiopulmonary services during at
 4 least the first number of years that I was in
 5 the role, so those managers reported to me.
 6 Generally from a medical staff perspective
 7 we'd have a medical staff structure and the
 8 various chairmen of the various departments
 9 and that would report up through that Medical
 10 Advisory Committee and on to me, but also they
 11 would be, have a function of reporting up
 12 through the board, as well.
 13 COFFEY, Q.C.:
 14 Q. and so the technologists end of the laboratory
 15 medicine program reported to you?
 16 DR. ALTEEN:
 17 A. That's correct.
 18 COFFEY, Q.C.:
 19 Q. Up through their senior technologist,
 20 administrator?
 21 DR. ALTEEN:
 22 A. That's correct.
 23 COFFEY, Q.C.:
 24 Q. And as well the pathologists did?
 25 DR. ALTEEN:

Page 280

1 A. Yes.
 2 COFFEY, Q.C.:
 3 Q. Now, I take it that when I say "the
 4 pathologists", I take it it was very often
 5 just Dr. Dalton?
 6 DR. ALTEEN:
 7 A. Dalton.
 8 COFFEY, Q.C.:
 9 Q. Maurice Dalton?
 10 DR. ALTEEN:
 11 A. Correct.
 12 COFFEY, Q.C.:
 13 Q. And sometimes there would be a second
 14 pathologist?
 15 DR. ALTEEN:
 16 A. Yes.
 17 COFFEY, Q.C.:
 18 Q. Doctor, what about after the creation of what
 19 is now Central Health, what or how, if at all,
 20 did your--who reported to you, what your
 21 responsible for and whom you reported to
 22 change?
 23 DR. ALTEEN:
 24 A. Again, who I reported to, again, would have
 25 been the CEO. The responsibilities are just

Page 281	Page 283
<p>1 expanded to a much wider geographic and 2 physical area as well as more medical staff. 3 When it came to the laboratory, diagnostic 4 imaging, cardiopulmonary services, and I don't 5 recall the specific dates, but the 6 responsibilities of those departments 7 reporting to me changed over time, as at the 8 time there was a major problem with just 9 getting the medical staff organized. But I 10 can't be specific, I don't recall the specific 11 dates of when those responsibilities changed. 12 COFFEY, Q.C.: 13 Q. Now, responsibility for the laboratory 14 medicine program, you still had that effective 15 April 1, 2005? 16 DR. ALTEEN: 17 A. Effective April 1, that's correct. 18 COFFEY, Q.C.: 19 Q. You still have it? 20 DR. ALTEEN: 21 A. Yes. 22 COFFEY, Q.C.: 23 Q. But sometime after that and before you 24 resigned as VP Medical in 2007, laboratory 25 services went -</p>	<p>1 administrators in the clinical laboratory 2 program - 3 DR. ALTEEN: 4 A. Would report up - 5 COFFEY, Q.C.: 6 Q. - continued to report to your for awhile, but 7 eventually to someone else? 8 DR. ALTEEN: 9 A. Yeah. 10 COFFEY, Q.C.: 11 Q. Doctor, issues of quality assurance, quality 12 initiatives, quality control within the 13 hospital, within Central, in your day there, 14 who was responsible for that in a hospital- 15 wide sense? 16 DR. ALTEEN: 17 A. In a hospital-wide sense we would have had 18 quality teams in place. And again, I can't go 19 back and remember the time frame as to when 20 they started, but we had quality teams for a 21 number of years. Reporting structure up 22 through we had a, one of the senior people had 23 quality under their initiatives, but all of us 24 as senior managers would have had quality 25 teams report up through us. Most of the</p>
<p style="text-align: right;">Page 282</p> <p>1 DR. ALTEEN: 2 A. Under somebody else. 3 COFFEY, Q.C.: 4 Q. - under somebody else? 5 DR. ALTEEN: 6 A. Yes. 7 COFFEY, Q.C.: 8 Q. And who, when you left, who were they under at 9 that point, do you recall? 10 DR. ALTEEN: 11 A. I cannot recall, no. 12 COFFEY, Q.C.: 13 Q. You can't recall. In the meantime with the 14 April 1st, 2005 date, as that passed into 2005 15 in the main the pathologists still reported to 16 you? 17 DR. ALTEEN: 18 A. Correct. 19 COFFEY, Q.C.: 20 Q. Until--well, they continued, I take it, until 21 the time you left? 22 DR. ALTEEN: 23 A. That's right. 24 COFFEY, Q.C.: 25 Q. The pathologists. But the technologists and</p>	<p style="text-align: right;">Page 284</p> <p>1 clinical teams either reported to myself or 2 through the VP nursing for the organization. 3 Again, those roles changed over time. The 4 responsibility in the laboratory I would 5 assume that generally the overall 6 responsibility of quality assurance in the lab 7 would have gone through the senior 8 technologist, the manager of the department, 9 but again, the pathologist would have had 10 responsibility, as well, in terms of some 11 quality controls. 12 COFFEY, Q.C.: 13 Q. And what, if any, external proficiency 14 activities was the clinical laboratory 15 involved in, do you know, external 16 proficiency? 17 DR. ALTEEN: 18 A. There were a number of them, but again, the 19 specifics of that I wouldn't be able to tell 20 you the specific programs they were involved 21 in, but there were a number of programs that 22 they were involved in over time. 23 COFFEY, Q.C.: 24 Q. Doctor, when did you first become aware of, 25 you know, estrogen receptors and progesterone</p>

Page 285

1 receptors as an issue medically in the context
 2 of the testing that was carried out?
 3 DR. ALTEEN:
 4 A. The issue around the testing?
 5 COFFEY, Q.C.:
 6 Q. Yes.
 7 DR. ALTEEN:
 8 A. My first recollection was when Dr. Dalton came
 9 to me in, I think it was on September 28th of
 10 2005.
 11 COFFEY, Q.C.:
 12 Q. And what do you recall about that, Doctor?
 13 DR. ALTEEN:
 14 A. Specifically I remember him coming to me and
 15 saying that there's an issue that's started in
 16 St. John's that relates to the ER/PR testing,
 17 that there are concerns about the qualities,
 18 or the quality of the testing, and that there
 19 are going to be some retesting going on, and
 20 this is going to be a significant problem.
 21 COFFEY, Q.C.:
 22 Q. Did he tell you how long he'd been aware of
 23 this as a problem?
 24 DR. ALTEEN:
 25 A. Again, at that time I don't remember him

Page 286

1 saying specifically how long he may have been
 2 aware of that. I do know as I've gone through
 3 all this over time that we were requested to
 4 have information sent out to St. John's in
 5 June and again some requests in September, but
 6 I don't recall, I can't say specifically in
 7 September that at that time I remember that
 8 occurring, no.
 9 COFFEY, Q.C.:
 10 Q. And in terms of as an attention riveting way
 11 it was the end of September?
 12 DR. ALTEEN:
 13 A. It was the end of September.
 14 COFFEY, Q.C.:
 15 Q. Before this really caught your--brought to
 16 your attention squarely?
 17 DR. ALTEEN:
 18 A. Yeah.
 19 COFFEY, Q.C.:
 20 Q. This had to be attended to. Doctor, do you
 21 recall at the time what it was that occasioned
 22 it being brought to your attention, was there
 23 anything going on at that particular time or
 24 about to happen?
 25 DR. ALTEEN:

Page 287

1 A. At that particular time? My understanding
 2 that this was again, had come up in St.
 3 John's, this may be out in the media and
 4 that's my recollection of why it became a
 5 problem at that particular time.
 6 COFFEY, Q.C.:
 7 Q. And, Doctor, what then--okay, what were you
 8 told by Dr. Dalton about the then state of
 9 affairs in Grand Falls as to where things were
 10 in terms of addressing the ER/PR problem.
 11 DR. ALTEEN:
 12 A. Well, generally in terms of the ER/PR problem,
 13 we would have to identify all the patients who
 14 had been diagnosed with breast cancer who were
 15 reported as being ER/PR negative, because that
 16 was the concern, the people that are ER/PR
 17 negative may be positive, and have to ensure
 18 that we have collected all that information
 19 and make sure this is sent to St. John's and
 20 that would go off to Mount Sinai to be
 21 retested. The concern was that we had people
 22 that may have not been receiving appropriate
 23 treatment based on their ER/PR testing.
 24 COFFEY, Q.C.:
 25 Q. And, Doctor, we've seen, the Commissioner has

Page 288

1 seen a number of occasions, a letter of June
 2 29th, 2005 that Dr. Dalton wrote to Dr. Cook
 3 sending--accompanying a number of tissue
 4 samples from 2002 in Grand Falls.
 5 DR. ALTEEN:
 6 A. Right.
 7 COFFEY, Q.C.:
 8 Q. Okay. And Dr. Dalton has testified that,
 9 already, that in September he was already
 10 engaged in having been asked in early
 11 September to gather up more material.
 12 DR. ALTEEN:
 13 A. Yes.
 14 COFFEY, Q.C.:
 15 Q. Doctor, when you first heard this from Dr.
 16 Dalton, did you communicate with Dr. Gallagher
 17 in Gander about this, do you know?
 18 DR. ALTEEN:
 19 A. I can't say specifically, I can't recall
 20 whether I had that conversation with him.
 21 Certainly my recall is Dr. Dalton was probably
 22 in conversation with Dr. Gallagher in terms of
 23 the issues with the laboratory, because
 24 obviously this was not just a problem that was
 25 related, or associated with Grand Falls, but

Page 289

1 again, it was across the province, so we would
 2 have to have all of our specimens for both
 3 sides of the region collected and sent to St.
 4 John's.
 5 COFFEY, Q.C.:
 6 Q. And when you became aware of this in late
 7 September, did you communicate it further up
 8 to your boss?
 9 DR. ALTEEN:
 10 A. Yes. My recollection is that specific day
 11 that we talked with--either myself and Dr.
 12 Dalton met with our CEO and informed -
 13 COFFEY, Q.C.:
 14 Q. Who was that?
 15 DR. ALTEEN:
 16 A. That was Mr. David Diamond.
 17 COFFEY, Q.C.:
 18 Q. And what was Mr. Diamond told about the matter
 19 at the time?
 20 DR. ALTEEN:
 21 A. Again, the issue that we have potential
 22 changes in the diagnosis made around ER/PR
 23 testing, that there would be retesting going
 24 on, that we have to collect these specimens,
 25 send them out and obviously once those, that

Page 290

1 information gets back, we'll have to look at
 2 how we communicate that on further to
 3 patients.
 4 COFFEY, Q.C.:
 5 Q. If we could look, please, at exhibit P-2351?
 6 Now, Doctor, this exhibit is comprised of
 7 handwritten notes. Do you recognize the
 8 handwriting?
 9 DR. ALTEEN:
 10 A. Yes, it's mine.
 11 COFFEY, Q.C.:
 12 Q. Okay, I take it these are some notes that you
 13 kept from time to time about your dealings
 14 with this matter?
 15 DR. ALTEEN:
 16 A. That's correct.
 17 COFFEY, Q.C.:
 18 Q. And in particular, Doctor, these notes we're
 19 looking at here on page 1 of the exhibit, has
 20 Maurice Dalton's name, September 28th, 2005.
 21 You have written "ER/PR, negative patients who
 22 may be false negatives. The issue with
 23 testing at the Health Sciences Centre since
 24 1997, process in St. John's, this is problem.
 25 We would read whether positive or negative.

Page 291

1 Negative was less than 30 percent since 2001,
 2 less than ten percent called negative. Across
 3 country, negative is anything from zero to 30
 4 percent. HCCSJ changed process in 2004 with
 5 new system and since June/July, 2005,
 6 everything in St. John's"--something--"is sent
 7 outside province." Are you able to--do you
 8 know what that is, Doctor?
 9 THE COMMISSIONER:
 10 Q. Can you translate -
 11 COFFEY, Q.C.:
 12 Q. No, he's not, he's shaking his head no,
 13 Commissioner, thank you.
 14 DR. ALTEEN:
 15 A. No, I can't.
 16 COFFEY, Q.C.:
 17 Q. And then I think you've written, "identified,
 18 had issue with false negative and trying to
 19 get volume of problem. 40 mastectomies per
 20 year. 30 will be positive, about 10 negative,
 21 approximately 70 cases over this time", which
 22 would be about 10 a year in seven years, I
 23 take it is the calculation?
 24 DR. ALTEEN:
 25 A. Right.

Page 292

1 COFFEY, Q.C.:
 2 Q. "Question Minister going public soon. We are
 3 sending all negatives as defined by HCCSJ to
 4 them, which are then sending all of the
 5 specimens to mainland. At present suggest the
 6 false negative rate is 10 to 20 percent and
 7 therefore, 7 to 14 people potentially
 8 affected." Which I take it is 10 to 20
 9 percent of 70 -
 10 DR. ALTEEN:
 11 A. Correct.
 12 COFFEY, Q.C.:
 13 Q. - amount to be retested, which would be the
 14 negatives, am I right on that, Doctor?
 15 DR. ALTEEN:
 16 A. That's what I'm assuming.
 17 COFFEY, Q.C.:
 18 Q. It's not 10 to 20 percent of the total number
 19 of breast cases, at least in this calculation.
 20 DR. ALTEEN:
 21 A. No, I think by, I mean, 10 patients per year
 22 over the time frame, 70 cases over that time
 23 which would be the negative cases.
 24 COFFEY, Q.C.:
 25 Q. And they were the ones to be retested, so and

Page 293

1 10 to 20 percent of 70 would be 7 to 14.
 2 DR. ALTEEN:
 3 A. Correct.
 4 COFFEY, Q.C.:
 5 Q. "And our percentage positive, negative, has
 6 stayed within generally accepted reference
 7 levels."
 8 DR. ALTEEN:
 9 A. Correct.
 10 COFFEY, Q.C.:
 11 Q. "We will be compiling two lists with specimens
 12 of 1997 to 2001 and 2002 to 2004 to send to
 13 St. John's. They will be reviewing all with
 14 outside lab, as well as tracking patient
 15 outcomes who have outside laboratory retest
 16 with today's standards." Now, Doctor, I take
 17 it then these are the notes you made during
 18 and after your conversation with Dr. Dalton
 19 that day?
 20 DR. ALTEEN:
 21 A. Yes.
 22 COFFEY, Q.C.:
 23 Q. And would pass this on to Mr. Diamond?
 24 DR. ALTEEN:
 25 A. We would have discussed that, whether I

Page 294

1 actually gave him the notes -
 2 COFFEY, Q.C.:
 3 Q. Oh no, I say pass the information, pass the
 4 information on to him. Now, Doctor, I just
 5 ask you this, Doctor, up to this point in your
 6 career, up to that point in your career, what
 7 if any exposure have you had to estrogen
 8 receptor, progesterone receptor as a subject
 9 matter?
 10 DR. ALTEEN:
 11 A. Not a lot.
 12 COFFEY, Q.C.:
 13 Q. I take it just whatever -
 14 DR. ALTEEN:
 15 A. Just what you would have as a family
 16 physician.
 17 COFFEY, Q.C.:
 18 Q. And in your experience and you've been in
 19 Grand Falls for a number of years before going
 20 to work with Central West, what was your
 21 experience then in terms of breast cancer
 22 patients and how much contact really would a
 23 GP have once breast cancer was diagnosed?
 24 DR. ALTEEN:
 25 A. With the patient after? I mean, generally

Page 295

1 most of these people would be, obviously
 2 initially you may have seen the patient in
 3 terms of making a diagnosis, send them off to
 4 the surgeon. Once the surgery is performed,
 5 they would then be, a lot of times seen by the
 6 medical oncologist who would visit. They
 7 would either travel to St. John's and the
 8 medical oncologist would be in Grand Falls and
 9 they would be seen and again, treatment
 10 options would be discussed then as to what is
 11 necessary in terms of the treatment for that
 12 particular cancer. After that, you would see
 13 people generally, not necessarily in follow up
 14 to their breast cancer because obviously the
 15 oncologist would follow them for a period of
 16 time, but obviously you would have people come
 17 back, they may have various ailments which may
 18 or may not be related to their original
 19 diagnosis.
 20 COFFEY, Q.C.:
 21 Q. And, Doctor, could you tell the Commissioner,
 22 please, what the arrangement was for Cancer
 23 Clinics or Cancer Care Clinics in Grand Falls
 24 in your time as VP? What was the structure
 25 there at the time?

Page 296

1 DR. ALTEEN:
 2 A. Generally the structure was that the medical
 3 and radiation oncologist would visit our
 4 organization. The staff that was part of the
 5 Cancer Clinic in Grand Falls were employees of
 6 the old Newfoundland and Labrador Cancer
 7 Research Foundation, they were not Central
 8 Health employees, so they had physical space
 9 within our premise, but the organization of
 10 that was all run through the Newfoundland and
 11 Labrador Cancer Treatment Research Foundation.
 12 But they would visit on, and again, timeframes
 13 may vary, but at times it may be on a
 14 quarterly basis over the years and with the
 15 improved recruitment and retention of medical
 16 and radiation oncologists, obviously this
 17 would be more often than that, but they would
 18 provide follow up to these patients. And
 19 again, all these patients when chemotherapy or
 20 other treatment options were discussed, that
 21 was done generally with the oncologist.
 22 Again, over the last, probably five years, I'm
 23 trying to remember when one of our physicians
 24 was involved with the cancer clinic who worked
 25 in Grand Falls, they would do follow up, but

Page 297

1 again, that would be in conjunction with the
 2 medical oncologist. But the medical
 3 oncologists were the ones who decided on
 4 generally the treatment options for the
 5 patient.
 6 COFFEY, Q.C.:
 7 Q. Doctor, what was the situation in Gander, to
 8 your knowledge?
 9 DR. ALTEEN:
 10 A. Again, prior to 2005, there was again similar
 11 clinics that were run and again a physician
 12 there who was an internal medicine physician
 13 did some of the follow up of these patients in
 14 conjunction with the medical oncologist.
 15 After 2005, and again, the timeline, I can't
 16 recall specifically, but he left and then one
 17 of the family physicians took over doing some
 18 of the follow up, again in conjunction with
 19 the medical oncologist from St. John's.
 20 COFFEY, Q.C.:
 21 Q. Doctor, while it's been crossing my mind, I'll
 22 ask you now. As a result of the retests, a
 23 number of patients, of course in Central
 24 Newfoundland did have changed results and a
 25 number did go from negative to positive, ER

Page 298

1 status. Doctor, to your knowledge, what, if
 2 any, financial assistance or compensation was
 3 provided to them to cover any travel costs
 4 associated with having to attend because of
 5 the changed results, attend either in St.
 6 John's or in Grand Falls, Gander?
 7 DR. ALTEEN:
 8 A. I have no knowledge of any financial
 9 consideration.
 10 COFFEY, Q.C.:
 11 Q. I'm not suggesting there ever was, I'm just
 12 asking to your knowledge.
 13 DR. ALTEEN:
 14 A. I have no knowledge and I can't recall it ever
 15 coming up in my conversations with anybody
 16 that that was an issue.
 17 COFFEY, Q.C.:
 18 Q. Doctor, the reference here on your notes of
 19 September 28th to the--at present suggest the
 20 false negative rate is 10 to 20 percent.
 21 DR. ALTEEN:
 22 A. Yes.
 23 COFFEY, Q.C.:
 24 Q. That estimate was coming from whom?
 25 DR. ALTEEN:

Page 299

1 A. Dr. Dalton, I believe.
 2 COFFEY, Q.C.:
 3 Q. Dr. Dalton.
 4 DR. ALTEEN:
 5 A. Yeah, he would provide me that information.
 6 COFFEY, Q.C.:
 7 Q. And the reference to "our" which presumably is
 8 the local Grand Falls positive negative
 9 percent--or percentage positive negative rates
 10 had stayed within generally accepted reference
 11 levels.
 12 DR. ALTEEN:
 13 A. Right.
 14 COFFEY, Q.C.:
 15 Q. Who was telling you that?
 16 DR. ALTEEN:
 17 A. Again, this was Dr. Dalton who was passing
 18 this information to me.
 19 THE COMMISSIONER:
 20 Q. In what context though, was that our
 21 percentage positive negative stayed within
 22 generally accepted, was that prior to the
 23 retest?
 24 DR. ALTEEN:
 25 A. Yes.

Page 300

1 THE COMMISSIONER:
 2 Q. I mean, on the basis of what you believed the
 3 test results to be up to that point or was
 4 that having -
 5 DR. ALTEEN:
 6 A. I think part of that conversation was around
 7 the fact that if we had "X" number of breast
 8 cancer patients, you'd expect generally a
 9 certain percentage to be positive, a certain
 10 percentage to be negative over time.
 11 THE COMMISSIONER:
 12 Q. Uh-hm.
 13 DR. ALTEEN:
 14 A. And my recollection is that he had felt when
 15 he looked at this, that we were probably
 16 staying within that -
 17 THE COMMISSIONER:
 18 Q. So he's talking about the 10 negative out of
 19 the total of 40--or no, total of 30.
 20 COFFEY, Q.C.:
 21 Q. 40 mastectomies per year, 30 will be positive.
 22 THE COMMISSIONER:
 23 Q. 40, yes, ten of the ten.
 24 DR. ALTEEN:
 25 A. That's right, so you're talking a 75/25 Split.

Page 301

1 THE COMMISSIONER:
 2 Q. Okay. So, that last remark refers to those
 3 numbers.
 4 DR. ALTEEN:
 5 A. To those numbers, that we stay within that--
 6 again, there's a range certainly. I think
 7 really he was trying to make the point that
 8 there's nothing that jumped out at him to
 9 suggest that we had a problem before this came
 10 up.
 11 COFFEY, Q.C.:
 12 Q. Doctor, do you recall what the status of
 13 identifying the patients in Grand Falls was
 14 and for that matter, in Gander, that had to be
 15 retested at the time you were first told about
 16 this at the end of September? I presume you
 17 made inquiries about where Dr. Dalton and Dr.
 18 Gallagher were with identifying the patients.
 19 DR. ALTEEN:
 20 A. Right.
 21 COFFEY, Q.C.:
 22 Q. Do you recall what the status was at that time
 23 when you got involved?
 24 DR. ALTEEN:
 25 A. At that point in time, other than providing

Page 302

1 the information, my recollection is that there
 2 were certain specimens that were sent out to
 3 St. John's, based on a request back in June,
 4 further testing or further requests, again
 5 about information, but what we decided to do,
 6 we had to ensure, and our issue was trying to
 7 ensure that we captured every single patient
 8 that needed to be tested, which went to the
 9 point of making sure we went back through, and
 10 some of this--appreciating some of this was on
 11 paper, so much was electronic. You're in that
 12 merging between two types of processes that
 13 you had to go back and we went back
 14 repetitively over time, at that point in time,
 15 to make sure we had captured everybody.
 16 COFFEY, Q.C.:
 17 Q. So did you actually get involved in organizing
 18 that yourself, Doctor?
 19 DR. ALTEEN:
 20 A. I was involved certainly on the Grand Falls
 21 side. On the Gander side, I do believe Betty
 22 Forward probably, who was the COO at the time,
 23 might have been involved in that process in
 24 Gander of getting--again, there's some other
 25 individuals from management perspective along

Page 303

1 with some of the physicians and sitting down
 2 and going through all these files, because one
 3 thing was to identify them and the other thing
 4 was, you know, which people had received
 5 treatment and those sort of things. So there
 6 was a number of things that we had to go
 7 through and identify with these patients.
 8 COFFEY, Q.C.:
 9 Q. So Doctor, in terms of--we'll deal first of
 10 all with then Grand Falls. What do you know
 11 about what happened in Grand Falls in that
 12 regard? At the time you got involved, what
 13 happened?
 14 DR. ALTEEN:
 15 A. What happened? Generally, we went through,
 16 pulled files on cancer patients and reviewed
 17 all of those files to make sure again we had
 18 the right--as much as we could ascertain, the
 19 right people that were ER positive ER negative
 20 and that we sent the right information to St.
 21 John's. So that meant, again, individually
 22 going through patient charts and that.
 23 COFFEY, Q.C.:
 24 Q. Would these be electronic charts?
 25 DR. ALTEEN:

Page 304

1 A. No, most of this was paper.
 2 COFFEY, Q.C.:
 3 Q. Paper. When did the Meditech system come into
 4 usage first in Grand Falls, do you know?
 5 DR. ALTEEN:
 6 A. I'm going to say probably 1996, 1997,
 7 somewhere around there, in terms of a clinical
 8 application. Prior to that, there may have
 9 been some use of that from the materials
 10 management, financial side, but the clinical
 11 side, I think it was somewhere around 1996.
 12 COFFEY, Q.C.:
 13 Q. So then if it had been in--and the retesting
 14 dated back to 1997.
 15 DR. ALTEEN:
 16 A. Right.
 17 COFFEY, Q.C.:
 18 Q. So why was it necessary then to go through the
 19 paper from '97 onward?
 20 DR. ALTEEN:
 21 A. But again, appreciate that when Meditech
 22 started, from a clinical sense, the laboratory
 23 was not--or certainly the pathology side of
 24 the laboratory was not part of the Meditech.
 25 So they had a stand alone pathology module.

Page 305	Page 307
<p>1 So we had not had the pathology module in 2 place at that time, and I believe it was 3 probably in the early 2000's before the 4 Meditech pathology model went to play in our 5 organization. 6 COFFEY, Q.C.: 7 Q. And so certainly before the Meditech pathology 8 module was used, one would have to go through 9 the paper? 10 DR. ALTEEN: 11 A. Paper, and plus you would obviously--they 12 certainly had an electronic system and again, 13 I can't tell you when the first system 14 started, but I'm assuming it was before 1997, 15 that they were able to pull some of the data, 16 but we still had to go through individual 17 patient files. 18 COFFEY, Q.C.: 19 Q. And was that true all the way up to 2005? 20 DR. ALTEEN: 21 A. We pulled files, yeah. While we may be cross 22 referencing things with paper and with 23 electronic, we were pulling files as well. 24 COFFEY, Q.C.: 25 Q. Doctor, so you'd be identifying patients, and</p>	<p>1 going to prioritize your retesting, the deceased 2 would not be done first, obviously. We'd be 3 more concerned with people who were alive and 4 making sure that they got appropriately dealt 5 with, but the deceased would be part of the 6 process, in terms of making sure that we 7 retested everybody. 8 COFFEY, Q.C.: 9 Q. So that all breast cancer patients who had had 10 an ER/PR test done were initially identified? 11 DR. ALTEEN: 12 A. That's right. 13 COFFEY, Q.C.: 14 Q. And then - 15 DR. ALTEEN: 16 A. Deceased or not. 17 COFFEY, Q.C.: 18 Q. - and then the deceased were put to one side 19 initially. 20 DR. ALTEEN: 21 A. I think, again when it came to the specimens, 22 I think. When it came to us doing the data 23 collection, we were making sure we identified 24 everybody. 25 COFFEY, Q.C.:</p>
<p>1 what, if anything, efforts were made to keep 2 track of this, to keep track of the data? 3 DR. ALTEEN: 4 A. We had, again, developed various spreadsheets 5 to try and keep track of this. Obviously in 6 the lab, they were doing some. I was doing 7 some myself, but we were trying to ensure, 8 again, and then we cross-referenced to make 9 sure we had captured everything appropriately. 10 We were, at times, conveying that information 11 on to St. John's for their cross referencing. 12 Again, there was a lot of information being 13 shared between various organizations, and 14 again, the emphasis was on making sure we had 15 identified all the patients. 16 COFFEY, Q.C.: 17 Q. Doctor, how, at that point, were the deceased 18 being--people who were known to be deceased, 19 how was that being handled? 20 DR. ALTEEN: 21 A. Again, as part of that, we were identifying 22 all the breast cancer patients, deceased or 23 not. When it came to--and again, I'm going 24 with my recollection and my recollection is 25 that when it came to the retesting, you're</p>	<p>1 Q. But the specimens for the deceased would be 2 put aside and for the living, would be sent to 3 St. John's? 4 DR. ALTEEN: 5 A. That's, again, my assumption of that they 6 wouldn't be done first. 7 COFFEY, Q.C.: 8 Q. Doctor, do you know if any effort was made by 9 Central to utilize the Vital Statistics 10 database concerning the Registry of Deaths at 11 that time? 12 DR. ALTEEN: 13 A. I don't recall, no. 14 COFFEY, Q.C.: 15 Q. Doctor, we've also heard that--if we could 16 just bring up, please, and I'll refer you to 17 Exhibit P-0590? Doctor, this is September 18 6th, 2005 memo to all laboratory directors. 19 Doctors Dalton and Gallagher are in there. 20 DR. ALTEEN: 21 A. Right. 22 COFFEY, Q.C.: 23 Q. It's from Dr. Cook and this is the one where 24 he--the first bullet says "further to my memo 25 dated June 13th, 2005, I am requesting that</p>

Page 309	Page 311
<p>1 you forward all ER negative cases on primary 2 breast lesions, independent of PR status, from 3 May '97 to March 31, 2004 to Mr. Barry Dyer at 4 the General Hospital site." And there's also 5 a reference then in the fourth bullet to "all 6 ERs and PRs performed on the Ventana system 7 from April 1, 2004 to August 9th, 2005 will 8 also be referred to Mount Sinai for retesting. 9 You can also forward these cases to Mr. Barry 10 Dyer." Doctor, the idea of focusing on and 11 utilizing only the primary breast lesions -</p> <p>12 DR. ALTEEN: 13 A. Right.</p> <p>14 COFFEY, Q.C.: 15 Q. - what was Central Newfoundland's approach to 16 that? Were your cases, your patients that had 17 samples sent to St. John's for retesting 18 solely breast cancer lesions or were they all 19 ER/PR tests?</p> <p>20 DR. ALTEEN: 21 A. I'm assuming they were breast cancer.</p> <p>22 COFFEY, Q.C.: 23 Q. And in terms of addressing that though, I 24 mean, gathering what was to be sent to meet 25 these criteria was Dr. Dalton and Dr.</p>	<p>1 about that.</p> <p>2 COFFEY, Q.C.: 3 Q. Yes, because -</p> <p>4 DR. ALTEEN: 5 A. But I recall specifically having a 6 conversation, I think, with Dr. McCarthy, just 7 to get her perspective on what the changes 8 were, because obviously for myself, as a 9 primary care physician, most of the times we 10 would get information back, you're positive or 11 negative. You know, the percentages and these 12 sort of things, most of the times, we, as 13 primary care physicians, didn't get involved 14 in that information, just are you or aren't 15 you, do we treat you or are you treated, are 16 you not. So I just wanted to have some 17 background knowledge from Dr. McCarthy as to 18 her perspective on this and what the changes 19 were.</p> <p>20 COFFEY, Q.C.: 21 Q. Do you recall when that was?</p> <p>22 DR. ALTEEN: 23 A. I thought I recalled seeing that I may have 24 had a note about that.</p> <p>25 COFFEY, Q.C.:</p>
Page 310	Page 312
<p>1 Gallagher's responsibility, from your 2 perspective?</p> <p>3 DR. ALTEEN: 4 A. That's right, and in fact, I guess, at that 5 point in time, they had already--I mean, my 6 recollection goes back to September 28th when 7 we had that meeting. Prior to that, there had 8 been samples sent out, prior to that, and I 9 can't say I wasn't aware of it. I just don't 10 recall being made specifically aware of it, 11 that things were happening before the 12 September 28th note that I made.</p> <p>13 COFFEY, Q.C.: 14 Q. Doctor, the second bullet here refers to 15 different periods to be utilized for deciding 16 whether someone's tissue sample was ER 17 negative.</p> <p>18 DR. ALTEEN: 19 A. Correct.</p> <p>20 COFFEY, Q.C.: 21 Q. Did you ever have any discussion, in 2005, 22 with any one about why this was so?</p> <p>23 DR. ALTEEN: 24 A. I recall having a discussion, and I think I 25 perhaps--I certainly have talked to Dr. Dalton</p>	<p>1 Q. Okay, so this would be--and we'll be going-- 2 it's October 6th, 2005 actually, Doctor. It's 3 page six of Exhibit 2351, please?</p> <p>4 DR. ALTEEN: 5 A. Right.</p> <p>6 COFFEY, Q.C.: 7 Q. And that, Doctor, is what you're speaking of. 8 So I'll come to that in a moment. But you did 9 certainly, yourself at least, address your 10 mind to that early on?</p> <p>11 DR. ALTEEN: 12 A. Yes, just to understand the differences and 13 the changes that had occurred. Because I 14 think one of the things, and again, 15 recognizing that when you're going through 16 this, over time, that you're--when things 17 happen, the chronology of things is a little 18 bit fuzzy at times, but when you're going 19 through the patient files, it seemed at times 20 you were getting this information that some 21 people may have been treated in a time frame 22 when 30 percent was considered--or less than 23 30 percent was considered negative, may still 24 have been put on Tamoxifen, and that may be 25 the discretion of the individual oncologist,</p>

Page 313	Page 315
<p>1 may have made a decision based on other 2 factors that I was not aware of as to why they 3 may have treated them.</p> <p>4 COFFEY, Q.C.: 5 Q. But you had noticed that in reviewing - 6 DR. ALTEEN: 7 A. I think some of it came up as--and again, like 8 I said, it's hard to keep track of when things 9 specifically have occurred and how you thought 10 about those things, but it does strike me that 11 over time, you notice that there were people 12 treated who may have historically been called 13 negative, but were--and one of the things that 14 Dr. McCarthy did mention to me was that when, 15 from her training, that she was treating 16 everybody that was, I think, less than ten 17 percent at that--or greater than ten percent 18 at that time, she would have treated them.</p> <p>19 COFFEY, Q.C.: 20 Q. Actually, Doctor, while we have this here, 21 I'll take you through this now. This is a 22 record of a conversation you had with Dr. Joy 23 McCarthy, October 6th, 2005. You've noted 24 her--she's telling you, I take it, she always 25 treated the patients at ten percent?</p>	<p>1 DR. ALTEEN: 2 A. I think it was her comment that she supported 3 notifying the patients that they were on a 4 list to be retested and then we will get the 5 results back and once we do that, we'll notify 6 them again that there is--your status has 7 changed or hasn't changed and what will happen 8 from that point on.</p> <p>9 COFFEY, Q.C.: 10 Q. And "the treatment will vary from patient to 11 patient, depending on the time from original 12 diagnosis, node status at the time of surgery, 13 the present status, etcetera," she's telling 14 you?</p> <p>15 DR. ALTEEN: 16 A. Correct.</p> <p>17 COFFEY, Q.C.: 18 Q. And "there's no change in treatment from 2001, 19 i.e. ten percent or more positive ER/PR. 20 However, this was both her and Kara's 21 training. American training may have been 22 different, so treatment options not 23 necessarily the same." What was that about?</p> <p>24 DR. ALTEEN: 25 A. I think the point was being made that not all</p>
<p style="text-align: right;">Page 314</p> <p>1 DR. ALTEEN: 2 A. Right.</p> <p>3 COFFEY, Q.C.: 4 Q. "Letter going out to every family doctor in 5 Newfoundland of what to do, from Paul 6 Gardiner." She's telling you about that.</p> <p>7 DR. ALTEEN: 8 A. Right.</p> <p>9 COFFEY, Q.C.: 10 Q. "Medical oncologists will be available to talk 11 with the GP or see"--and that would be? 12 DR. ALTEEN: 13 A. See patient.</p> <p>14 COFFEY, Q.C.: 15 Q. "To see patient, but will not be immediate. 16 Maybe within a few months, which is fine." I 17 take it that was her - 18 DR. ALTEEN: 19 A. That's her comment.</p> <p>20 COFFEY, Q.C.: 21 Q. - expression or comment. "Support calling 22 patients and advising them on the list and 23 will recall with results with a letter from 24 Dr. Gardiner and accessibility of 25 oncologists." What was that about, Doctor?</p>	<p style="text-align: right;">Page 316</p> <p>1 oncologists, at a specific point in time, and 2 it may be 2001, were necessarily treating at a 3 ten percent level. So dependent on some of 4 the training, I think that was her comment. 5 That's certainly what I'm written down there 6 is her comment to me.</p> <p>7 COFFEY, Q.C.: 8 Q. Doctor, did you get any sense, at the time, 9 that there could possibly be patients in 2001 10 who were treated but they, because their ER, 11 for example, was 20, they were still 12 considered by some oncologists to be negative? 13 In other words, that the ten percent didn't 14 begin effective January 1, 2001, and maybe it 15 began later for some oncologists? Did you get 16 that sense at times? Getting a fuzziness of 17 this cut off.</p> <p>18 DR. ALTEEN: 19 A. Yeah, I--again, I can't specifically say that 20 I recall, in 2001 when we were looking back 21 through this, whether we saw patients who 22 might have been treated differently, based on 23 a ten percent cut off.</p> <p>24 COFFEY, Q.C.: 25 Q. Going to go back, Doctor, now to October the</p>

Page 317

1 3rd, page three of the exhibit. Your note
 2 here is a conversation you had with Susan
 3 Bonnell.
 4 DR. ALTEEN:
 5 A. Correct.
 6 COFFEY, Q.C.:
 7 Q. Why was it you spoke to Ms. Bonnell? I take
 8 it because of communications issues?
 9 DR. ALTEEN:
 10 A. Yeah, and again, whether that was a call with
 11 myself and other people. Usually, and I can't
 12 say all the time, but a lot of times I would
 13 write down if there's other people in the room
 14 who were listening to our conversation. But
 15 I, I mean, other than looking at my notes, I
 16 can't recall specifically talking to her
 17 myself, as an individual, but I may well have
 18 done that. I don't--I just don't recall the
 19 specifics of it right now.
 20 COFFEY, Q.C.:
 21 Q. It's possible that you had a conversation with
 22 a larger group and you're just attributing a
 23 remark to her?
 24 DR. ALTEEN:
 25 A. Yeah, that's right, or it's possible that I

Page 318

1 did phone her or she phoned me and we had a
 2 conversation.
 3 COFFEY, Q.C.:
 4 Q. And you've noted here, "not doing a press
 5 release," which I take it is Eastern Health is
 6 not doing a press release?
 7 DR. ALTEEN:
 8 A. Correct, yeah.
 9 COFFEY, Q.C.:
 10 Q. "Less than ten percent of breast cancer
 11 patients would be affected." Doctor, was it
 12 your understanding it would be less than the
 13 total of all breast cancer patients would be
 14 affected or less than ten percent of those
 15 being retested?
 16 DR. ALTEEN:
 17 A. My assumption that it was, again, less than
 18 ten percent of the ER negative patients, not
 19 the total breast cancer patients.
 20 COFFEY, Q.C.:
 21 Q. And the third note here you've got is "when
 22 story broke on Friday, was actually thought to
 23 be -
 24 DR. ALTEEN:
 25 A. To be mammography.

Page 319

1 COFFEY, Q.C.:
 2 Q. - mammography related." So she's telling you
 3 this?
 4 DR. ALTEEN:
 5 A. That's right.
 6 COFFEY, Q.C.:
 7 Q. "Dr. Williams did an NTV interview and is
 8 doing Telegram, based on the premise that
 9 retested one patient who was negative and
 10 became positive. That this led to further
 11 testing, info, this has to be individualized
 12 because of various treatment options based on
 13 a number of factors. Note here, media not
 14 interested in this story yet. Will host on
 15 website few frequently asked questions along
 16 with patient liaison officer. 25 percent of
 17 patients who are negative will change to
 18 positive." That assertion, would that be
 19 something she was telling you? The answer is
 20 yes?
 21 DR. ALTEEN:
 22 A. I'm assuming yes, yes.
 23 COFFEY, Q.C.:
 24 Q. And then there's here, Larry Gallagher 62,
 25 Maurice Dalton 88.

Page 320

1 DR. ALTEEN:
 2 A. That's Barry, that should be Barry Gallagher.
 3 COFFEY, Q.C.:
 4 Q. Barry, should be Barry. I apologize. That
 5 would be, that's a B for Barry.
 6 DR. ALTEEN:
 7 A. Yes.
 8 COFFEY, Q.C.:
 9 Q. The total of those two figures are 150, which
 10 you've written here. ER/PR negative, alive,
 11 not treated. So what is this? What are these
 12 figures about, Doctor?
 13 DR. ALTEEN:
 14 A. I'm assuming the information that we had at
 15 that time of the number of patients that were
 16 identified that were ER/PR negative, and
 17 again, that were alive and had not had any
 18 treatment.
 19 COFFEY, Q.C.:
 20 Q. So Doctor, was Central, at least to your
 21 understanding or knowledge, keeping track
 22 where it could of whether patients had been or
 23 had not been treated?
 24 DR. ALTEEN:
 25 A. We were trying. Now again, recognizing that

Page 321	Page 323
<p>1 our access to some of the information about 2 treatment, some of it we could find from our 3 hospital records. Some, if I recall, there 4 may have been even phone calls made to some of 5 the family physicians to see if patients had 6 been treated. We had, I'm trying to think, we 7 may have had some access to the Newfoundland 8 and Labrador Cancer Treatment notes, if they 9 were on the patient files, but obviously 10 wouldn't have access to their information 11 systems to get that information. We would 12 have to, obviously, make calls or do some 13 discussions with people to find out if people 14 had been treated.</p> <p>15 COFFEY, Q.C.:</p> <p>16 Q. If we could bring up Exhibit P-0087, please? 17 Now Doctor, these are a typed version of 18 handwritten notes that Dr. Williams made.</p> <p>19 DR. ALTEEN:</p> <p>20 A. Okay.</p> <p>21 COFFEY, Q.C.:</p> <p>22 Q. Of a tele conference, a conference call, with 23 other regional boards on October 4th, 2005. 24 Noted to be participating from Central are Mr. 25 Diamond, yourself and Stephanie Power.</p>	<p>1 percent positive. Most labs, less than one 2 percent negative to be considered negative." 3 Doctor, and then you go on to say "prior to 4 1997, biochemical markers used. 1997 started 5 immunohistochemistry with DAKO semi-automated 6 system, a 40-step process, and then May 2005, 7 Dr. Laing discussed Sloan-Kettering re: 8 lobular cancer patient who was initially ER/PR 9 negative, zero, zero, and retested and found 10 to be positive." Doctor, what do you recall 11 then, what was all this about?</p> <p>12 DR. ALTEEN:</p> <p>13 A. That again was the whole issue around the, I 14 guess the changing criteria for how you called 15 negative and positive when it came to ER/PR, 16 recognizing that if we're looking at retesting 17 people, prior to 2001, if you had 30 percent 18 positive as your criteria, are we going to 19 apply, I guess, 2005 or 2006 standards at the 20 time, that you may have people that you would 21 call, if you diagnosed them at that point in 22 time, positive based on a ten percent or one 23 percent rule, when if you look back, the 24 criteria that you used at the time, you would 25 have called them negative still. So you had</p>
<p style="text-align: right;">Page 322</p> <p>1 DR. ALTEEN:</p> <p>2 A. Correct.</p> <p>3 COFFEY, Q.C.:</p> <p>4 Q. Who's Stephanie Power?</p> <p>5 DR. ALTEEN:</p> <p>6 A. Stephanie Power was our communications 7 director, I think was her title probably.</p> <p>8 COFFEY, Q.C.:</p> <p>9 Q. Okay, and if we could look at Exhibit P-2351, 10 please? Doctor, looking at page four of the 11 exhibit, under the heading ER/PR testing, 12 October 4th '05, I take it these would be 13 notes you made of that conversation?</p> <p>14 DR. ALTEEN:</p> <p>15 A. I think so, yes.</p> <p>16 COFFEY, Q.C.:</p> <p>17 Q. So you've written "those who would be positive 18 without any further testing, based on changing 19 criteria. Those who are negative, zero to one 20 percent, and may now be positive" and then you 21 got "70 to 80 percent of breast cancer ER/PR 22 positive, but also present in normal breast 23 tissue." And then "prior to 2001, need to be 24 30 percent, greater than 30 percent positive 25 for Tamoxifen. After 2001, greater than ten</p>	<p style="text-align: right;">Page 324</p> <p>1 to make sure that you weren't muddying the 2 waters, I guess, by your criteria change, as 3 well as that your test changed.</p> <p>4 COFFEY, Q.C.:</p> <p>5 Q. And I take it though, you would have 6 understood, by this point in time, by October 7 4th, that some of the underlying percentage 8 positivities for individual patients would 9 likely change?</p> <p>10 DR. ALTEEN:</p> <p>11 A. Correct.</p> <p>12 COFFEY, Q.C.:</p> <p>13 Q. And the issue then here would be, for example, 14 if somebody was, say I'll pick a figure of 20 15 in 1999, they'd be negative at the time.</p> <p>16 DR. ALTEEN:</p> <p>17 A. Right.</p> <p>18 COFFEY, Q.C.:</p> <p>19 Q. And if they went to 60 on retest, then they 20 were positive no matter which number?</p> <p>21 DR. ALTEEN:</p> <p>22 A. No matter what, that's right.</p> <p>23 COFFEY, Q.C.:</p> <p>24 Q. But if they repeated at 10 or 20 - 25 DR. ALTEEN:</p>

Page 325

1 A. You still had--you're using a different
 2 criteria.
 3 COFFEY, Q.C.:
 4 Q. Which criteria would be utilized now in
 5 2005/06 further treatment?
 6 DR. ALTEEN:
 7 A. That's right, and again, those are the kind of
 8 questions you were straighten out as to--
 9 because you've changed your knowledge base,
 10 based on that.
 11 THE COMMISSIONER:
 12 Q. Sorry, would you repeat that again? The
 13 response. Are you saying you were trying to
 14 figure out what to do with a changed result
 15 that puts you in a category which would be
 16 positive now but was not positive when you
 17 were originally -
 18 DR. ALTEEN:
 19 A. Correct. If you, for example, in 2000 or in
 20 1999 that you were 20 percent and you were
 21 considered negative at that time, and retest
 22 you and you're still 20 percent, but now
 23 you're considered positive, what do we do? I
 24 mean, you have to have those discussions.
 25 What to do with those patients? The criteria

Page 326

1 has changed. It's not the test that made the
 2 difference. It's the criteria change. Now
 3 you're still notifying those patients, and
 4 that was the kind of conversation we were
 5 having, what do you do with those. Because
 6 you've retested, do you let people know that
 7 the criteria has changed, are you going to do
 8 something different at that point in time?
 9 But the test did not change, so it's trying to
 10 understand--I guess, we were trying to
 11 understand and recognizing that my experience
 12 at that point in time, very limited in this,
 13 and you're trying to get your head around was
 14 this--it's not that, again, you've retested.
 15 Your test has not changed, but we now have
 16 you're calling it positive or are you still
 17 calling it negative.
 18 COFFEY, Q.C.:
 19 Q. For some patients that -
 20 DR. ALTEEN:
 21 A. For some patients, yeah.
 22 COFFEY, Q.C.:
 23 Q. Okay.
 24 DR. ALTEEN:
 25 A. But again, if you had a change from, you know,

Page 327

1 ten percent to 60 percent, the criteria
 2 doesn't--you know, you're still positive by
 3 any criteria at that point in time.
 4 THE COMMISSIONER:
 5 Q. But it seems to me there are two different
 6 issues. There's the issue of whether or not,
 7 on a strictly scientific analysis, if you want
 8 to know what did or did not go wrong, you
 9 could determine that a change in result was so
 10 marked that it could have affected treatment
 11 at the time.
 12 DR. ALTEEN:
 13 A. Correct.
 14 THE COMMISSIONER:
 15 Q. And the other was whether or not now you have
 16 this new knowledge, you had some kind of an
 17 obligation to talk to your patients.
 18 DR. ALTEEN:
 19 A. So I think, I guess from my perspective -
 20 THE COMMISSIONER:
 21 Q. One seems to me to be an ethical question,
 22 more than a question of some kind of a
 23 theoretical view of what the result should
 24 have been back at the time that they were
 25 done.

Page 328

1 DR. ALTEEN:
 2 A. Yeah, but I guess I was still driving at the
 3 point of at that time, if we get this
 4 information back--and again, if we had not had
 5 any of these changing ER/PR numbers, we would
 6 never have gone back and reviewed these
 7 people. So now that we have this knowledge
 8 and you're talking to patients, does any of
 9 this impact their care now? Because I was
 10 more interested in, you know, whether it's a
 11 lab change or whether in fact the criteria
 12 changed, do we change how we're dealing with
 13 the patients. That's what I was just trying
 14 to understand with pathologists and with the
 15 oncologists, would we change anybody's
 16 treatment based on knowing that knowledge now.
 17 If we had never done this retesting, we would
 18 never have been doing this. So there's no way
 19 you'd be talking to the patient about it, but
 20 with the change in criteria, do we change
 21 anything now? And the assumption was
 22 generally, you probably wouldn't. The focus
 23 was going to be on the changing test result.
 24 So the test remained the same, you would not
 25 change anything in terms of treatment.

Page 329	Page 331
<p>1 COFFEY, Q.C.:</p> <p>2 Q. That was the initial -</p> <p>3 DR. ALTEEN:</p> <p>4 A. Yes.</p> <p>5 THE COMMISSIONER:</p> <p>6 Q. At that point?</p> <p>7 DR. ALTEEN:</p> <p>8 A. At that point.</p> <p>9 COFFEY, Q.C.:</p> <p>10 Q. At that point, yes. That's not, I take it,</p> <p>11 how things ultimately turned out, Doctor?</p> <p>12 DR. ALTEEN:</p> <p>13 A. I don't think.</p> <p>14 COFFEY, Q.C.:</p> <p>15 Q. Your understanding.</p> <p>16 DR. ALTEEN:</p> <p>17 A. Yeah.</p> <p>18 COFFEY, Q.C.:</p> <p>19 Q. Okay, and I'll be discussing that with you.</p> <p>20 Doctor, go on then, there's a--you've noted</p> <p>21 here, "Mount Sinai," what's that, Doctor?</p> <p>22 DR. ALTEEN:</p> <p>23 A. I know what it looks like, but I'm assuming</p> <p>24 it's supposed to mean it's the only certified</p> <p>25 lab in Canada, but -</p>	<p>1 DR. ALTEEN:</p> <p>2 A. From Eastern, and it might have been Dr.</p> <p>3 Williams who was talking about that at the</p> <p>4 time. I don't--I didn't mark down</p> <p>5 specifically who was saying what at that tele</p> <p>6 conference.</p> <p>7 COFFEY, Q.C.:</p> <p>8 Q. And there's a "chief tech from Mount Sinai has</p> <p>9 reviewed procedures. Pathologist also</p> <p>10 visited. Big issue of quality. Will</p> <p>11 recommend all slides be read by two to three</p> <p>12 pathologists in St. John's." So I take it</p> <p>13 then that somebody from Eastern Health is</p> <p>14 telling you that there's been a pathologist by</p> <p>15 to look at some aspect of Eastern Health, a</p> <p>16 chief technologist from Mount Sinai has done</p> <p>17 the same.</p> <p>18 DR. ALTEEN:</p> <p>19 A. Correct.</p> <p>20 COFFEY, Q.C.:</p> <p>21 Q. Looked at the clinical laboratory end of</p> <p>22 things, and big issue of quality, do you</p> <p>23 recall what that was about?</p> <p>24 DR. ALTEEN:</p> <p>25 A. No.</p>
Page 330	Page 332
<p>1 COFFEY, Q.C.:</p> <p>2 Q. Only, yeah. It seems to be O.</p> <p>3 DR. ALTEEN:</p> <p>4 A. It's a harsh scribble.</p> <p>5 COFFEY, Q.C.:</p> <p>6 Q. Yes, "certified lab in Canada. 25 to 30</p> <p>7 percent converting"</p> <p>8 DR. ALTEEN:</p> <p>9 A. Correct.</p> <p>10 COFFEY, Q.C.:</p> <p>11 Q. What was 25 to 30 percent converting, who was</p> <p>12 providing that information?</p> <p>13 DR. ALTEEN:</p> <p>14 A. At that, from my notes, I can't tell you who.</p> <p>15 That was part of a conversation or tele</p> <p>16 conference, but who actually said that, I</p> <p>17 don't know.</p> <p>18 COFFEY, Q.C.:</p> <p>19 Q. And the people--I take it, though, this would</p> <p>20 have been coming from Eastern Health, whoever</p> <p>21 -</p> <p>22 DR. ALTEEN:</p> <p>23 A. Oh, it's coming, yes.</p> <p>24 COFFEY, Q.C.:</p> <p>25 Q. Whoever was -</p>	<p>1 COFFEY, Q.C.:</p> <p>2 Q. Other than an assertion?</p> <p>3 DR. ALTEEN:</p> <p>4 A. Yeah, and I don't know the specifics. I don't</p> <p>5 recall the specifics of what that was about.</p> <p>6 COFFEY, Q.C.:</p> <p>7 Q. I take it though that noting this here, there</p> <p>8 were problems with the quality?</p> <p>9 DR. ALTEEN:</p> <p>10 A. Correct.</p> <p>11 COFFEY, Q.C.:</p> <p>12 Q. That was what you were noting, and "will</p> <p>13 recommend all slides be read by two to three</p> <p>14 pathologists in St. John's." Up to this</p> <p>15 point, your understanding had been what? Who</p> <p>16 had been reading the slides?</p> <p>17 DR. ALTEEN:</p> <p>18 A. My understanding originally is that the slides</p> <p>19 would be prepared, in terms of fixing the</p> <p>20 cutting and that. They would go to St.</p> <p>21 John's. They would do then the staining for</p> <p>22 this particular procedure, and then those</p> <p>23 slides would be sent back and interpreted by</p> <p>24 the pathologist at the specific site, be it</p> <p>25 Gander or Grand Falls. What they were</p>

Page 333

1 recommending, on reading this, is that they
 2 were recommending that once the slides go to
 3 St. John's, they will do the processing and
 4 that and they will also do the reading of that
 5 particular--so you'd have it read by two or
 6 three pathologists, rather than a number of
 7 pathologists around the province doing their
 8 own interpretation.
 9 COFFEY, Q.C.:
 10 Q. And what was the significance of that change?
 11 Why would that be necessary? Why would you--
 12 what were you led to believe about why it
 13 might be advisable?
 14 DR. ALTEEN:
 15 A. And again, my recollection is that generally
 16 they would want--they were concerned about
 17 having more standardization, I guess, around
 18 this and limiting that to two or three
 19 pathologists who would develop some expertise
 20 in reading this and interpreted slides the
 21 same, and I can't say that I'm certainly
 22 anyone that can give you information about how
 23 you sit down and look at a one percent, ten
 24 percent, 30 percent reading on a slide, but I
 25 would suggest that there may have been some

Page 334

1 variability between readers and
 2 interpretation, but that's certainly well
 3 beyond me.
 4 COFFEY, Q.C.:
 5 Q. And so Doctor, was it your understanding then,
 6 by the time this conference call ended on
 7 October 4th, that the outside reviewers, one
 8 or more of them, were suggesting that the
 9 problem involving ER/PR might, at least in
 10 part, be related to the fact that so many
 11 different pathologists were involved in it?
 12 Did you have that understanding at the time?
 13 I'm just -
 14 DR. ALTEEN:
 15 A. Again, I don't recall specifically, but the
 16 fact that they would recommend or someone
 17 recommended only two or three pathologists,
 18 would that have any bearing on this. So I'd
 19 be led to believe that it may have been
 20 somebody's recommendation, but where
 21 specifically it came from, I don't know.
 22 COFFEY, Q.C.:
 23 Q. And why it might have been so recommended, the
 24 actual practicalities of why somebody was
 25 saying that, you -

Page 335

1 DR. ALTEEN:
 2 A. I didn't--I can't say I remember all the
 3 details, no.
 4 COFFEY, Q.C.:
 5 Q. Doctor, we have, the Commissioner has seen, on
 6 a number of occasions, a report by Dr.
 7 Banerjee, Diponkar Banerjee, done--the report
 8 is October 7th, dated October 17th 2005.
 9 Trish Wegrynowski's report, I believe is dated
 10 November 9th, 2005. It's P-0047. She's the
 11 chief technologist referred to there.
 12 DR. ALTEEN:
 13 A. Okay.
 14 COFFEY, Q.C.:
 15 Q. Doctor, have you ever seen those reports?
 16 DR. ALTEEN:
 17 A. No.
 18 COFFEY, Q.C.:
 19 Q. Dr. Banerjee's report certainly refers to
 20 issues relating to fixation, poor fixation of
 21 tissue specimens and he talks about internal
 22 controls not being utilized or being there and
 23 not staining appropriately. When did you
 24 first become aware of the fact that there were
 25 potentially fixation issues or issues related

Page 336

1 to the usage of internal controls?
 2 DR. ALTEEN:
 3 A. Again, date wise, can't recall. I do recall
 4 that I have some notes written about that, but
 5 off the top of my head I can't remember the
 6 specific date. There was a teleconference
 7 that we had been on, I think myself and Dr.
 8 Dalton and maybe others that this came up.
 9 But we were not, and my understanding up to
 10 that point in time I was never aware and I
 11 don't think Dr. Dalton or Dr. Gallagher were
 12 ever aware that there were issues related to
 13 fixation or the quality of that from our
 14 laboratory, or certainly nobody passed on that
 15 information to us that I recall.
 16 COFFEY, Q.C.:
 17 Q. And I'll be coming to that. That I believe is
 18 probably late or midway through 2007.
 19 DR. ALTEEN:
 20 A. Okay.
 21 COFFEY, Q.C.:
 22 Q. But with respect to whatever that chief
 23 technologist and the pathologist who were at
 24 Eastern Health in 2005 found, as the VP for
 25 Central Newfoundland, VP Medical Services for

Page 337

1 Central Newfoundland, did you ever feel that
2 you actually had any knowledge of what these
3 two individuals had reported?
4 DR. ALTEEN:
5 A. I never had any knowledge of what they
6 reported, no.
7 COFFEY, Q.C.:
8 Q. Here, Doctor, on the next page is a reference
9 to 142 specimens back, 19, it's probably
10 '97,'98, less than 30 percent and there's 2001
11 cutoff less than ten percent. And you have
12 scribbled out some of this, too.
13 DR. ALTEEN:
14 A. Yeah.
15 COFFEY, Q.C.:
16 Q. And then you go on to say, "All the ER
17 negative independent of PR status, patients
18 who were ER"--I'm sorry, "PR positive greater
19 than 30 percent were treated." And do you
20 know what that's about?
21 DR. ALTEEN:
22 A. Again, just reading this, it's just that the
23 PR positive that it seems like the oncologists
24 were treating people who were PR positive and
25 that may have been irrespective of their ER

Page 338

1 status. My first comment in terms of "all ER
2 negative independent of PR status," no, I
3 don't recall what it was about.
4 COFFEY, Q.C.:
5 Q. And then there's a reference to "Need
6 pathology assistants to prepare specimens.
7 Need dedicated lab staff doing this
8 immunohistochemistry. Regional issues need to
9 ensure collection/preparation done in a
10 standard procedure across the province. This
11 would include standardizing formalin." Okay?
12 DR. ALTEEN:
13 A. Yes.
14 COFFEY, Q.C.:
15 Q. Now, Doctor, from your perspective at the
16 time, in early October, 2005, who would have
17 to coordinate and implement such activities?
18 DR. ALTEEN:
19 A. Those activities in terms of ensuring that
20 collection, preparation?
21 COFFEY, Q.C.:
22 Q. And across the province, is what I'm getting
23 at.
24 DR. ALTEEN:
25 A. Across the province?

Page 339

1 COFFEY, Q.C.:
2 Q. Yes.
3 DR. ALTEEN:
4 A. I don't know that anybody would have the
5 abilities across the province to standardize
6 that. Obviously we're in a relatively small
7 province when it comes to population and most
8 of us knew each other so that most of the lab,
9 the managers of the laboratories, pathologists
10 would know each other across the province so
11 they may have worked together in terms of
12 doing this. But most of this would be left to
13 a regional site, if you had that information
14 that you'd be--it would be part of your, I
15 guess, responsibility to ensure that these
16 things are done properly. So this would
17 devolve--or go down to the manager of the
18 laboratory along with the pathologists,
19 perhaps, in terms of making sure these things
20 were done on a standard approach.
21 THE COMMISSIONER:
22 Q. So do I--the bottom line is there was nobody
23 in a position to require that it be done, it
24 was up to those who were within the regions to
25 make the effort to come to some kind of a

Page 340

1 consensus to do it?
2 DR. ALTEEN:
3 A. I think so. I mean, up to that point in time
4 I don't think anybody, even at this point in
5 time perhaps has the authority or the
6 wherewithal to tell someone that you must do
7 A, B or C as a regional health authority. Now
8 again, most times the people worked--I mean,
9 it's a small province and people work together
10 in terms of standardizing those things, but I
11 don't think that anybody had that
12 responsibility or, again, the authority to do
13 it.
14 COFFEY, Q.C.:
15 Q. Doctor, there's a reference here to "Need
16 dedicated lab staff doing this
17 immunohistochemistry." You would have
18 understood that would be in St. John's?
19 DR. ALTEEN:
20 A. Correct.
21 COFFEY, Q.C.:
22 Q. Okay. "Pathology assistants to prepare
23 specimens." Are there any pathology, or at
24 least while you were VP Medical, was there any
25 thought given to having pathology assistant or

Page 341

1 assistants in Grand Falls or Gander?

2 DR. ALTEEN:

3 A. Again, I think at one time we probably did

4 have a pathology assistant. Now, again, the

5 titles may be different in that, but we had

6 somebody working in the pathology area that

7 was not a lab technologist, per se. So I

8 don't know if that's the same individuals

9 we're talking about, but certainly there may

10 have been people out in the system already

11 that were doing some work in this way.

12 COFFEY, Q.C.:

13 Q. And "Sixty slides to go out from St. John's to

14 Toronto from Central."

15 DR. ALTEEN:

16 A. "West Health Corporation."

17 COFFEY, Q.C.:

18 Q. "West Health Corp," which would be Grand

19 Falls, in effect?

20 DR. ALTEEN:

21 A. Correct.

22 COFFEY, Q.C.:

23 Q. And "Will get report from the Health Care

24 Corporation, St. John's from Mount Sinai." In

25 other words, I take it you understood that the

Page 342

1 Mount Sinai's retest results would come back

2 through the Health Care Corporation?

3 DR. ALTEEN:

4 A. Yeah.

5 COFFEY, Q.C.:

6 Q. To yourself. "327 send mid August. 142

7 reported." That would be, I take it, to date

8 then?

9 DR. ALTEEN:

10 A. Correct.

11 COFFEY, Q.C.:

12 Q. And "Good turnaround times for the new cases."

13 Central's new cases at this point were being

14 done in Mount Sinai?

15 DR. ALTEEN:

16 A. Correct.

17 COFFEY, Q.C.:

18 Q. And, Doctor, I'll ask you now while I'm on it,

19 I appreciate you're not VP Medical now, but up

20 to the time you left that position Mount Sinai

21 continued to do the current ER/PR cases?

22 DR. ALTEEN:

23 A. That's correct. And, in fact, I had a phone

24 call to Dr. Dalton yesterday and we are still

25 doing the testing at Mount Sinai.

Page 343

1 COFFEY, Q.C.:

2 Q. Okay, Mount Sinai. And, Doctor, while you

3 were VP Medical in Central, was there ever any

4 discussion about resuming retesting or testing

5 for ER/PR in St. John's? This would be toward

6 the end of your time.

7 DR. ALTEEN:

8 A. Yeah. Again, I recall some conversation, it

9 was probably again a teleconference, where St.

10 John's may have done the retesting, the

11 verification, their work through with the

12 various players from outside the province to

13 ensure that they were up to whatever

14 standards, and a question was raised in terms

15 of doing that. But I think for some of us,

16 and I remember having a conversation at some

17 point with, probably with Dr. Jenkins, is that

18 we had--I guess the pathologists had to be

19 happy at our various sites, that they were

20 content with having that completed back in St.

21 John's. And where they were content with

22 where it was being done, they wanted to

23 continue that for the present time and it's

24 continued, I'm assuming, up until now.

25 COFFEY, Q.C.:

Page 344

1 Q. Here, Doctor, you've written "360 cases per

2 year breast cancer." I take it and then

3 there's a listing, a breakdown from 1997, '98,

4 '99, 2000, 2001, 2002. And perhaps '03 is cut

5 off because '04 is over here to the side.

6 DR. ALTEEN:

7 A. Right.

8 COFFEY, Q.C.:

9 Q. So you had listed, somebody at least, had

10 listed out the total number of cases per year

11 at that point, or known to that point in time?

12 DR. ALTEEN:

13 A. Correct.

14 COFFEY, Q.C.:

15 Q. For various years across the province?

16 DR. ALTEEN:

17 A. Correct.

18 COFFEY, Q.C.:

19 Q. That information would have come from Eastern

20 Health, I take it?

21 DR. ALTEEN:

22 A. Eastern Health, yes.

23 COFFEY, Q.C.:

24 Q. Doctor, on that point as a general

25 proposition, you know, speaking from the

Page 345

1 perspective of the VP Medical Services for
 2 Central Health Authority in 2005 and 2006 and
 3 for that matter in '07, who was, from your
 4 perspective, taking the lead or responsible
 5 for taking the lead in this? From your, you
 6 know, you're sitting in Central Newfoundland
 7 and -
 8 DR. ALTEEN:
 9 A. From my perspective?
 10 COFFEY, Q.C.:
 11 Q. Yes.
 12 DR. ALTEEN:
 13 A. Probably myself.
 14 COFFEY, Q.C.:
 15 Q. Within your own organization?
 16 DR. ALTEEN:
 17 A. Within the organization and trying to
 18 facilitate the coordination, again, our
 19 emphasis around collecting the right patient
 20 information, again, making sure we hadn't
 21 missed anybody, getting this information out
 22 and then what's the process once we get back
 23 in terms of discussing with patients, the ones
 24 that had--certainly we've had conversation
 25 provincially around how those things were

Page 346

1 going to approach with people who have changed
 2 and that. But the big thing that we were
 3 stuck on initially was, again, collecting the
 4 right information and capturing everybody.
 5 COFFEY, Q.C.:
 6 Q. And, Doctor, within the province who was
 7 responsible, from your perspective. I mean, I
 8 take you would accept responsibility on behalf
 9 of Central, but who were you looking to, if
 10 anyone, to take the lead on this overall?
 11 DR. ALTEEN:
 12 A. In terms of somebody taking the lead for the
 13 whole province, Eastern Health most of the
 14 times had driven that. And certainly as
 15 medical directors at this point in time there
 16 were only four medical directors in the
 17 province, we met on a fairly regular basis and
 18 Dr. Williams certainly would give us updates
 19 on where things were with this issue from the
 20 Eastern Health perspective. But in terms of
 21 who took the lead on this provincially, I
 22 mean, my assumption that because most--again,
 23 the testing or the preparation of these slides
 24 and the immunohistochemistry was done in St.
 25 John's, so it was their, it was their

Page 347

1 laboratory test that was being done. The
 2 interpretation obviously was done at other
 3 sites.
 4 COFFEY, Q.C.:
 5 Q. And, Doctor, if I could, go again, please,
 6 Registrar, to Exhibit P-2352, please? Now,
 7 Doctor, I've gone a couple of days ahead of
 8 this in your notes, but to--looking at this
 9 exhibit toward the bottom of the first page
 10 there's an e-mail from Heather Predham,
 11 September 29th, 2005 to Susan Sullivan and J.
 12 Budgell at Central West Health Care, or Health
 13 Corporation.
 14 DR. ALTEEN:
 15 A. Judy Budgell was--Susan Sullivan, I'm not sure
 16 who Susan Sullivan is.
 17 COFFEY, Q.C.:
 18 Q. But Ms. Budgell was whom?
 19 DR. ALTEEN:
 20 A. Ms. Budgell was our utilization manager at the
 21 Central Health.
 22 COFFEY, Q.C.:
 23 Q. And regional utilization and risk manager, I
 24 take it, right here?
 25 DR. ALTEEN:

Page 348

1 A. Yeah.
 2 COFFEY, Q.C.:
 3 Q. She's described as. And, Doctor, here in this
 4 e-mail Ms. Predham had said, "We have had an
 5 issue with our ER/PR testing. This has been
 6 an issue we've been dealing with all summer."
 7 And she goes on about that. Commissioner was
 8 referred to this a number of times before and
 9 this morning. And she concludes, Ms. Predham
 10 does, by saying, "Why am I telling you all of
 11 this? Well, since June Dr. Cook has requested
 12 that your two boards send in your blocks to be
 13 retested at Mount Sinai to no avail and I want
 14 to give you a heads up as we have to being to
 15 inform people individually about this issue
 16 but the Department of Health wants us to make
 17 a public statement. Since your laboratories
 18 have not responded yet to our request, you may
 19 be asked about the reasons why. What do you
 20 think?" And then, Doctor, Ms. Budgell e-mails
 21 you on the Monday, October 3rd saying, "Larry,
 22 this needs to be discussed." That is Ms.
 23 Budgell's--I'm sorry, Ms. Predham's e-mail.
 24 And then Dr. Dalton advises Ms. Budgell about
 25 the then current status of the matter from his

Page 349

1 perspective in terms of preparing the blocks
 2 to be sent to St. John's or that they'd
 3 already been sent. And she then, of course,
 4 Ms. Budgell then forwarded the whole of those
 5 list of e-mails to yourself. So I take it
 6 then that Ms. Predham's heads up, as it were,
 7 that this is about to go public, potentially,
 8 because the department was pressing to make a
 9 public announcement, there make a public
 10 statement on September 29th, occasioned the
 11 reply here as of October 3rd from Dr. Dalton
 12 setting out the then status of the matter from
 13 Central, Grand Fall's perspective? That would
 14 be -
 15 DR. ALTEEN:
 16 A. Correct.
 17 COFFEY, Q.C.:
 18 Q. - accurate? If we could look, please, then at
 19 Exhibit P-2900? Now, Doctor, this is a series
 20 of e-mails on, again, first of them on this
 21 exhibit is the September 29th one from Ms.
 22 Predham. And on October 3rd Ms. Budgell
 23 advised Ms. Predham that she had spoken to
 24 yourself and you're aware of the issue and has
 25 been in conversation with Bob Williams as of

Page 350

1 this weekend. "It will be discussed today.
 2 Thanks for the information." Do you recall
 3 the conversation with Bob Williams of that
 4 weekend?
 5 DR. ALTEEN:
 6 A. Specifically again, there's some vague
 7 recollection of that. Again, each knew each
 8 other in terms of medical directors. I do
 9 recall having a conversation with him, because
 10 again, I was a little bothered by that e-mail
 11 suggesting that we weren't doing things. And
 12 my conversation, as I recall, and again, I
 13 can't get into specifics, I can't recall the
 14 specifics, but generally was around the fact
 15 that usually when Eastern needed certain
 16 things done, but this may be related to bed
 17 utilization and transferring patients to a
 18 whole bunch of things, we usually try and
 19 comply if we can. I was a little frustrated
 20 that we had--and I had been brief by Dr.
 21 Dalton that all this stuff had occurred and it
 22 had been sent off and I get an e-mail saying
 23 that it's not, you're saying, where is this
 24 coming from. And that, you know, and again,
 25 and I think I responded to Heather at some

Page 351

1 point -
 2 COFFEY, Q.C.:
 3 Q. Yes, we'll see that in a moment. So at the
 4 same time then, Doctor, October 3rd, Ms.
 5 Predham is e-mailing again Ms. Budgell, saying
 6 "The Independent ran a story on Sunday, NTV
 7 are doing a story tonight, have to get in
 8 contact with all of you about communicating
 9 with the surgeons later today or tomorrow.
 10 I'll send you something on what we are doing
 11 in case you want to do something similar",
 12 and, of course, Ms. Budgell forwards that on
 13 to you as well the same day.
 14 DR. ALTEEN:
 15 A. Uh-hm.
 16 COFFEY, Q.C.:
 17 Q. And then on the same day, same morning, in
 18 fact, you wrote to Ms. Predham saying, "I
 19 wanted to respond to your e-mail to Judy
 20 regarding our response to Dr. Cook's request.
 21 For the record, we have responded to his
 22 verbal request in June within two weeks, and
 23 the September 6th written request within three
 24 weeks. This I feel is a quite adequate
 25 turnaround time, particularly in view of the

Page 352

1 fact that it will take months for these
 2 specimens to be processed in Mount Sinai and a
 3 report available to us. I feel the last
 4 sentence in your e-mail is not helpful to any
 5 of us in this trying time. I've had extensive
 6 discussions with Dr. Williams recently
 7 regarding this, and one of our pathologists,
 8 Dr. Maurice Dalton, has been communicating
 9 with Dr. Cook personally. As mentioned, we
 10 always try to comply with requests from your
 11 facility in a timely manner. Thanks for
 12 listening". So I take it, this is your
 13 comment to express your views to Ms. Predham
 14 at the time?
 15 DR. ALTEEN:
 16 A. Yes, correct.
 17 COFFEY, Q.C.:
 18 Q. Doctor, what about Gander at the time, what
 19 was the situation in Gander, do you know?
 20 DR. ALTEEN:
 21 A. Again specifics, no, I don't know, but Gander
 22 in my understanding was complying and sending
 23 their specimens out in an appropriate time as
 24 well.
 25 COFFEY, Q.C.:

Page 353

1 Q. Doctor, in terms of then at that point, and I
2 appreciate Gander and Grand Falls had only in
3 theory merged back on April 1st, 2005 -
4 DR. ALTEEN:
5 A. Right.
6 COFFEY, Q.C.:
7 Q. Int one board. In a practical way, who was
8 overseeing the response by the hospital in
9 Gander? I mean, you were doing it in Grand
10 Falls?
11 DR. ALTEEN:
12 A. Again I'm going to think that perhaps Betty
13 Ford was.
14 COFFEY, Q.C.:
15 Q. Oh, Ms. Ford, that was Ms. Ford?
16 DR. ALTEEN:
17 A. I think so.
18 COFFEY, Q.C.:
19 Q. So she was kind of doing parallel -
20 DR. ALTEEN:
21 A. She was overseeing that and we were sort of
22 communicating back and forth, but making sure
23 that we're doing basically the same thing on
24 both sides of our region, and she was again
25 the CEO, she was probably one of the staple

Page 354

1 people that had been around Gander for a
2 period of time, knew the laboratory, and I
3 think facilitated bringing some staff together
4 to get these things done.
5 THE COMMISSIONER:
6 Q. Doctor, before you leave this e-mail, I'm
7 going to butt in again. Dr. Alteen, you say
8 four lines down, "I feel that this is a quite
9 appropriate turnaround time, particularly in
10 view of the fact that it will take months for
11 these specimens to be processed in Mount Sinai
12 and report available to us". Had anyone
13 talked to you about the turnaround time out of
14 Mount Sinai, and if so, who, and what did they
15 say?
16 DR. ALTEEN:
17 A. It may have been Dr. Dalton that may have
18 provided me some information. Again I think
19 we already at that point in time had some
20 information in terms of specimens that were
21 returned. So many sent out and then again,
22 there's some recall now, that we just went
23 through 100 and some odd that were back.
24 These things were taking time, and again I--
25 certainly Dr. Williams may have provided me

Page 355

1 some information as well. Generally most of my
2 conversation would have been with Dr. Dalton
3 in terms of the amount of time it was taking
4 to get specimen results back and that.
5 THE COMMISSIONER:
6 Q. Thank you.
7 COFFEY, Q.C.:
8 Q. Doctor, if we could look, please, at Exhibit
9 P-2903. Doctor, this is a letter dated
10 October 4th, 2005. It's from Dr. Paul
11 Gardiner, Medical Director at the Bliss Murphy
12 Cancer Centre. It's addressed to "Dear
13 Colleague", which is really the physicians of
14 Newfoundland.
15 DR. ALTEEN:
16 A. Correct.
17 COFFEY, Q.C.:
18 Q. Advising them about the ER/PR matter, and do
19 you recognize the handwriting here?
20 DR. ALTEEN:
21 A. That's mine.
22 COFFEY, Q.C.:
23 Q. And you've noted here, received October 7th,
24 2005, copied to Drs. Dobbin, Heneghan,
25 O'Driscoll, Blackwood, Hagee, Cox, Barnhill

Page 356

1 and -
2 DR. ALTEEN:
3 A. Naijfi.
4 COFFEY, Q.C.:
5 Q. Naijfi.
6 DR. ALTEEN:
7 A. Who was the general surgeons in our region,
8 both sides.
9 COFFEY, Q.C.:
10 Q. So both sides of the region?
11 DR. ALTEEN:
12 A. Correct.
13 COFFEY, Q.C.:
14 Q. And this was your effort to ensure that Dr.
15 Gardiner's message got out to the people
16 concerned?
17 DR. ALTEEN:
18 A. That's right. They may have potentially have
19 already had that from Dr. Gardiner himself,
20 but I was making sure that they had a copy
21 from me, and again during--I think during this
22 whole process, there would have been
23 communications going on between the various
24 physicians as well.
25 COFFEY, Q.C.

Page 357

1 Q. Exhibit P-0613, please. Doctor, this is a
2 series of e-mails, but one of them is October
3 3rd, 2005, e-mail from yourself to Ms. Predham
4 that I just took you through.

5 DR. ALTEEN:
6 A. Right.

7 COFFEY, Q.C.:
8 Q. She then responded to you the next day,
9 October 4th, saying, "Please understand I did
10 not intend my e-mail as anything, but a heads
11 up. I was of the understanding, obviously
12 incorrectly, that your area had not responded
13 to Dr. Cook's request. When I was briefing
14 our insurer, they asked if I would mention
15 this to the risk managers in the two
16 authorities, yours and another. As you can
17 appreciate, this situation has immense
18 potential from the insurer's point of view and
19 they are concerned that any miscommunication
20 could add to it. This is a trying time, a lot
21 of people involved in recording any activities
22 and information, and I obviously made a
23 mistake. My only intent was to be helpful,
24 and I apologize if you have taken any
25 offense", and there's--if we could look then

Page 358

1 at Exhibit P-1951, please. Doctor, there's a
2 response by yourself, October 4th, 2005, to
3 Ms. Predham saying, "I do appreciate the
4 seriousness of this issue, and I don't think I
5 was offended as much as frustrated after
6 reviewing the charts of the 80 plus cases from
7 the old central west side of our region last
8 night, and then after reading your e-mail,
9 probably just the lateness of the day. As
10 mentioned, this is a significant issue for all
11 of us and I want to avoid placing blame on
12 people versus just trying to sort this out for
13 the benefit of our patients/communities. I
14 appreciate your reply". So, Doctor, that is
15 just one simple e-mail exchange. Were there
16 any similar ones that you recall afterward?

17 DR. ALTEEN:
18 A. Not that I recall.

19 COFFEY, Q.C.:
20 Q. That was it.

21 DR. ALTEEN:
22 A. Yeah.

23 COFFEY, Q.C.:
24 Q. That was your first addressing what you
25 thought perhaps was a--perhaps an unfair

Page 359

1 suggestion that you hadn't responded, your
2 organization?

3 DR. ALTEEN:
4 A. Well, first off, I mean, I was made aware by
5 Dr. Dalton, and certainly made aware by Dr.
6 Gallagher, that we had sent out our slides and
7 that. So when someone suggests to us that we
8 weren't, I mean, you're just frustrated at the
9 time, I guess, and at the end of the day, I
10 mean, that's not the important thing, having
11 the patients looked after was more important.

12 COFFEY, Q.C.:
13 Q. Doctor, if we could look, please, at Exhibit
14 P-2904. Doctor, this is again a continuation
15 of that series of e-mails. Ms. Predham
16 responded to you on October 5th. She says,
17 "Thanks for your e-mail". She notes, "This
18 has taken a majority of my waking hours since
19 June, I think, and I totally appreciate your
20 frustration". She goes on to say, "I need
21 your advice, though. I was going through the
22 database yesterday evening, and after the
23 conference call yesterday, I noticed that some
24 of the people whose samples we have sent away
25 have addresses in other regions, such as Grand

Page 360

1 Falls, Labrador, Deer Lake. Would it be of
2 any benefit to you and the other regions if I
3 sent you their names, other demographics, and
4 sample dates. We did do the test, but do you
5 think there might be duplication - I'm sorry,
6 may be duplication of effort. I would
7 appreciate your thoughts". Do you recall how
8 that worked itself out afterward, Doctor?

9 DR. ALTEEN:
10 A. I did at some point, and again timing-wise, I
11 can't be specific, but I, in fact, met with
12 Heather Predham at her office down at the old
13 Miller Centre on one, perhaps two occasions,
14 to go back and compare databases and again
15 make sure we have--again you're not counting
16 twice, make sure you have everybody, you
17 identified people appropriately, you got the
18 right information in. So in terms of--yes,
19 there was work done in terms of sharing
20 information between the organizations.

21 COFFEY, Q.C.:
22 Q. Exhibit P-1955. Doctor, this is an e-mail
23 from Stephanie Power, October 5th, 2005, to
24 Kelly Keats and copied to yourself. The
25 subject is a briefing note. So who's Kelly

Page 361	Page 363
<p>1 Keats?</p> <p>2 DR. ALTEEN:</p> <p>3 A. Kelly Keats was my secretary at the time.</p> <p>4 COFFEY, Q.C.:</p> <p>5 Q. And Ms. Power was working -</p> <p>6 DR. ALTEEN:</p> <p>7 A. She was communications.</p> <p>8 COFFEY, Q.C.:</p> <p>9 Q. Communications, and she writes, "Attached is a</p> <p>10 briefing note that I prepared for Dave and</p> <p>11 Larry. They may need to distribute this to</p> <p>12 some stakeholders in the near future.</p> <p>13 However, I know that Larry will want to make</p> <p>14 several changes to it before that occurs. As</p> <p>15 I will be away for the next week, I'm</p> <p>16 forwarding this to you so that you will be</p> <p>17 able to do so in my absence. Thank you".</p> <p>18 Then this is the then briefing note from Ms.</p> <p>19 Power, approved by her, October 4th, 2005.</p> <p>20 Doctor, how was it that Ms. Power came to</p> <p>21 prepare a briefing note for yourself and Mr.</p> <p>22 Diamond?</p> <p>23 DR. ALTEEN:</p> <p>24 A. Again I don't know that I can give you a lot</p> <p>25 of information as to how that came to be. She</p>	<p>1 mentioned. Again when you have communication</p> <p>2 people involved, they have a background in</p> <p>3 terms of how you do these things, and again, I</p> <p>4 guess, one was trying to be consistent that if</p> <p>5 we had to do any discussions with the media,</p> <p>6 we'd make sure that we were talking from</p> <p>7 basically the same page in terms of</p> <p>8 understanding information to be able to</p> <p>9 present that in a fair and reasonable manner</p> <p>10 to people.</p> <p>11 COFFEY, Q.C.:</p> <p>12 Q. Doctor, at that time in the fall of 2005, from</p> <p>13 Central Health's perspective, if anyone was</p> <p>14 going to speak to the media, who would it have</p> <p>15 been?</p> <p>16 DR. ALTEEN:</p> <p>17 A. It would probably be me.</p> <p>18 COFFEY, Q.C.:</p> <p>19 Q. And did you, in fact, end up speaking to the</p> <p>20 media in the fall of 2005 that you recall?</p> <p>21 DR. ALTEEN:</p> <p>22 A. I have never spoken to the media about this</p> <p>23 ever.</p> <p>24 COFFEY, Q.C.:</p> <p>25 Q. Were you ever asked to?</p>
<p>Page 362</p> <p>1 sat in on most of the meetings or</p> <p>2 teleconferences that we would have had, would</p> <p>3 have compiled the data, and she was somebody</p> <p>4 that probably would put all this information</p> <p>5 together for us that we can then look at that</p> <p>6 and make some edits rather than having to do</p> <p>7 it ourselves, but again it's more of an</p> <p>8 information assurance that we have the right--</p> <p>9 captured the right information.</p> <p>10 COFFEY, Q.C.:</p> <p>11 Q. Doctor, briefing note, the idea of something</p> <p>12 labelled a briefing note, in this particular</p> <p>13 case it's issue, ER/PR receptor tests</p> <p>14 resulting in false negatives.</p> <p>15 DR. ALTEEN:</p> <p>16 A. Uh-hm.</p> <p>17 COFFEY, Q.C.:</p> <p>18 Q. And it's got a background, current status, key</p> <p>19 message, and then other. How often in your</p> <p>20 job as VP Medical would you get a briefing</p> <p>21 note in this sort of style?</p> <p>22 DR. ALTEEN:</p> <p>23 A. Not very often. Again up until we had</p> <p>24 communication people, I would never see a</p> <p>25 briefing note as in this style, as you</p>	<p>Page 364</p> <p>1 DR. ALTEEN:</p> <p>2 A. Never.</p> <p>3 COFFEY, Q.C.:</p> <p>4 Q. The media never did contact yourself or</p> <p>5 Central to your knowledge?</p> <p>6 DR. ALTEEN:</p> <p>7 A. Certainly not myself personally, and no one</p> <p>8 that would have come to me in terms of asking</p> <p>9 about it.</p> <p>10 COFFEY, Q.C.:</p> <p>11 Q. I take it, though, Doctor, the idea of the</p> <p>12 briefing note would be that if it turned out</p> <p>13 that there was a request for media</p> <p>14 interaction, some kind of media interview, and</p> <p>15 you or the--yourself or Mr. Diamond was the</p> <p>16 person who was going to do so, that this would</p> <p>17 form at least potentially part of the basis</p> <p>18 for the interview?</p> <p>19 DR. ALTEEN:</p> <p>20 A. Yes, and it was her--I mean, it was her</p> <p>21 written briefing notes. Obviously, her</p> <p>22 comments about "that I may want to make</p> <p>23 changes to that" are based that she may have</p> <p>24 had some--if some errors in that that I would</p> <p>25 not--that I would want rectified, I guess.</p>

Page 365

1 COFFEY, Q.C.:

2 Q. Doctor, here looking down through the

3 background, it mirrors--replicates much of, or

4 at least other briefing notes the Commissioner

5 as seen in other exhibits, or other style

6 briefing notes. The last paragraph here says

7 under background, "Additionally, on September

8 6th, 2005, a list of all patients that tested

9 negative for ER/PR receptors for the period

10 May, 1997, and March, 2004, was compiled and

11 sent with the corresponding specimens to

12 Eastern Health. Combined, these lists include

13 88 patients from CNRHC, and 62 patients from

14 JPMH", which I take it is 88 from Grand Falls

15 -

16 DR. ALTEEN:

17 A. Grand Falls.

18 COFFEY, Q.C.:

19 Q. And 62 from Gander?

20 DR. ALTEEN:

21 A. Correct.

22 COFFEY, Q.C.:

23 Q. Doctor, here under current status is a

24 reference to external pathology and technical

25 reviews have been completed on the Ventana

Page 366

1 machine. These reports are pending. Doctor,

2 and I appreciate that--well, first of all, do

3 you know if, in fact, there were ever any

4 external pathology and technical reviews on

5 the Ventana?

6 DR. ALTEEN:

7 A. Specifically, I can't say, no.

8 COFFEY, Q.C.:

9 Q. Did you ever ask Eastern Health or anybody

10 from Eastern Health for the external pathology

11 reviews or technical reviews or results?

12 DR. ALTEEN:

13 A. No.

14 COFFEY, Q.C.:

15 Q. Why not?

16 DR. ALTEEN:

17 A. I guess, from my perspective as a medical

18 director, we would have to rely on Eastern

19 Health as being the experts when it came to

20 the immunohistochemistry. We don't do this in

21 our laboratory in a general sense. Certainly

22 getting that information, I mean, you're

23 sitting down and saying who's going to sit

24 down and review all this and interpret that

25 and say does it make sense--obviously the

Page 367

1 pathologists may have been involved in that,

2 but if you're not doing this on a regular

3 basis, so, I mean, Eastern Health I would have

4 thought would have had to get that information

5 back, review that, and present it to us and it

6 might have been through Dr. Williams at our

7 medical director's meeting or whatever saying

8 that they have things back up to standard, but

9 would the thought have crossed my mind to get

10 those reports and have somebody for us

11 externally review that and say does it meet,

12 no, it didn't cross my mind at the time.

13 COFFEY, Q.C.:

14 Q. At the time, Doctor, did you have any

15 understanding that these were somehow

16 confidential, peer review matters at that

17 time?

18 DR. ALTEEN:

19 A. I would not have had any knowledge one way or

20 the other, no.

21 THE COMMISSIONER:

22 Q. Okay, Mr. Coffey. Dr. Alteen, would your

23 attitude towards the reviews have been any

24 different had you had any knowledge that

25 activities within your own organization might

Page 368

1 be the subject of the review?

2 DR. ALTEEN:

3 A. Certainly.

4 THE COMMISSIONER:

5 Q. Thank you.

6 COFFEY, Q.C.:

7 Q. So if you had known that the reviews might

8 reflect upon, arguably reflect upon something

9 going on in your own organization.

10 DR. ALTEEN:

11 A. Well I mean, I would have thought at that

12 point that we deserve to have a copy of a

13 report, because I mean, at that point in time

14 if we don't get that, how do you make any

15 changes if you don't have the knowledge.

16 COFFEY, Q.C.:

17 Q. And we will be returning to this fixation

18 matter toward the end of your evidence,

19 Doctor. Here, Doctor, Ms. Power has said

20 "results are arriving at the Health Sciences

21 Centre in batches, although none of the

22 retests today have been for patients of

23 Central Health, it is predicted that there may

24 be a 25 percent conversion rate. This means

25 that approximately 38 patients of Central

Page 369

1 Health will need to be contacted to and told
 2 that the result of their initial test was
 3 incorrect. They tested negative but were in
 4 fact positive. For many patients this will
 5 mean that they underwent a harsher more
 6 evasive course of treatment chemotherapy
 7 unnecessarily." That information, Doctor,
 8 where would that have come from?
 9 DR. ALTEEN:
 10 A. I'm not sure whether Stephanie picked that up
 11 as part of the information she had from
 12 listening to teleconferences and I can't say
 13 specifically because, again, we did not talk
 14 to the media about this, but I don't know and
 15 again, whether I did edit some of this after,
 16 but certainly I don't think I would have
 17 worded it specifically the same way.
 18 COFFEY, Q.C.:
 19 Q. If it had come to that.
 20 DR. ALTEEN:
 21 A. If it had come to that, we probably would have
 22 made some changes on how that was presented.
 23 COFFEY, Q.C.:
 24 Q. What would you have, you anticipate you would
 25 -

Page 370

1 DR. ALTEEN:
 2 A. Again, just looking at this point in time, I
 3 certainly would have probably said for some
 4 patients, rather than many patients because I
 5 don't know that I could at that point in time
 6 say who would have undergone chemotherapy,
 7 because it's not all based on ER/PR status in
 8 terms of chemotherapy and that, so you would
 9 have to be, you know, more general. I don't
 10 think that I would, again, that I would put in
 11 the word "many" just looking at that from a
 12 view point right now.
 13 COFFEY, Q.C.:
 14 Q. Doctor, we go to the next page, the final page
 15 of this, there's key messages and the idea of
 16 key messages, up to that point in your career,
 17 had you encountered key messages?
 18 DR. ALTEEN:
 19 A. Again, specifically and it's hard to go back,
 20 I mean key messages, yes, over time I would
 21 have, with communication with people and one
 22 of our VPs at the time who was, who had had
 23 the communication side of the organization
 24 responsibility, this was something that they
 25 were used to talking about. So at some point,

Page 371

1 but whether it was then, before that, after
 2 that, I don't recall specifically, but yes,
 3 key messages would have come up as when you're
 4 doing briefings with the media, there are key
 5 points that you want to get out to people.
 6 COFFEY, Q.C.:
 7 Q. And here under key messages, the fourth bullet
 8 notes, "Once all patients have been
 9 identified, general practitioners and senior
 10 medical officers will contact those clients."
 11 See that?
 12 DR. ALTEEN:
 13 A. Yes.
 14 COFFEY, Q.C.:
 15 Q. Now by that point in time, this would be the
 16 beginning of October, 2005, Central, at least
 17 in Grand Falls, had identified all the
 18 hundred, well the hundred and fifty, Central
 19 and Gander.
 20 DR. ALTEEN:
 21 A. And Gander.
 22 COFFEY, Q.C.:
 23 Q. Had identified about a hundred and fifty
 24 patients whose samples were going to be
 25 retested. Were any steps taken to notify the

Page 372

1 GPs and senior medical officers as to who
 2 those 150 patients were, so that they could be
 3 identified? I mean, were any steps actually
 4 taken to do this?
 5 DR. ALTEEN:
 6 A. I, again, the recollection of this, we had had
 7 a number of conversations and meetings around
 8 how this was going to be communicated to
 9 people, whether it's general practitioners,
 10 whether Eastern Health was going to do all
 11 this, whether we were doing part of this. I
 12 mean, it changed over time and while at one
 13 point it may have been thought that perhaps we
 14 just send this information to the general
 15 practitioner and let them know, there was some
 16 concerns raised about this because obviously a
 17 patient who may have been seen in the past and
 18 had Doctor A as their, particularly their
 19 family practitioner, with the turn over
 20 particularly in our rural sites, Dr. A was
 21 probably long gone and how do you make sure
 22 that you have the right person identified who
 23 is going to do this. And if I'm getting that
 24 back on a patient of mine who was treated by
 25 somebody else in the past, I mean, whose

Page 373

1 responsibility is it to do all of that? It's
 2 like the way we were going to do this perhaps
 3 changed over time.
 4 COFFEY, Q.C.:
 5 Q. And certainly that didn't end up being done?
 6 DR. ALTEEN:
 7 A. No.
 8 COFFEY, Q.C.:
 9 Q. The fifth bullet under "key messages", is "It
 10 is anticipated that retesting results from
 11 Mount Sinai may not be available for four to
 12 six months." Now this is the beginning of
 13 October, 2005. Had you seen any such estimate
 14 and you would have received this at the time?
 15 DR. ALTEEN:
 16 A. Correct.
 17 COFFEY, Q.C.:
 18 Q. On October 5th, this briefing note from Ms.
 19 Power.
 20 DR. ALTEEN:
 21 A. Right.
 22 COFFEY, Q.C.:
 23 Q. Did that strike you as, you know, outside the
 24 ballpark at the time or -
 25 DR. ALTEEN:

Page 374

1 A. I don't think so, because I think again and I
 2 have to say again it's really difficult to go
 3 back and try and keep all these dates and
 4 timings and that straight, because obviously
 5 the numbers changed over time. But, I mean,
 6 we were made aware I think that Mount Sinai
 7 may have been, again, they were another
 8 organization trying to run their own programs,
 9 as well as trying to do this extra work, that
 10 things may have been slowing down with them.
 11 But as I look at it now, would I look at that
 12 as being outside what we were expecting?
 13 Probably not.
 14 COFFEY, Q.C.:
 15 Q. Because, Doctor, this is the beginning of
 16 October, if you actually do the arithmetic,
 17 October, November, December, January, in fact
 18 towards the end of January that the results
 19 are forthcoming.
 20 DR. ALTEEN:
 21 A. Right, so like I said, when you look at it
 22 now, you say yeah, that was probably what we
 23 were talking about, but at that point in time
 24 would that have struck me as being outside of
 25 what we had talked about at that time? I

Page 375

1 don't think so.
 2 COFFEY, Q.C.:
 3 Q. And what I'm getting at here, Doctor, is you
 4 weren't under, at that time, the beginning of
 5 October, you weren't thinking, look, the
 6 results will be back in three weeks, what's
 7 she talking about, four to six months?
 8 DR. ALTEEN:
 9 A. No, no, not at all.
 10 COFFEY, Q.C.:
 11 Q. In the final bullet under "key messages"
 12 Doctor, is "All patients whose test results
 13 show a variance will be contacted at the
 14 earliest possible opportunity." So, Doctor,
 15 at that point in time, this is again the
 16 beginning of October of 2005, what did you
 17 envisage would happen when the results came
 18 back?
 19 DR. ALTEEN:
 20 A. Again, trying to remember specifically what we
 21 were talking about in October, early October
 22 of '05 verses what we did after, but the
 23 recollection was initially that Eastern was
 24 going to take the lead and make the
 25 notification, informing people both that they

Page 376

1 may have been tested and that their test
 2 results have come back and here are the
 3 results, but over time obviously that changed.
 4 So back then I can't say which way we were
 5 actually discussing at that point in time.
 6 COFFEY, Q.C.:
 7 Q. And here, Doctor, under "other", the category
 8 of "other", Ms. Power as written, "Eastern
 9 Health has been in contact with several
 10 hospitals across the country that previously
 11 used the DAKO system. None had identified
 12 this issue, however upon retesting of their
 13 own specimens, many have also encountered a
 14 similar conversion rate. As a result, they
 15 are also in the process of beginning a
 16 retesting at other laboratories." Now did you
 17 at the time have any reason to believe that
 18 that was so?
 19 DR. ALTEEN:
 20 A. Again, timing wise, I can't say specifically,
 21 but certainly over a period of time and
 22 conversations specifically with Dr. Williams
 23 in terms of giving us briefings on
 24 teleconferences, as well as on the medical
 25 director's meetings, it was my understanding

Page 377

1 that this is just the tip of the iceberg
 2 across the country and possibly across North
 3 America in terms of some of the results having
 4 to be retested.
 5 COFFEY, Q.C.:
 6 Q. And here, this attributes it to the usage of
 7 the DAKO system.
 8 DR. ALTEEN:
 9 A. Correct.
 10 COFFEY, Q.C.:
 11 Q. Doctor, at that point in the beginning of
 12 October, 2005, did you understand that Mount
 13 Sinai which was doing the retesting, was in
 14 fact utilizing that very DAKO system?
 15 DR. ALTEEN:
 16 A. I can't say I know, no.
 17 COFFEY, Q.C.:
 18 Q. And when I say that, that's what we've been
 19 told generally that if it's not the exact same
 20 machine, it was one very close to it, so -
 21 DR. ALTEEN:
 22 A. I can't say that I -
 23 COFFEY, Q.C.:
 24 Q. Do you think if that had been brought home to
 25 you by Dr. Williams, look, Mount Sinai, where

Page 378

1 we're sending all these is using the same
 2 machine that we got rid of a year ago, would
 3 you have remembered that, do you think?
 4 DR. ALTEEN:
 5 A. I think I would have remembered that and
 6 certainly might have asked the question, you
 7 know, well how reliable is that if it's not
 8 reliable here, why is it reliable there?
 9 COFFEY, Q.C.:
 10 Q. And finally then, Doctor, "as there are very
 11 few specialized laboratories in the country,
 12 the increased demand for retesting will likely
 13 make for a lengthy waiting period" and I take
 14 it, well wherever else, whether there was any
 15 other retesting elsewhere, the sheer demand
 16 out of St. John's, you understood over time
 17 did require or delayed Mount Sinai's ability
 18 to respond?
 19 DR. ALTEEN:
 20 A. Yes.
 21 THE COMMISSIONER:
 22 Q. Mr. Coffey, it's near the break time for the
 23 day, so wherever there's a convenient spot.
 24 COFFEY, Q.C.:
 25 Q. Commissioner, if we could then come back in

Page 379

1 the morning and I'll take you to October 7th,
 2 Doctor, thank you.
 3 DR. ALTEEN:
 4 A. Great, thank you.
 5 THE COMMISSIONER:
 6 Q. All right then, 9:30, thank you.

Page 380

1 CERTIFICATE
 2 I, Judy Moss, hereby certify that the foregoing is
 3 a true and correct transcript in the matter of the
 4 Commission of Inquiry on Hormone Receptor Testing,
 5 heard on the 22nd day of September, A.D., 2008
 6 before the Honourable Justice Margaret A. Cameron,
 7 Commissioner, at the Commission of Inquiry, St.
 8 John's, Newfoundland and Labrador and was
 9 transcribed by me to the best of my ability by
 10 means of a sound apparatus.
 11 Dated at St. John's, Newfoundland and Labrador
 12 this 22nd day of September, A.D., 2008
 13 Judy Moss

Inquiry on Hormone Receptor Testing

<p>-#-</p> <p>#21 [1] 130:14</p>	<p>12th [3] 104:20 210:12 214:25</p> <p>13 [2] 213:7 243:4</p> <p>13th [4] 101:4 103:4 104:11 308:25</p>	<p>2004 [12] 62:11 79:9 83:19 101:25 137:20 138:3 145:2 291:4 293:12 309:3,7 365:10</p>	<p>24 [1] 222:1</p> <p>249 [3] 147:5,23 214:23</p> <p>24th [3] 200:18,24 206:17</p>	<p>300:19,21,23</p> <p>40-step [1] 323:6</p> <p>45 [1] 200:24</p> <p>4th [13] 56:20 60:7 81:15 190:7 196:2 321:23 322:12 324:7 334:7 355:10 357:9 358:2 361:19</p>
<p>-\$-</p> <p>\$730 [1] 119:20</p>	<p>14 [3] 187:21 292:7 293:1</p> <p>142 [7] 154:7,18,23,24 156:3 337:9 342:6</p> <p>14th [2] 160:11 189:10</p>	<p>2005 [117] 6:5 7:13,25 8:19,23 9:18 10:13 11:2 11:14 18:2,6,8 22:2,17 24:5,21 25:2 26:3,13,20 31:12 32:24 33:1 41:5 43:7,11,24 50:3 55:19 59:24 62:20 65:19 68:24 70:7 76:20 78:19 81:2 81:15 82:16 84:22 98:7 103:4 104:20 105:13 108:7 111:12 114:18 116:25 118:25 124:1 126:19 128:8 130:1,6,9 136:11 141:23 148:17 152:14 154:9 157:23 160:6,7 210:22 211:2,11 219:17 225:3 226:1,4 228:9,15 239:18,22 276:1 276:3,20 277:2 281:15 282:14,14 285:10 288:2 290:20 291:5 297:10,15 305:19 308:18,25 309:7 310:21 312:2 313:23 321:23 323:6,19 335:8 335:10 336:24 338:16 345:2 347:11 353:3 355:10,24 357:3 358:2 360:23 361:19 363:12,20 365:8 371:16 373:13 375:16 377:12</p>	<p>25 [8] 147:15,22,23 148:2 319:16 330:6,11 368:24</p> <p>250 [1] 148:15</p> <p>254 [1] 215:1</p> <p>25th [1] 206:17</p>	<p>-5-</p> <p>5 [4] 76:21 229:5 232:25 245:11</p> <p>57 [1] 65:19</p> <p>59 [1] 210:25</p> <p>5th [14] 60:8 76:20 78:19 124:1,2 191:15 232:24 245:16 247:12,17,23 359:16 360:23 373:18</p>
<p>-?-</p> <p>'03 [2] 85:10 344:4</p> <p>'04 [2] 151:17 344:5</p> <p>'05 [7] 60:8 104:11 146:10 151:17 152:18 322:12 375:22</p>	<p>15 [1] 160:9</p> <p>150 [2] 320:9 372:2</p> <p>15th [4] 22:17 24:5 25:2 260:11</p> <p>16th [3] 160:7 220:23 222:24</p>	<p>2005^o [1] 77:23</p> <p>2005-2006 [1] 67:24</p> <p>2005/06 [1] 325:5</p> <p>2005/2006 [1] 260:23</p>	<p>266 [2] 2:3,4</p> <p>26th [4] 209:18 236:2 237:13,15</p> <p>27 [1] 156:3</p> <p>274 [2] 2:4,6</p> <p>2741 [1] 123:24</p> <p>2748 [2] 172:24 173:1</p> <p>275 [3] 3:3,4,5</p> <p>2754 [1] 194:25</p> <p>2784 [1] 238:9</p> <p>2785 [1] 239:6</p>	<p>-6-</p> <p>6 [4] 3:2 154:20 158:1 229:15</p> <p>60 [2] 324:19 327:1</p> <p>62 [3] 319:24 365:13,19</p> <p>63 [5] 186:1,13,15 210:24 211:3</p> <p>6th [14] 70:7 76:20 77:20 78:9 124:1 126:1 190:14 245:8 247:2 308:18 312:2 313:23 351:23 365:8</p>
<p>---</p> <p>-and [1] 204:14</p>	<p>16th [3] 160:7 220:23 222:24</p> <p>17th [1] 335:8</p> <p>18 [1] 18:8</p> <p>18th [6] 24:21 105:13 118:25 237:13 260:19 262:3</p> <p>19 [1] 337:9</p> <p>196 [1] 212:24</p> <p>1978 [1] 275:20</p> <p>1982 [1] 275:22</p> <p>1983 [2] 275:24 276:1</p> <p>1984 [1] 4:25</p> <p>1985 [1] 5:1</p> <p>1990 [1] 230:2</p> <p>1992 [1] 229:11</p> <p>1996 [3] 229:8 304:6,11</p> <p>1997 [27] 79:9 83:19 137:19 225:3 229:17,19 229:22,24 230:3,9,10,12 230:18 231:14 236:8 238:13 239:5,21 290:24 293:12 304:6,14 305:14 323:4,4 344:3 365:10</p>	<p>2006 [24] 136:19 162:11 167:7 168:18 169:18 177:22 178:12 179:15 181:3 183:16 185:22 188:7,10 189:10 191:15 195:1 196:3 197:2 201:12 210:24,25 221:23 323:19 345:2</p> <p>2007 [29] 146:9 180:3 200:18 206:17 208:24 209:18 210:12 213:16 214:10,25 215:24 217:20 220:23 224:3 225:1 226:6 232:7,24 236:3 238:10 239:7 241:7,13 248:13 254:18 255:12 276:4 281:24 336:18</p> <p>2008 [11] 1:4 243:4 245:8 245:12 247:12 250:22 260:11 262:4 263:23 380:5,12</p> <p>202 [1] 160:21</p> <p>204 [1] 160:21</p> <p>20th [1] 31:12</p> <p>21 [1] 213:10</p> <p>21st [2] 113:21 161:2</p> <p>22 [1] 1:4</p> <p>2249 [1] 98:2</p> <p>22nd [6] 32:24 120:20 157:23 276:4 380:5,12</p> <p>2351 [1] 312:3</p>	<p>27th [4] 114:23 215:23 237:13,13</p> <p>2814 [1] 261:23</p> <p>2890 [1] 275:2</p> <p>28th [9] 114:18 161:9 237:21 238:10 285:9 290:20 298:19 310:6,12</p> <p>29 [2] 225:1 226:6 47:14 48:18 65:1 68:24 72:2 288:2 347:11 349:10 349:21</p> <p>2nd [5] 56:16 177:22 179:13 183:16 250:22</p>	<p>-7-</p> <p>7 [3] 221:16 292:7 293:1</p> <p>70 [6] 154:24 291:21 292:9,22 293:1 322:21</p> <p>75/25 [1] 300:25</p> <p>7th [8] 80:24 81:2 154:7 185:22 220:6 335:8 355:23 379:1</p>
<p>-0-</p> <p>0047 [1] 67:22</p> <p>0048 [1] 67:22</p> <p>0049 [1] 67:23</p> <p>0087 [1] 55:17</p> <p>00SU3738 [1] 168:2</p> <p>0263 [1] 275:6</p>	<p>1998 [4] 276:1,1,15,17</p> <p>1999 [3] 83:19 324:15 325:20</p> <p>19th [3] 108:7 111:11,22</p> <p>1st [15] 7:25 8:19,23 9:18 10:13 11:2,14,24 116:25 224:3 232:3,5 277:2 282:14 353:3</p>	<p>-3-</p> <p>3 [2] 178:2 186:17</p> <p>30 [15] 291:1,3,20 300:19 300:21 312:22,23 322:24 322:24 323:17 330:6,11 333:24 337:10,19</p> <p>30th [14] 43:6 45:14 50:3 52:20 54:19 72:5 162:11 162:12 164:7 165:21 167:7 239:7 241:7,13</p> <p>31 [2] 101:25 309:3</p> <p>31st [3] 168:18 169:18 276:20</p> <p>32 [2] 221:21,25</p> <p>327 [1] 342:6</p> <p>360 [1] 344:1</p> <p>37,000 [1] 233:5</p> <p>379 [1] 2:6</p> <p>38 [2] 65:20 368:25</p> <p>3:13 [1] 43:24</p> <p>3rd [6] 317:1 348:21 349:11,22 351:4 357:3</p>	<p>-3-</p> <p>3 [2] 178:2 186:17</p> <p>30 [15] 291:1,3,20 300:19 300:21 312:22,23 322:24 322:24 323:17 330:6,11 333:24 337:10,19</p> <p>30th [14] 43:6 45:14 50:3 52:20 54:19 72:5 162:11 162:12 164:7 165:21 167:7 239:7 241:7,13</p> <p>31 [2] 101:25 309:3</p> <p>31st [3] 168:18 169:18 276:20</p> <p>32 [2] 221:21,25</p> <p>327 [1] 342:6</p> <p>360 [1] 344:1</p> <p>37,000 [1] 233:5</p> <p>379 [1] 2:6</p> <p>38 [2] 65:20 368:25</p> <p>3:13 [1] 43:24</p> <p>3rd [6] 317:1 348:21 349:11,22 351:4 357:3</p>	<p>-8-</p> <p>80 [2] 322:21 358:6</p> <p>800 [1] 131:14</p> <p>88 [3] 319:25 365:13,14</p> <p>8:22 [1] 130:14</p> <p>8th [13] 26:2,13,20 28:20 31:5,22 130:1,5,8 146:16 148:16 154:2,3</p>
<p>-1-</p> <p>1 [5] 281:15,17 290:19 309:7 316:14</p> <p>1-800 [2] 90:19 98:14</p> <p>10 [22] 147:13,20,22 148:6,18 150:12,13,17 150:18 263:23,23,24 291:20,22 292:6,8,18,21 293:1 298:20 300:18 324:24</p> <p>100 [4] 92:9 151:1 188:21 354:23</p> <p>1088 [1] 173:19</p> <p>10th [5] 188:7,10 197:2 197:9 208:24</p> <p>11 [6] 82:16 154:23 178:7 229:17 260:21 263:23</p> <p>11:36 [1] 46:10</p> <p>11th [6] 83:16 84:22 98:7 196:25 197:13 214:10</p> <p>12 [2] 154:18,20</p> <p>12:08 [1] 46:16</p>	<p>20 [11] 158:2 292:6,8,18 293:1 298:20 316:11 324:14,24 325:20,22</p> <p>200 [3] 65:12,25,25</p> <p>2000 [5] 83:18 102:18 154:16 325:19 344:4</p> <p>2000's [1] 305:3</p> <p>2001 [17] 5:5,19,21 83:18 229:8 291:1 293:12 315:18 316:2,9,14,20 322:23,25 323:17 337:10 344:4</p> <p>2002 [10] 6:4 49:1,3,8 83:17 154:8,19 288:4 293:12 344:4</p> <p>2003 [3] 83:18 154:9 251:16</p>	<p>-2-</p> <p>20 [11] 158:2 292:6,8,18 293:1 298:20 316:11 324:14,24 325:20,22</p> <p>200 [3] 65:12,25,25</p> <p>2000 [5] 83:18 102:18 154:16 325:19 344:4</p> <p>2000's [1] 305:3</p> <p>2001 [17] 5:5,19,21 83:18 229:8 291:1 293:12 315:18 316:2,9,14,20 322:23,25 323:17 337:10 344:4</p> <p>2002 [10] 6:4 49:1,3,8 83:17 154:8,19 288:4 293:12 344:4</p> <p>2003 [3] 83:18 154:9 251:16</p>	<p>-4-</p> <p>4 [4] 2:3 55:19 59:24 186:18</p> <p>4.doc [1] 195:3</p> <p>40 [5] 138:1 291:19</p>	<p>-9-</p> <p>9:30 [1] 379:6</p> <p>9th [6] 154:2 156:18 195:1 196:24 309:7 335:10</p>
<p>-A-</p> <p>A-L-T-E-E-N [1] 274:21</p> <p>A.D [2] 380:5,12</p> <p>a.m [4] 33:1 130:14 146:20 200:25</p> <p>abbreviations [3]</p>	<p>20 [11] 158:2 292:6,8,18 293:1 298:20 316:11 324:14,24 325:20,22</p> <p>200 [3] 65:12,25,25</p> <p>2000 [5] 83:18 102:18 154:16 325:19 344:4</p> <p>2000's [1] 305:3</p> <p>2001 [17] 5:5,19,21 83:18 229:8 291:1 293:12 315:18 316:2,9,14,20 322:23,25 323:17 337:10 344:4</p> <p>2002 [10] 6:4 49:1,3,8 83:17 154:8,19 288:4 293:12 344:4</p> <p>2003 [3] 83:18 154:9 251:16</p>	<p>-4-</p> <p>4 [4] 2:3 55:19 59:24 186:18</p> <p>4.doc [1] 195:3</p> <p>40 [5] 138:1 291:19</p>	<p>-4-</p> <p>4 [4] 2:3 55:19 59:24 186:18</p> <p>4.doc [1] 195:3</p> <p>40 [5] 138:1 291:19</p>	<p>-A-</p> <p>A-L-T-E-E-N [1] 274:21</p> <p>A.D [2] 380:5,12</p> <p>a.m [4] 33:1 130:14 146:20 200:25</p> <p>abbreviations [3]</p>

<p>168:20,22 170:9 abilities [1] 339:5 ability [6] 120:12 159:22 249:13 250:12 378:17 380:9 able [36] 14:8 23:23 37:8 58:18 86:14,22 87:16 99:10,25 101:25 102:18 115:16 116:5 119:16 124:14,15 138:6 145:4 159:23 161:17 164:23 207:17,17 208:16 249:1 249:14 251:24 268:7 271:14 272:18 273:18 284:19 291:7 305:15 361:17 363:8 absence [2] 207:5 361:17 absolutely [1] 30:14 academically [1] 194:19 Acadia [1] 275:20 accept [1] 346:8 accepted [4] 19:7 293:6 299:10,22 accepting [1] 181:9 access [13] 80:18 90:7,16 90:24 93:5 120:12 218:12 262:21 268:5,11 321:1,7 321:10 accessed [1] 155:23 accessibility [1] 314:24 accessing [2] 91:2 155:7 accommodate [2] 40:24 119:16 accompany [1] 226:15 accompanying [1] 288:3 accordance [1] 214:18 accordingly [3] 122:18 170:23 271:9 accounted [1] 215:1 accreditation [12] 254:17,19 255:13,19,22 256:3,4,9 259:18 260:6 260:8 270:22 accuracy [1] 63:5 accurate [3] 132:19 208:16 349:18 accurately [1] 48:7 acknowledge [2] 270:23 271:7 acronym [2] 256:19 257:5 act [1] 125:9 action [10] 1:13 49:23 104:5 121:20 122:5,13 122:16 170:18 239:13 270:3 actions [1] 47:20 active [2] 25:18 198:13 actively [2] 28:1 201:22 activities [11] 54:16 133:21 203:2,11 239:11 270:18 284:14 338:17,19 357:21 367:25 activity [1] 13:14</p>	<p>actual [11] 11:20 32:24 68:6 81:14 131:7 156:25 172:14 173:1 214:25 276:8 334:24 acute [3] 7:19,22 8:4 ad [1] 111:15 adapt [1] 138:11 add [3] 112:5 269:21 357:20 adding [1] 98:17 addition [5] 97:18 160:12 183:23 187:4 245:24 additional [4] 98:20 118:19 132:8 261:14 Additionally [2] 230:1 365:7 address [3] 24:16 269:19 312:9 addressed [7] 21:4 43:16 104:20 118:7,23 204:1 355:12 addressees [2] 79:1 80:4 addresses [2] 260:16 359:25 addressing [10] 23:10 38:5 41:7 60:23 119:9 194:7 247:11 287:10 309:23 358:24 adequate [2] 253:12 351:24 adjust [1] 138:11 admin [1] 119:22 administration [4] 79:16 119:24 235:23 244:22 administrative [11] 10:11 54:18 60:19 71:18 77:21 118:1,3 120:7 127:2 157:5 161:19 administrator [1] 279:20 administrators [3] 28:17 59:25 283:1 admitted [1] 131:10 ADMs [1] 262:4 adopt [1] 128:17 adopted [1] 129:18 adopting [1] 59:12 ads [1] 110:22 advance [1] 67:5 advances [1] 34:11 advantage [1] 97:16 advantages [1] 96:13 adverse [4] 16:2,20 210:1 271:8 advice [12] 34:7 77:13 113:13 121:13 162:24 163:4,12 170:2 171:10 244:21 273:1 359:21 advisable [1] 333:13 advise [17] 49:20 77:20 95:15 103:12 110:1 112:12 114:3 117:23</p>	<p>121:20 122:5 126:2,6 161:7 163:6 184:12 226:6 244:19 advised [15] 14:19 35:21 52:21 89:22 94:5 105:6 111:24 135:13 139:25 164:16 178:9,11 204:10 212:12 349:23 advises [6] 40:19 186:19 187:5,14 239:9 348:24 advising [5] 165:23 203:9 257:22 314:22 355:18 advisor [1] 184:5 advisory [6] 246:17 249:25 250:1 269:9 278:20 279:10 affairs [1] 287:9 affected [6] 131:13 195:20 292:8 318:11,14 327:10 afternoon [3] 111:24 245:23 274:7 afterward [3] 99:14 358:16 360:8 again [125] 12:22 21:9 50:14 64:24 69:12 108:5 116:8 160:1 165:21 177:20 179:11 180:11 183:15 196:23 204:14 206:9 222:19,21 225:16 229:5 232:1 242:16 247:21 280:24,24 283:18 284:3,9,18 285:25 286:5 287:2 289:1,21 295:9 296:12,19,22 297:1,10 297:10,11,15,18 299:17 301:6 302:4,24 303:17 303:21 304:21 305:12 306:4,8,12,14,21,23 307:21 308:5 312:14 313:7 315:6 316:19 317:10 318:17 320:17,25 323:13 325:7,12 326:14 326:25 328:4 333:15 334:15 336:3 337:22 340:8,12 341:3,4 343:8 343:9 345:18,20 346:3 346:22 347:5 349:20 350:6,7,10,12,24 351:5 352:21 353:12,24 354:7 354:18,21,24 356:21 359:14 360:10,14,15 361:24 362:7,23 363:1,3 369:13,15 370:2,10,19 372:6 374:1,2,7 375:15 375:20 376:20 against [2] 89:23 94:6 agency [1] 260:2 agenda [2] 36:7 40:12 ago [3] 18:22 190:17 378:2 agreed [5] 36:15 178:22 193:7 209:6 243:20 agreement [2] 19:2 240:1 ahead [3] 73:1 113:25 347:7</p>	<p>ailments [1] 295:17 al [1] 1:9 alerted [1] 49:6 alive [3] 307:3 320:10,17 allow [1] 119:17 almost [2] 83:17 203:1 alone [1] 304:25 along [12] 82:6 138:9 147:5 149:5 157:18 196:15 217:6,10 218:23 302:25 319:15 339:18 Alteen [263] 2:5 28:9 33:9 81:7,22 88:2,4 90:7 92:13 168:19 200:19 274:13,14,19,20 275:15 275:18 276:10,16,23 277:4,11,16,20,25 278:4 278:12 279:16,21,25 280:6,10,15,23 281:16 281:20 282:1,5,10,17,22 283:3,8,16 284:17 285:3 285:7,13,24 286:12,17 286:25 287:11 288:5,12 288:18 289:9,15,20 290:9 290:15 291:14,24 292:10 292:15,20 293:2,8,20,24 294:10,14,24 296:1 297:9 298:7,13,21,25 299:4,12 299:16,24 300:5,13,24 301:4,19,24 302:19 303:14,25 304:5,15,20 305:10,20 306:3,20 307:11,15,20 308:4,12 308:20 309:12,20 310:3 310:18,23 311:4,22 312:4 312:11 313:6 314:1,7,12 314:18 315:1,15,24 316:18 317:4,9,24 318:7 318:16,24 319:4,21 320:1 320:6,13,24 321:19 322:1 322:5,14 323:12 324:10 324:16,21,25 325:6,18 326:20,24 327:12,18 328:1 329:3,7,12,16,22 330:3,8,13,22 331:1,18 331:24 332:3,9,17 333:14 334:14 335:1,12,16 336:2 336:19 337:4,13,21 338:12,18,24 339:3 340:2 340:19 341:2,15,20 342:3 342:9,15,22 343:7 344:6 344:12,16,21 345:8,12 345:16 346:11 347:14,19 347:25 349:15 350:5 351:14 352:15,20 353:4 353:11,16,20 354:7,16 355:15,20 356:2,6,11,17 357:5 358:17,21 359:3 360:9 361:2,6,23 362:15 362:22 363:16,21 364:1 364:6,19 365:16,20 366:6 366:12,16 367:18,22 368:2,10 369:9,20 370:1 370:18 371:12,20 372:5 373:6,15,20,25 374:20 375:8,19 376:19 377:8 377:15,21 378:4,19 379:3 alternate [3] 161:21 164:4 262:10 always [5] 74:17,22</p>	<p>115:1 313:24 352:10 amalgamated [1] 6:5 amalgamation [1] 8:2 ambulance [1] 8:16 America [1] 377:3 American [2] 256:21 315:21 among [1] 30:20 amongst [2] 41:5 181:3 amount [13] 31:23 41:8 49:13 55:7 105:16 135:3 144:10 153:10,11 218:2 268:3 292:13 355:3 amounts [2] 199:5 270:8 analysis [6] 151:11,20 151:25 152:4 245:22 327:7 analyze [1] 227:25 announcement [4] 132:16 202:17,22 349:9 answer [13] 61:9,11 68:7 87:11,16 124:16,21 125:20 127:25 183:19 221:2 243:23 319:19 answered [2] 125:12 218:18 answers [6] 60:22 124:19 218:9 221:3 222:3 227:18 anticipate [4] 77:7 112:4 125:13 369:24 anticipated [8] 57:6 98:23 136:3 146:3 163:1 244:6 260:6 373:10 anybody's [2] 129:17 328:15 anyway [5] 127:6 181:5 182:1 197:9 263:24 anyways [1] 160:15 AO [3] 125:8,16,19 AOs [1] 117:24 apart [3] 156:9 175:14 203:11 apologies [2] 28:9 183:18 apologize [4] 80:24 126:5 320:4 357:24 apparatus [1] 380:10 apparent [1] 254:16 appear [1] 36:13 Appearances [1] 1:5 application [2] 194:23 304:8 applies [1] 253:19 apply [1] 323:19 applying [1] 242:20 appointment [1] 11:21 appreciate [18] 54:14 84:1 91:3 101:19 102:15 133:10 152:6 174:5 274:3 304:21 342:19 353:2 357:17 358:3,14 359:19 360:7 366:2 appreciated [1] 125:23 appreciating [1] 302:10</p>
---	--	---	---	---

<p>appreciative [2] 126:11 165:6</p> <p>apprised [1] 205:6</p> <p>approach [16] 38:25 53:22 59:6,12 114:6 125:4 128:16 129:18 130:25 164:2 187:6 247:17 261:16 309:15 339:20 346:1</p> <p>approached [2] 131:19 218:8</p> <p>approaches [2] 127:17 127:21</p> <p>appropriate [15] 99:12 131:3 161:6 164:9 180:24 189:25 241:2 244:1 247:4 260:2 263:18 270:3 287:22 352:23 354:9</p> <p>appropriately [4] 306:9 307:4 335:23 360:17</p> <p>approved [3] 31:13 32:23 361:19</p> <p>April [24] 6:3 7:25 8:19 8:23 9:17 10:12 11:2,14 11:24 18:8 24:21 32:10 178:12 237:23 238:21 276:3,15,17 277:1 281:15 281:17 282:14 309:7 353:3</p> <p>archival [1] 74:19</p> <p>archived [1] 71:20</p> <p>area [20] 6:25 7:4,7 14:3 40:21 41:4 76:25 81:12 82:3 83:2 102:8 109:10 178:11 198:22 266:23 271:4 277:19 281:2 341:6 357:12</p> <p>areas [6] 7:10 34:18 192:17 253:19 267:4 268:1</p> <p>arguably [1] 368:8</p> <p>arisen [4] 17:10,10 227:4 263:22</p> <p>arising [3] 36:6 213:16 271:22</p> <p>arithmetic [3] 65:22 148:14 374:16</p> <p>Arm [2] 7:9,9</p> <p>Armed [1] 5:2</p> <p>arose [6] 56:13 152:14 216:21 225:5 230:9 248:12</p> <p>arrange [3] 116:7 156:20 237:17</p> <p>arranged [1] 124:12</p> <p>arrangement [1] 295:22</p> <p>arrangements [5] 91:13 91:21 93:9 226:8 247:20</p> <p>arriving [2] 202:21 368:20</p> <p>article [2] 70:9,10</p> <p>ASAP [1] 236:18</p> <p>ascertain [1] 303:18</p> <p>ascertained [2] 252:8 264:4</p> <p>aside [2] 228:24 308:2</p>	<p>aspect [4] 69:21 144:23 192:9 331:15</p> <p>aspects [11] 47:23 55:10 64:4 68:21 123:11 142:3 142:10 143:7 223:13 268:9 271:13</p> <p>assembling [2] 103:8 103:14</p> <p>assertion [2] 319:18 332:2</p> <p>assessment [1] 12:22</p> <p>assign [1] 132:7</p> <p>assigned [2] 72:17 125:8</p> <p>assist [1] 116:5</p> <p>assistance [3] 55:8 102:23 298:2</p> <p>assistant [11] 21:19 53:24 54:2 60:19 77:21 81:3 161:19 253:8 258:17 340:25 341:4</p> <p>assistants [3] 338:6 340:22 341:1</p> <p>assisting [2] 51:17 273:23</p> <p>associated [5] 93:3 178:18 181:7 288:25 298:4</p> <p>association [10] 1:14 19:1,5 20:25 21:22 28:2 28:17 32:18 193:7 256:22</p> <p>assume [1] 284:5</p> <p>assumed [2] 11:13,16</p> <p>assuming [8] 257:7 292:16 305:14 309:21 319:22 320:14 329:23 343:24</p> <p>assumption [4] 308:5 318:17 328:21 346:22</p> <p>assurance [14] 12:8,20 12:23 13:12 14:4,7,10 39:16 256:10 257:12 270:18 283:11 284:6 362:8</p> <p>assurances [2] 262:21 271:17</p> <p>asterisk [1] 210:23</p> <p>Atlantic [1] 193:2</p> <p>Atlantic's [1] 193:11</p> <p>attached [12] 60:21 79:19 81:8 130:4 167:14 195:2,9 196:2 197:3 225:8 245:9 361:9</p> <p>attachment [3] 61:5 82:19 197:4</p> <p>attempt [1] 73:24</p> <p>attempting [2] 191:2 227:3</p> <p>attempts [3] 161:5 203:20 244:17</p> <p>attend [3] 40:25 298:4,5</p> <p>attendance [4] 33:9 157:25 177:22 191:16</p> <p>attended [3] 204:1 278:22 286:20</p> <p>attendees [2] 26:7,24</p>	<p>attending [12] 77:13 115:21 121:11 163:7,22 170:1 171:1 175:12 187:2 190:1,22 259:9</p> <p>attention [8] 132:5 167:20 245:15 254:21 268:8 286:10,16,22</p> <p>attitude [2] 181:8 367:23</p> <p>attributed [1] 90:6</p> <p>attributes [1] 377:6</p> <p>attributing [2] 88:18 317:22</p> <p>Audit [1] 33:5</p> <p>August [8] 32:10 220:22 222:24 260:11,19 262:3 309:7 342:6</p> <p>authorities [17] 1:17 29:11 34:17,17 38:13 41:20 54:3 58:3 81:6 133:17 193:19 227:7 260:13 263:15 267:3,7 357:16</p> <p>authority [20] 1:11 8:12 38:7 39:6 56:7 59:22 61:7 71:12 77:4 84:7 122:14 131:19 219:18 249:9 250:17 276:6 340:5 340:7,12 345:2</p> <p>automated [6] 63:7 137:21,23 139:24 142:14 273:11</p> <p>aux [1] 102:9</p> <p>avail [2] 44:12 348:13</p> <p>availability [2] 117:23 268:6</p> <p>available [20] 15:14 40:16 50:24 70:2 74:16 75:2 87:15 103:11 106:21 118:16,20 120:1,25 131:17 163:9 208:12 314:10 352:3 354:12 373:11</p> <p>avenues [1] 249:22</p> <p>average [1] 31:16</p> <p>avoid [1] 358:11</p> <p>await [1] 189:25</p> <p>awaiting [2] 190:18,20</p> <p>aware [52] 17:18 32:12 35:1 46:1 50:7,21 52:13 69:23 77:6 82:3 91:7,12 91:16,20,24 92:2,3 102:12 129:13 136:12 139:17 140:5 141:18,22 141:23 151:25 153:24 181:15 194:9 205:14 219:13 233:2,11,12 239:14 248:17 254:6,14 284:24 285:22 286:2 289:6 310:9,10 313:2 335:24 336:10,12 349:24 359:4,5 374:6</p> <p>away [8] 72:10 112:25 164:19 183:18 207:1 224:18 359:24 361:15</p> <p>awhile [1] 283:6</p>	<p>B [2] 320:5 340:7</p> <p>Bachelor [1] 275:19</p> <p>background [12] 4:22 56:9 116:1 117:6 137:14 137:18 275:17 311:17 362:18 363:2 365:3,7</p> <p>backlog [1] 158:12</p> <p>Baker [1] 81:20</p> <p>balance [1] 188:19</p> <p>ball [1] 194:3</p> <p>ballpark [1] 373:24</p> <p>Banerjee [3] 67:23 335:7 335:7</p> <p>Banerjee's [2] 141:14 335:19</p> <p>banks [1] 162:5</p> <p>Barnes [13] 117:14,15 117:17 119:13 120:20 122:22 125:15 126:4 154:4 156:18 160:8 161:1 161:9</p> <p>Barnes' [1] 157:2</p> <p>Barnhill [1] 355:25</p> <p>Barry [9] 105:15,22 309:3,9 320:2,2,4,4,5</p> <p>base [4] 5:13 73:20 99:11 325:9</p> <p>based [20] 66:1 68:20 75:1 139:18 193:4 212:18 236:5 276:21 287:23 302:3 313:1 316:22 319:8 319:12 322:18 323:22 325:10 328:16 364:23 370:7</p> <p>basic [1] 263:19</p> <p>basis [15] 35:20 41:14 75:18 99:7,19,20 128:22 136:4 252:15 267:16 296:14 300:2 346:17 364:17 367:3</p> <p>Basques [1] 102:9</p> <p>batch [2] 114:22 136:5</p> <p>batched [1] 135:2</p> <p>batches [2] 136:20 368:21</p> <p>Bay [4] 7:9 47:5 72:9 102:10</p> <p>bearing [2] 66:19 334:18</p> <p>became [8] 17:18 20:17 58:8 99:20 135:17 287:4 289:6 319:10</p> <p>become [9] 67:3 113:15 223:17 245:3 248:17 254:14 256:11 284:24 335:24</p> <p>bed [3] 121:2 147:19 350:16</p> <p>beds [1] 121:1</p> <p>began [2] 5:1 316:15</p> <p>begin [4] 18:1 44:14 112:21 316:14</p> <p>beginning [15] 17:19 43:7 54:18 59:1,4 78:3 181:2 189:8 371:16 373:12 374:15 375:4,16</p>	<p>376:15 377:11</p> <p>begins [2] 65:2 191:24</p> <p>begun [2] 69:8 260:1</p> <p>behalf [8] 71:22 112:17 128:11 219:14 260:16 262:16 269:22 346:8</p> <p>belle [1] 99:9</p> <p>belong [1] 218:25</p> <p>below [2] 161:3 198:5</p> <p>Belvedere [1] 33:5</p> <p>ben [1] 149:5</p> <p>bene [1] 213:19</p> <p>benefit [3] 128:5 358:13 360:2</p> <p>benefited [1] 147:16</p> <p>Bernard [5] 1:6 2:3,6 4:5 274:14</p> <p>best [32] 23:20 40:12 47:2 74:6 91:16 94:13 107:3 107:5 108:24 118:14 127:25 131:16 149:19 155:13 165:5 170:5 174:8 193:5 194:19 200:9 206:1 207:4 208:21 232:11 237:4,9 242:18 258:9,21 272:13 273:3 380:9</p> <p>better [4] 127:14 132:14 196:18 227:25</p> <p>Betty [4] 87:23,25 302:21 353:12</p> <p>between [26] 18:24 24:21 53:3,6 58:3 69:14 75:20 142:13 151:17 193:8,13 199:21 202:17,20 223:22 225:3 230:12 231:13 240:20 268:6,23 302:12 306:13 334:1 356:23 360:20</p> <p>beyond [3] 34:11 86:20 334:3</p> <p>big [3] 331:10,22 346:2</p> <p>biochemical [1] 323:4</p> <p>biopsies [3] 229:10 246:5 257:16</p> <p>biopsy [1] 229:9</p> <p>births [1] 155:16</p> <p>bit [10] 25:20,22 74:17 87:7 106:8 117:2 132:20 227:8 267:3 312:18</p> <p>Blackwood [1] 355:25</p> <p>blame [1] 358:11</p> <p>blank [1] 223:2</p> <p>blast [1] 80:17</p> <p>Bliss [2] 81:10 355:11</p> <p>block [1] 197:18</p> <p>blocks [14] 44:11 48:21 50:9,12 51:18,19 135:23 152:23 195:15 197:20 214:17 272:6 348:12 349:1</p> <p>board [6] 131:9 277:5,8 278:22 279:12 353:7</p> <p>Boardroom [1] 33:5</p> <p>boards [11] 6:4 8:2 32:18 44:11 48:20 55:20 93:23</p>
--	--	--	---	--

Inquiry on Hormone Receptor Testing

243:20,22 321:23 348:12 Bob [18] 36:16 39:9 85:5 85:7 87:23 89:17 94:17 94:19,22 98:19 114:3 158:9,16 162:15 178:7 178:11 349:25 350:3 body [1] 61:25 Bonne [3] 47:5 72:9 102:10 Bonnell [6] 110:12,16 112:7 130:3 317:3,7 Bonnie [21] 126:2,6,19 126:24 127:1,1 154:3 160:22 161:12,14 162:5 163:9 164:8,23 169:22 189:9 190:8 207:2,14 210:11 213:14 Bonnie's [1] 161:2 Boone [1] 190:15 boss [1] 289:8 bothered [1] 350:10 bottom [9] 82:10 94:4 98:5 132:12 196:25 220:23 229:6 339:22 347:9 boundaries [2] 7:3,11 Bradbury [1] 33:11 Brazil [1] 1:8 break [11] 25:20 116:16 123:19,20 206:4,5,11 235:17 274:7,9 378:22 breakdown [1] 344:3 breast [46] 1:12 60:3,24 61:12 64:14 79:2,3,8,15 81:12 101:24 102:6 111:14 131:14 150:4 154:4,6 158:2,5,20 178:19 181:8 216:2 219:17 229:8 230:1 245:13,20 287:14 292:19 294:21,23 295:14 300:7 306:22 307:9 309:2,11 309:18,21 318:10,13,19 322:21,22 344:2 Brewer [1] 260:11 brief [3] 181:21 237:18 350:20 briefing [17] 195:2,9 262:8 357:13 360:25 361:10,18,21 362:11,12 362:20,25 364:12,21 365:4,6 373:18 briefings [2] 371:4 376:23 briefly [2] 18:7 226:4 bring [8] 25:25 49:22 71:13 98:18 167:20 258:25 308:16 321:16 bringing [4] 89:23 95:2 259:10 354:3 broad [2] 19:8 261:10 broadcast [1] 130:6 broadening [1] 8:9 broadly [1] 80:14 Brocklehurst [3] 1:12 266:11,12	broke [1] 318:22 Brook [3] 5:23 130:15 267:21 brought [4] 140:16 286:15,22 377:24 Browne [11] 1:9 234:17 234:18 235:3,5,9,14,21 266:3,4,20 Budgell [12] 43:20 45:4 347:12,15,18,20 348:20 348:24 349:4,22 351:5 351:12 Budgell's [1] 348:23 budget [2] 118:16 119:22 bulk [2] 152:6 201:11 bullet [6] 308:24 309:5 310:14 371:7 373:9 375:11 bunch [1] 350:18 bureaucrats [2] 21:20 54:4 Burgeo [2] 7:6 102:10 business [3] 36:6 258:24 269:15 butt [1] 354:7 bylaws [1] 278:18	306:22 307:9 309:18,21 318:10,13,19 321:8 322:21 323:8 344:2 355:12 candidates [1] 193:5 cannot [7] 77:1 125:12 186:10 191:3 245:24 271:18 282:11 canvass [1] 26:18 CAP [4] 256:14,15,18 257:9 capability [2] 80:16 87:11 capacity [1] 59:23 caps [1] 245:20 captured [4] 302:7,15 306:9 362:9 capturing [1] 346:4 Carbonear [1] 81:20 cardiopulmonary [2] 279:3 281:4 care [31] 6:2,23 7:13,19 7:22 8:4,24 9:10,18 18:8 34:11 38:8 75:5,12 76:2 81:4 137:4,20 138:8 145:10 187:1 218:8 268:9 277:5 295:23 311:9,13 328:9 341:23 342:2 347:12 career [6] 5:2,5,8 294:6 294:6 370:16 careful [1] 234:10 carried [1] 285:2 carrying [2] 157:6 203:7 case [14] 55:7 64:16 111:1 131:4 177:3 195:19 197:22 199:10 225:4 239:24 245:17 261:11 351:11 362:13 cases [53] 12:18 38:15,16 93:25 101:17,23 102:14 104:5 105:16 106:14 111:5 114:20,24 115:13 147:5 148:16 163:3 198:12,24 199:3,11,23 214:16 215:1 225:6,9,18 225:25 226:8 227:9 231:12 233:2,4 236:7 238:12,20,20 245:22,25 261:14 291:21 292:19,22 292:23 309:1,9,16 342:12 342:13,21 344:1,10 358:6 categories [2] 195:6 225:15 category [6] 195:18 225:17 229:6,16 325:15 376:7 Cathi [1] 33:11 caught [1] 286:15 CBC [2] 130:14 146:18 cc [1] 104:14 cc'd [1] 46:12 CCOHTA [5] 33:20,25 34:19 35:5 37:21 central [51] 1:16 28:10 28:12 45:6,7 88:11 92:15	92:21 100:20 178:11 240:22 261:1 262:14 276:2,5,14,20,22 277:2 277:5,6,12,14,23 278:8 280:19 283:13 294:20 296:7 297:23 308:9 309:15 320:20 321:24 336:25 337:1 341:14 343:3 345:2,6 346:9 347:12,21 349:13 358:7 363:13 364:5 368:23,25 371:16,18 Central's [1] 342:13 centralization [1] 181:18 centre [13] 38:8 62:12 81:10 91:5 92:21 114:21 219:13,19 268:15 290:23 355:12 360:13 368:21 centres [2] 267:20 268:13 CEO [13] 53:21,23 54:15 55:11 104:15 166:4 200:23 250:23 262:13 278:25 280:25 289:12 353:25 CEOs [10] 41:1 45:25 193:18 260:12,15,17 262:4,16 263:9,16 certain [21] 30:14 31:22 49:13 106:13 109:18 132:22 142:3,4,6 153:10 153:11 218:1 246:9 247:22 248:23 249:23 272:18 300:9,9 302:2 350:15 certainly [71] 12:12,14 15:24 31:21 49:12,21 55:10 62:24 71:3 86:16 86:19 87:8,17 96:16 99:23 122:17 126:2,6 127:23 132:21 133:13 135:1 136:19 138:7 139:18 142:8,18 148:14 181:13 192:14 198:7 199:1 203:6 218:2 224:22 248:20 249:12,17 263:23 268:10,16 269:22 270:14 271:2 288:21 301:6 302:20 304:23 305:7,12 310:25 312:9 316:5 333:21 334:2 335:19 336:14 341:9 345:24 346:14,18 354:25 359:5 364:7 366:21 368:3 369:16 370:3 373:5 376:21 378:6 Certificate [2] 2:7 380:1 certified [2] 329:24 330:6 certify [1] 380:2 cetera [2] 144:6,7 chair [4] 18:9,19 19:6 23:22 chairing [1] 20:14 chairmen [1] 279:8 challenges [7] 20:3,9 21:4 63:14 180:16 192:16 254:11 challenging [1] 19:17	change [21] 8:7 40:23 66:15 79:10 144:3 280:22 315:18 319:17 324:2,9 326:2,9,25 327:9 328:11 328:12,15,20,20,25 333:10 changed [36] 7:24 66:3 69:3 117:2 134:23 135:11 194:13 208:6 240:9,10 240:13,13 241:21,22 243:14 244:12 281:7,11 284:3 291:4 297:24 298:5 315:7,7 324:3 325:9,14 326:1,7,15 328:12 346:1 372:12 373:3 374:5 376:3 changes [12] 31:12 91:10 112:2 142:7 289:22 311:7 311:18 312:13 361:14 364:23 368:15 369:22 changing [5] 143:21 322:18 323:14 328:5,23 channels [2] 135:19 204:13 charts [5] 154:8 225:8 303:22,24 358:6 Chaytor [1] 1:7 checked [5] 188:14 217:4 252:15,16,18 checking [3] 147:6 156:5 258:1 checklist [1] 205:18 Cheers [1] 161:14 chemotherapy [4] 296:19 369:6 370:6,8 chest [1] 230:4 chief [17] 9:2,24 10:13 44:10 46:7 48:19 52:1 100:8 130:25 198:4 245:10 249:12,16 331:8 331:16 335:11 336:22 chosen [2] 212:17 213:3 chronology [1] 312:17 circumstances [4] 89:21 218:15 223:16 270:2 claim [1] 122:15 Clarenville [1] 27:25 clarification [5] 124:11 127:8 212:5 226:10 227:6 clarify [4] 209:23 227:8 227:13 234:21 class [2] 1:13 239:12 clear [2] 26:25 246:19 clearly [3] 124:15 133:14 195:10 client [4] 61:7,14 66:20 190:25 clients [21] 60:23 79:17 161:4 186:4,8,13,15 187:7,11,19 190:19 210:19,21,23 211:3 212:19,24 213:4,7 270:20 371:10 clients/patients [5] 183:20,22,24 189:22 191:4 clinic [14] 60:3 75:8,23
--	---	--	---	--

-C-**C** [4] 229:6 257:7,9 340:7**C-0262** [4] 3:4 275:6,6
275:12**C-0263** [3] 3:5 275:7,13**Cabinet** [1] 209:8**calculated** [2] 156:2
208:3**calculation** [3] 153:2
291:23 292:19**calculations** [1] 153:12**calls** [45] 97:11 99:22,24
100:3 115:14 117:7
120:18,22,24 124:4,5,7
124:14,18 154:5,6,15,25
156:12 157:2 160:10,21
161:3 164:10,24 165:5,9
183:22,25 186:2,4,11,14
187:15,16,20,22 189:24
201:13 203:20 211:11,12
260:24 321:4,12**Cameron** [2] 1:3 380:6**Canada** [4] 34:11 260:8
329:25 330:6**Canadian** [3] 1:15 5:2
256:22**cancer** [66] 1:12,15 40:15
60:24 61:12 64:14 70:12
73:25 75:5,8,10,11 76:1
77:22 79:3,3,8 81:3,10
101:6,11 102:6,24 111:14
115:14 125:1 130:6
131:14 158:3,5,20 162:21
162:25 168:24 169:1
178:19 181:8 216:2
219:17 222:23 223:20
287:14 294:21,23 295:12
295:14,22,23 296:5,6,11
296:24 300:8 303:16

98:21 115:14 125:1 162:22,25 168:24 169:2 222:23 223:21 296:5,24 clinical [21] 8:25 9:19 10:12,19 12:2 49:18 104:4 117:6 120:11 163:2 170:4 171:12 187:1 244:18 283:1 284:1,14 304:7,10,22 331:21 clinics [3] 295:23,23 297:11 close [3] 40:22 55:13 377:20 CNRHC [1] 365:13 Co-counsel [2] 1:6,7 Coady [1] 33:13 coast [2] 131:12 141:25 Coffey [922] 1:6 2:3,6 4:1,6,15,18,19 5:7,15,20 6:8,17,24 7:12,17,23 8:18,22 9:6,12,16 10:3 10:10,17,22 11:1,6,11 11:25 12:7 13:13,17 14:12,18,24,25 15:9,15 15:20,25 16:6,13,17,24 17:2,3,16,22 18:5,13,17 19:11 20:12 21:25 22:9 22:13,22 23:3,7 24:2,9 24:14,20 25:1,15,24 26:6 26:11,17,23 27:4,11,17 27:22 28:3,8,13,18 31:3 31:9,20 32:2,7,15,21 33:4,8,18,23 34:3,14,22 35:4,13,25 36:5,11,23 37:3,7,12,18 38:3,11 39:5,14,21 40:2,7,13 41:11,25 42:8,14,19,23 43:3,10,15,19,23 44:2 44:22 45:3,8,13,21 46:8 47:10 48:10,14,24 49:4 50:1 51:7,11,16,22 52:3 52:16,18,25 53:14,15 54:13,23 55:15,25 56:6 56:19 57:2,22 58:2,6,18 58:20,25 59:5,11,19 60:6 60:11,15,20 61:18,24 62:3,9,18 64:23 65:17 66:7,11,18 67:7,13,19 67:20 68:4,23 69:7 70:5 70:18 71:24 72:15,21 73:10,14 74:7 75:3,22 76:4,8,10,14,18 77:18 78:2,7,16,24 80:1,6,22 81:18 82:7,8,15,23 83:5 83:9,14,25 84:11,17,21 85:1,6,13 86:3,24 87:2 87:20 88:1,5,10,16,21 88:25 89:6,12,16 90:1,5 90:21,25 91:19 92:1,6 92:10,11,19,25 93:7,12 94:2 95:1,3,8,13,22 96:3 96:11 97:4,9,15,21,25 100:1,7,17 101:3,10,15 102:21 103:2,21,22 104:8 104:18 105:1,5,11 106:6 106:17 107:7,12,18 108:4 108:15,19 109:2,9,13,20 109:25 110:5,10,15,20 111:9,20 112:24 113:5 113:12,19 114:10,16 115:11 116:16,17,21	117:11,20 118:2 119:6 119:11 120:5,19 122:3 122:13,19 123:22,23 125:2 126:23 127:3,11 127:18 128:6,12,19 129:1 129:10,23 130:12,19 131:6 133:22 134:5,18 136:9,15,18 137:1,12 139:7,16,23 140:6,12,20 141:2,11,17,21 142:4,22 145:23 146:8,13 148:1,7 148:8,13,21,25 149:14 149:18,22 150:3,7,11,16 150:22 151:2,9,16 152:5 152:10,17,22 153:1,7,8 153:15,20,25 154:13 155:5,15,20,24 156:17 156:24 157:21 158:8 159:3,5,13 160:2,3,25 162:8,9 163:18 164:6,15 164:22 165:3,19 166:2 166:10,15,24 167:5,12 167:18 168:1,6,16 169:9 169:15 170:13,24 171:5 171:9,16,22 172:2,9,15 172:19,23 173:7,13,18 173:21,25 174:4,9,14,20 174:24 175:5,10,17,20 176:4,11,17,24 177:4,8 177:15,19 178:1,6 179:4 179:5,12,21 180:1 181:1 181:24 182:4,14,18,22 183:1,11,14 184:8,24,25 185:8,13,20 188:5,21 189:6 190:6,13 191:12 191:22 192:7,23 193:17 193:22 194:17,24 196:1 196:9,22 197:8 198:2,11 198:16,20 199:13 200:1 200:6,10,15,16 201:3,9 202:8,12,16 203:10,14 203:19,24 204:4,8,17,23 205:5,9,16,22 206:3,6 206:13,14 207:8,22 208:1 208:9,18,22 209:3,12,16 209:21 210:4,9,17 211:10 211:16,21,25 212:4,10 212:16,23 213:13,25 214:7 215:7,12,16,22 216:16,22 217:3,9,13,19 218:20 219:7 220:11,15 220:21 221:11,15 222:6 222:13,18 223:25 224:10 224:23 225:14,23 226:13 226:18,22 228:4,13,21 229:2,14 230:7,15,21 231:1,7,15,20 232:1,2,6 232:13,17,21 233:9,20 233:23,24 234:4,9,13,25 235:16,18,25 236:14,21 237:1,5,9,11 238:3,7,19 238:24 239:4 240:7 242:14,25 243:7,12 244:10 245:1,6 246:12 246:25 247:9,24 248:5,9 248:16,24 249:8 250:4 250:11,20 251:2,6,11,15 251:22 252:5,13,22 253:3 253:9,16,23 254:3,13,20 254:25 255:4,11,16 256:13,20 257:1,4,6,10 257:15,21,25 258:4,8,13 259:3,16,22 260:9 261:5	261:20 262:2,15 263:2 263:21 264:3,8,17,18,22 265:4,10,14,16 271:23 272:1 274:11,12,15,24 275:5,14 276:7,12,18,25 277:9,13,18,22 278:2,6 279:13,18,23 280:2,8,12 280:17 281:12,18,22 282:3,7,12,19,24 283:5 283:10 284:12,23 285:5 285:11,21 286:9,14,19 287:6,24 288:7,14 289:5 289:13,17 290:4,11,17 291:11,16 292:1,12,17 292:24 293:4,10,22 294:2 294:12,17 295:20 297:6 297:20 298:10,17,23 299:2,6,14 300:20 301:11 301:21 302:16 303:8,23 304:2,12,17 305:6,18,24 306:16 307:8,13,17,25 308:7,14,22 309:14,22 310:13,20 311:2,20,25 312:6 313:4,19 314:3,9 314:14,20 315:9,17 316:7 316:24 317:6,20 318:3,9 318:20 319:1,6,23 320:3 320:8,19 321:15,21 322:3 322:8,16 324:4,12,18,23 325:3 326:18,22 329:1,9 329:14,18 330:1,5,10,18 330:24 331:7,20 332:1,6 332:11 333:9 334:4,22 335:4,14,18 336:16,21 337:7,15 338:4,14,21 339:1 340:14,21 341:12 341:17,22 342:5,11,17 343:1,25 344:8,14,18,23 345:10,14 346:5 347:4 347:17,22 348:2 349:17 351:2,16 352:17,25 353:6 353:14,18 355:7,17,22 356:4,9,13,25 357:7 358:19,23 359:12 360:21 361:4,8 362:10,17 363:11 363:18,24 364:3,10 365:1 365:18,22 366:8,14 367:13,22 368:6,16 369:18,23 370:13 371:6 371:14,22 373:4,8,17,22 374:14 375:2,10 376:6 377:5,10,17,23 378:9,22 378:24 coincide [1] 98:21 colleague [2] 64:18 355:13 colleagues [14] 54:2,6,8 64:16 135:10 199:22 208:15 240:21 246:20 247:16 249:15 268:6,8 269:7 collect [1] 289:24 collected [4] 71:14 79:7 287:18 289:3 collecting [2] 345:19 346:3 collection [3] 72:20 307:23 338:20 collection/preparation [1] 338:9 College [5] 36:8,14 193:1	193:11 256:21 column [2] 167:21 168:2 combination [1] 176:9 Combined [1] 365:12 coming [21] 12:13 35:21 136:17 137:17 147:14,21 148:3 158:17 169:6 202:2 202:19 203:12 244:5 274:3 285:14 298:15,24 330:20,23 336:17 350:24 commander [2] 5:12,13 commenced [1] 87:10 comment [16] 52:5 94:18 94:19 144:19,23 243:18 244:24 267:11 273:3 314:19,21 315:2 316:4,6 338:1 352:13 commented [2] 38:19 156:1 comments [7] 37:20 38:18 88:17 167:21 168:2 271:20 364:22 Commission [20] 1:1,6 1:7 68:3 69:2,8 70:2 201:5 202:18,23 209:13 234:1,3 235:11 239:12 262:9 273:9 274:18 380:4 380:7 Commissioner [142] 1:3 4:2,3,9,21 6:9,13,18 12:1 21:8,13,23 26:24 29:2,9 29:14,19,23 30:2,6,11 30:18 31:1 44:7 47:11 56:14 63:15,23 64:9 69:11 70:3,24 72:16 75:4 80:3 87:1,8 116:15,19 116:22 122:20,21 123:4 123:8,14,18,21,24 135:20 136:2 143:1,6,11,24 144:25 145:8,14,21 153:9 156:11,16 157:7 173:4,9 180:2 201:11 206:2,7,8 206:12,15 215:19 223:8 226:23 227:14,20 228:1 228:2 234:15 235:2,7,12 241:6,10,19,25 242:6,12 242:19 264:20 265:17,18 265:21,23 266:2,6,10,14 266:18 267:15 269:19 271:20,21,24,25 273:22 274:2,6,10,13,25 275:3 275:8,15,16 287:25 291:9 291:13 295:21 299:19 300:1,11,17,22 301:1 325:11 327:4,14,20 329:5 335:5 339:21 348:7 354:5 355:5 365:4 367:21 368:4 378:21,25 379:5 380:7 Commissioner's [2] 167:20 264:25 commits [1] 270:22 committed [3] 270:2,15 271:10 committee [25] 18:10 18:20 19:2,6 20:14,20 20:21 21:6,10 22:16 23:2 23:17,23 24:5,15 26:2 29:4,6 30:19 35:19 246:18 250:1 269:10	278:21 279:10 committee's [1] 20:15 committees [2] 30:12 250:2 commonly [1] 5:13 commence [10] 46:24 50:25 59:7 94:16 99:12 103:16 125:6 288:16 289:7 290:2 communicated [4] 183:7 219:25 237:6 372:8 communicating [4] 218:22 351:8 352:8 353:22 communication [23] 53:2 54:11 97:1 110:21 128:1,9,21 133:4,6 164:4 166:6 183:13 199:21 204:15 219:5 239:8 240:2 243:8 268:23 362:24 363:1 370:21,23 communication's [1] 110:17 communications [15] 48:2 53:10 56:5 57:18 130:24 135:18 187:25 246:19 247:15 271:5 317:8 322:6 356:23 361:7 361:9 communiqué [4] 81:8 81:13,14 242:20 communities [1] 277:21 community [10] 5:25 8:3 14:6 18:24 20:23 21:18 50:22 52:5 193:9 271:1 companies [1] 35:16 compare [1] 360:14 compared [1] 255:19 comparison [1] 142:12 compensation [1] 298:2 competency [1] 272:16 compile [2] 220:4 236:17 compiled [3] 237:24 362:3 365:10 compiling [2] 118:11 293:11 complete [10] 74:25 83:17 105:20 115:12 134:9 154:10 220:19 226:1 230:2 274:18 completed [9] 50:10 134:14 147:12 154:17 169:3 176:15 239:18 343:20 365:25 completing [1] 275:21 complicated [2] 46:23 180:23 comply [2] 350:19 352:10 complying [1] 352:22 comprised [2] 21:14 290:6 computer [1] 202:22 computerized [4] 73:22
---	--	---	---	---

105:20 106:20 155:7 concern [11] 74:18 91:18 93:6 129:13 138:12 181:22 194:18 196:11 247:19 287:16,21 concerned [8] 84:2 163:12 165:23 193:14 307:3 333:16 356:16 357:19 concerning [3] 101:21 165:9 308:10 concerns [22] 23:10 25:4 47:19 60:23,24 63:2 68:15 79:18 87:13 105:22 121:17 126:12,14 128:2 129:6,11 137:4 191:25 218:5 248:10 285:17 372:16 conclude [3] 159:6,6 272:11 concludes [4] 44:8 65:9 225:24 348:9 concluding [1] 142:16 conclusions [1] 52:16 conduct [4] 133:1 195:13 259:19 262:19 conduct [8] 61:1 130:8 144:17 151:11,25 176:13 195:16 259:14 conducting [3] 195:11 244:22 258:24 conduit [1] 87:5 confer [1] 208:15 conference [15] 55:19 84:25 85:2 88:12 99:15 200:20,24 243:18 259:9 321:22,22 330:16 331:6 334:6 359:23 confident [2] 74:14 114:24 confidential [1] 367:16 confirm [9] 112:6 116:2 121:16 138:21 177:2 189:19 202:1 205:19 223:3 confirmed [5] 160:15 169:23 188:11,12 271:18 confusion [1] 88:22 conjunction [3] 297:1 297:14,18 Connie [1] 170:8 cons [1] 127:22 consensus [1] 340:1 consent [1] 157:13 consider [8] 47:3 98:17 137:15 164:4 258:9 259:2 259:17 272:20 considerable [2] 40:20 192:25 consideration [2] 128:7 298:9 considered [9] 79:12 183:10 268:15 312:22,23 316:12 323:2 325:21,23 consistency [4] 57:17 57:23 118:15 164:2	consistent [5] 114:6 128:16 149:20 226:2 363:4 consistently [1] 125:7 consolidated [1] 161:11 consult [2] 12:17 99:6 consultants [2] 60:2 158:18 consultation [2] 75:14 120:15 consulted [3] 64:15 89:22 94:5 consulting [1] 132:2 consuming [1] 83:20 contact [85] 25:4 45:25 46:14 47:1 50:16 53:21 54:7 55:13 61:3 65:11 97:20 100:8,14 110:11 110:12 112:14 115:6 118:4,12,18 121:15 122:6 124:17 125:7,11,21,23 126:13,19 127:24 129:21 154:21,22 155:4,11 160:13 161:6 162:6 173:23 174:16 177:9 184:1,14,21 186:7,8,10 186:17 187:8,10,12 188:15,25 189:21 190:24 191:1,3,5 195:4,23,23 200:21 203:8,20 209:6 209:24,25 211:2 214:14 215:2,3 216:18 221:24 223:10 225:19 226:9 241:12 242:21 244:5 249:16 294:22 351:8 364:4 371:10 376:9 contact/expired [1] 210:13 contacted [24] 48:16,16 61:13 113:2,6 121:17 125:19 132:18 134:7 161:4,17 185:15 187:21 189:23 190:25 205:1,19 216:3,23 221:7 239:25 242:1 369:1 375:13 contacting [14] 58:9 110:16 112:17,21 161:21 175:11,25 188:19 191:1 191:4 204:11 219:1 221:18 243:19 contacts [5] 90:10 111:8 213:6,7 242:7 contemplated [4] 171:18 172:4 174:15 183:2 contemplation [1] 129:4 content [4] 157:10 272:4 343:20,21 CONTENTS [1] 2:1 context [15] 25:11 36:22 37:9 85:15 94:1 95:18 115:7 119:5 122:10 199:8 231:25 233:16 257:4 285:1 299:20 continuation [1] 359:14 continue [11] 18:6 126:3 126:7 178:14 180:14,19	180:25 271:2,6 274:8 343:23 continued [6] 99:18 276:19 282:20 283:6 342:21 343:24 continues [1] 123:11 continuing [2] 133:23 239:11 contributing [1] 140:18 control [2] 12:8 283:12 controls [3] 284:11 335:22 336:1 convenient [3] 206:4,7 378:23 conversation [28] 94:10 94:23 101:19 104:13 117:22 214:10 243:3 288:20,22 293:18 300:6 311:6 313:22 317:2,14 317:21 318:2 322:13 326:4 330:15 343:8,16 345:24 349:25 350:3,9 350:12 355:2 conversations [4] 117:3 298:15 372:7 376:22 converse [1] 268:9 conversion [3] 65:23 368:24 376:14 convert [1] 148:22 converted [1] 149:3 converters [2] 163:8 221:25 converting [2] 330:7,11 convey [1] 143:3 conveying [1] 306:10 COO [2] 81:3 302:22 Cook [7] 44:9 48:19 56:11 288:2 308:23 348:11 352:9 Cook's [2] 351:20 357:13 coordinate [2] 47:6 338:17 coordinating [1] 239:10 coordination [1] 345:18 copied [13] 46:9 50:4 101:16 103:5 104:14 111:22 114:19 130:3 169:19 214:2 224:5 355:24 360:24 copies [3] 36:17 100:25 214:11 copy [8] 81:13 82:20 107:6 251:17,25 252:3 356:20 368:12 copying [1] 125:15 core [2] 246:5 257:16 Corner [3] 5:23 130:14 267:21 Corp [4] 6:2 7:14 45:6 341:18 Corporation [10] 6:23 8:24 9:10,19 18:8 276:3 341:16,24 342:2 347:13 correct [108] 8:21 10:16 10:25 11:5 18:12 22:12	23:6 24:13 29:13 30:1,5 30:17,25 32:14 42:18 45:12 51:15,21 59:16 61:21 62:2 69:10 76:17 78:6,13 79:25 83:8,13 84:25 93:5 103:21 104:17 109:8 113:10 116:14 122:2,9 123:7,13 126:22 130:18 136:1,8 138:22 142:25 145:20 150:10 156:15 157:6 158:7 163:17 164:14 167:4 169:14 174:23 182:3 184:23 188:4 191:5 210:3 210:16 211:15 221:10,14 228:19 229:1 230:20,24 237:10 251:20 253:2 276:11,17 279:17,22 280:11 281:17 282:18 290:16 292:11 293:3,9 310:19 315:16 317:5 318:8 322:2 324:11 325:19 327:13 330:9 331:19 332:10 340:20 341:21 342:10,16,23 344:13,17 349:16 352:16 355:16 356:12 365:21 373:16 377:9 380:3 correspondence [8] 82:4 84:15 178:20 182:6 224:17 225:1 248:8 260:15 corresponding [1] 365:11 cost [2] 119:20,22 costs [4] 91:7 93:2 262:7 298:3 council [3] 38:6,7,8 councils [1] 41:18 counted [1] 167:23 counterpart [3] 27:20 28:10 92:14 counting [1] 360:15 country [6] 19:20 31:17 291:3 376:10 377:2 378:11 couple [8] 36:1 55:3 90:13 129:25 154:2 178:24 249:22 347:7 course [25] 8:3 13:24 19:14 25:19 31:15 54:3 55:4 63:7 66:3 69:24 92:13 96:24 113:14 147:16 158:3 179:16 192:11 195:22 201:4 202:4 223:18 297:23 349:3 351:12 369:6 cover [5] 35:5 80:4 119:22 262:6 298:3 coverage [10] 18:10,20 19:2 20:13 22:16 23:17 24:4 26:2 89:1 218:3 covered [5] 74:6 77:10 121:6 264:24 265:5 coversheet [2] 104:10 104:12 Cox [1] 355:25 create [1] 107:19	created [1] 276:21 creates [2] 35:17 138:12 creation [2] 277:2 280:18 creative [1] 187:9 credentialling [1] 278:15 criteria [23] 214:18 226:3 228:8 229:7,10,18 229:21,23 309:25 322:19 323:14,18,24 324:2 325:2 325:4,25 326:2,7 327:1 327:3 328:11,20 critical [2] 271:12 273:17 cross [9] 30:15 73:19,24 74:3 105:25 106:9 305:21 306:11 367:12 cross-referenced [1] 306:8 crossed [1] 367:9 crossing [1] 297:21 current [11] 15:21 42:11 43:1 159:24 264:9 273:11 276:20 342:21 348:25 362:18 365:23 cut [4] 231:3 316:17,23 344:4 cut-off [1] 230:25 cutoff [1] 337:11 cutting [1] 332:20
-D-				
D [2] 31:6 229:16				
D/W [1] 85:5				
DAKO [5] 140:1 323:5 376:11 377:7,14				
Dalton [32] 237:21 250:24 253:6 280:5,7,9 285:8 287:8 288:2,8,16 288:21 289:12 293:18 299:1,3,17 301:17 308:19 309:25 310:25 319:25 336:8,11 342:24 348:24 349:11 350:21 352:8 354:17 355:2 359:5				
Dalton's [1] 290:20				
Daniel [1] 1:10				
data [11] 100:20 101:20 102:14 105:16 162:5 215:9 221:6 305:15 306:2 307:22 362:3				
database [16] 99:2 100:21 107:3 155:8,13 155:16 202:6 215:13 219:15 221:5,6 227:5,13 243:16 308:10 359:22				
databases [2] 155:10 360:14				
date [18] 14:23 40:22,23 134:12 136:16 149:13 179:10 222:8 230:25 231:25 232:10 247:23 264:14 267:4 282:14 336:3,6 342:7				
dated [12] 42:15 70:7 78:18 81:14 116:24				

214:25 304:14 308:25 335:8,9 355:9 380:11 dates [5] 224:19 281:5 281:11 360:4 374:3 Dave [3] 89:8,13 361:10 David [4] 1:16 2:4 88:11 289:16 Dawe [1] 146:20 day-to-day [1] 157:1 days [9] 56:20 87:9 113:20 119:20 154:10 201:10 244:5 249:4 347:7 DCIS [7] 195:13 196:6 196:11 197:17,19 198:21 199:16 DCU [1] 56:11 deal [13] 19:3 47:21 49:24 70:23 71:6 90:8 91:2 94:14 241:3 249:18,20 268:7 303:9 dealing [10] 17:9 21:2 44:5 53:16 74:20 128:3 167:1 198:21 328:12 348:6 dealings [4] 53:23 54:1 103:13 290:13 deals [1] 70:11 dealt [6] 19:7 41:17 100:16 198:23 245:24 307:4 Dear [2] 210:18 355:12 deaths [3] 155:17 207:16 308:10 Deborah [1] 130:3 deceased [42] 155:2 168:8 178:21 179:2,17 182:7,11 183:3,20,22 184:3,13 186:13 187:7 191:7 210:14 213:10 225:10 226:2 228:9,16 231:9,21,22 232:14,16 232:18 239:19,25 240:11 240:14 241:16 242:21 243:8 306:17,18,22 307:1 307:5,16,18 308:1 deceased's [1] 228:23 December [30] 32:24 124:1,2 125:25 126:17 126:18,18 128:8 130:1,5 130:8 136:11 141:23 146:10,16 148:16 154:2 154:3,7 157:23 160:6,7 160:11 161:1,9 210:22 211:2,11 213:1 374:17 decided [7] 118:10 128:15 180:12 186:20 259:13 297:3 302:5 deciding [2] 187:5 310:15 decision [12] 23:19 35:8 64:22 129:19 131:1,2 132:7 179:19 186:19,25 190:20 313:1 decisions [5] 38:23 89:20 90:8 91:3 273:2 dedicated [2] 338:7 340:16	deemed [1] 262:20 Deer [2] 7:8 360:1 defined [3] 170:5 171:13 292:3 definitions [1] 168:21 degree [4] 142:6 218:1 273:13 275:19 delayed [2] 183:18 378:17 deliver [1] 271:15 delivered [2] 23:14 271:14 delivering [1] 271:19 delivery [2] 19:4,8 demand [4] 35:17 268:3 378:12,15 demographic [1] 219:19 demographics [1] 360:3 Denic [3] 248:18,20,20 Denise [1] 200:18 Dennis [1] 190:15 department [39] 14:5 14:13 18:24 19:4 20:23 21:17,20 23:21 24:16 28:7 37:23,25 44:15 50:8 50:22 52:4 53:4,8,17 54:4,8 55:5 57:13 59:7 59:14 60:2 73:4 166:7,9 166:11,18 193:8,10 258:19 271:1,3 284:8 348:16 349:8 departments [2] 279:8 281:6 depend [2] 53:19 102:14 dependent [2] 57:10 316:3 depending [3] 89:20 218:12 315:11 deputy [6] 20:22 21:16 21:19 53:24,25 54:2 Derek [1] 50:24 dermatology [1] 268:2 describe [2] 200:5 201:10 described [4] 122:23 139:20 194:15 348:3 describing [1] 137:25 description [6] 15:7,10 15:14 68:18 144:21 196:20 deserve [1] 368:12 desire [1] 263:12 desperate [1] 192:1 despite [2] 46:16 138:24 detail [12] 64:3 103:15 125:17 141:24 144:10 146:1 185:19 192:4 196:14 227:18,23 244:4 detailed [6] 39:9,23 47:18 48:4 93:19 207:3 details [3] 211:2 243:17 335:3 determination [2] 144:2 272:17	determinations [1] 171:23 177:16 194:8 195:23 249:20 268:9 director [21] 9:23 14:17 15:5 51:5 56:4 71:9 72:25 73:9,11 81:9 122:24 130:24 214:13 253:7 255:24 262:22 276:2,5 322:7 355:11 366:18 director's [4] 46:20 47:13 367:7 376:25 directors [7] 192:14 263:3,10 308:18 346:15 346:16 350:8 disagreement [1] 262:17 discharge [1] 187:3 discipline [1] 249:15 disciplines [1] 269:11 disclosed [1] 195:21 disclosure [3] 16:11 57:7 195:8 discomfort [1] 106:13 discovers [11] 62:14 63:25 64:10,12 141:6 154:25 183:23 184:3 191:6 260:24,25 discovery [4] 233:14,17 233:19,25 discretion [1] 312:25 discuss [9] 41:1 86:9 116:7 192:4 206:25 221:1 246:13 250:6 260:18 discussed [17] 38:4 64:16 69:14 93:25 118:8 137:5 159:14 180:5 226:4 234:19 236:11 293:25 295:10 296:20 323:7 348:22 350:1 discussing [4] 104:22 329:19 345:23 376:5 discussion [46] 23:18 25:9 31:23 40:6,11 64:13 85:5,25 86:7 87:22 93:19 93:22 95:18 105:14,21 119:2,3,7 122:10 142:19 144:12 149:5,12 159:1,4 178:19 180:8 181:17,21 181:22 182:5 183:8 192:25 196:15 223:1 236:5 241:3 244:16 263:1 263:3,20 264:14 269:8 310:21,24 343:4 discussions [18] 23:19 25:23 74:13 93:16 94:13 135:8 139:12 149:21 193:8 223:22 240:20 246:16 255:7 263:8 321:13 325:24 352:6 363:5 distance [3] 90:17,24 98:15 distribute [2] 247:4 361:11 distributed [2] 60:7 121:10 distribution [1] 66:24	division [2] 1:15 14:14 Dobbin [1] 355:24 docs [1] 82:20 doctor [356] 5:16 6:18 9:17 11:12 12:1 14:20 15:1 16:1,18 17:4,24 18:18 19:23 20:13 22:1 22:15 23:8 24:21 25:25 26:1,18 28:19 31:4,21 32:8,16 33:19 34:15 36:1 41:4 43:5 44:23 46:16 47:11 48:11 49:5 50:2 51:1 52:19 54:14 55:17 56:14 59:6,20 61:14 62:4 62:19 65:1,23 66:19 67:14,21 68:5 70:6,23 71:25 72:16 74:9 75:4 76:19 77:19 78:8 80:2 80:23 81:1,14,22 82:10 82:25 83:15 84:3,5 86:4 87:21 90:13 91:1,6 94:3 96:12 97:6 98:2,6 99:13 100:2,18 101:4 103:3 104:9 105:12 106:7,18 108:5 110:22 111:10 113:7,8 114:11,17 115:20 116:10,23 117:12 118:21 119:12 120:6,20 121:22 122:4 123:25 124:1 125:3 126:16 127:4,12 128:20 129:24 130:21 131:7 132:12 133:7,23 134:19 135:21 137:2 139:9,17 140:13 141:12,22 145:24 146:14 147:19 148:2 149:23 151:3,10 152:11 154:1 155:6 156:5 157:22 158:3,21 160:4 161:8,15 162:10,11 163:11,19 164:7 165:21 167:6,13 167:19 168:17 169:16 170:14,25 171:17 172:25 173:19 174:15 175:18 176:18 177:20 178:2,24 179:22 181:2 183:15 184:18 187:24 188:6,18 189:7 190:2,7 191:13,16 192:8 193:23 194:25 196:2,23 198:6 199:14 200:17 201:4,10 206:16 206:18 207:16 208:23 209:17 210:10 213:15,15 214:1 215:8,17 216:17 217:14,20 218:21 219:8 220:7,23 221:4,16 222:19 222:20 223:6 224:3,24 226:14 228:5,14 229:3 230:8 231:9,21 232:23 233:15 235:19 236:1,15 236:22 237:12,14,21 238:10 239:6 240:15 243:1 244:1,11 245:7 246:8 247:10,25 248:25 250:21 254:14 258:14 259:17,23 260:10 261:21 261:24 263:4 264:10,23 264:24 265:17 276:8,13 276:21 278:7 280:18 283:11 284:24 285:12 286:20 287:7,25 288:15 290:6,18 291:8 292:14 293:16 294:4,5 295:21
---	--	--	---

<p>297:7,21 298:1,18 301:12 302:18 303:9 305:25 306:17 308:8,15,17 309:10 310:14 312:2,7 313:20 314:4,25 316:8 316:25 318:11 320:12,20 321:17 322:10 323:3,10 329:11,20,21 334:5 335:5 335:15 337:8 338:15 340:15 342:18 343:2 344:1,24 346:6 347:5,7 348:3,20 349:19 351:4 352:18 353:1 354:6 355:8 355:9 357:1 358:1,14 359:13,14 360:8,22 361:20 362:11 363:12 364:11 365:2,23 366:1 367:14 368:19,19 369:7 370:14 372:18 374:15 375:3,12,14 376:7 377:11 378:10 379:2</p> <p>doctor's [1] 85:9 doctors [6] 1:9 81:22 92:20 104:21 115:25 308:19 documentation [9] 22:15 31:14,15 32:9 61:23 96:2 112:2 117:7 219:16 documentation [2] 99:23 187:15 documented [2] 252:18 257:18 documents [4] 189:4 194:5 214:12 223:7 doesn't [2] 52:10 327:2 DOHCS [1] 52:13 Don [5] 56:11 214:3 219:12 220:24,25 done [71] 13:7 24:6 28:23 37:22 40:10,15,20 41:8 41:13 49:14,18 50:11 61:15 65:3 71:16 83:22 84:2 96:18 106:2 113:14 119:19 121:5 138:18 149:25 153:2,3,12 154:19 156:5 179:6 189:24 207:23 219:21 231:8 236:22,25 238:4,15 242:8 245:23 246:3,7 247:10 249:21 252:7,9 257:17 259:4 296:21 307:2,10 308:6 317:18 327:25 328:17 331:16 335:7 338:9 339:16,20,23 342:14 343:10,22 346:24 347:1,2 350:16 354:4 360:19 373:5</p> <p>Donna [1] 260:11 Dorothy [4] 130:15 131:23 132:5 138:6 down [25] 7:5 25:21 72:9 78:20 158:25 167:22,23 168:9 201:25 227:2,15 227:22 260:7 303:1 316:5 317:13 331:4 333:23 339:17 354:8 360:12 365:2 366:23,24 374:10 Doyle [1] 40:14 Dr [118] 2:2,5 4:2,5,10</p>	<p>4:16,17,20,23 5:10,18 5:22 6:22 7:2,15,20 8:1 8:20 9:1,8,14,21 10:5,15 10:20,24 11:4,9,18 12:5 12:11,15 13:15,19 14:15 14:21 15:3,12,18,23 16:4 16:9,15,22 17:1,5,20 18:3,11,14,15,21 19:14 20:2,18 21:9,11,15 22:7 22:11,20,25 23:5,13 24:7 24:12,18,22,24 25:6,7 25:17 26:4,8,9,15,21,25 27:2,5,6,12,13,18,19,23 27:24,25 28:4,5,6,9,11 28:15,22 29:7,12,17,21 29:25 30:4,9,11,24 31:7 31:18,25 32:5,13,19 33:2 33:6,16,21 34:1,5,20 35:2,11,23 36:3,9,21 37:5,10,16 38:1,9 39:3 39:12,19,22,25 40:5,9 41:9,15 42:2,10,17,21 42:25 43:8,13,17,21,25 44:9,20,24 45:5,11,17 46:6,11,24 47:8,16,17 48:7,12,19,22 49:2,9,10 49:17,23 51:3,9,13,20 51:24,25 52:8,12,23 53:5 53:18 54:21 55:2,18,23 56:2,9,17,24 57:5,25 58:4,12,23 59:3,9,15 60:4,9,13,17 61:16,20 62:1,7,16,23,24 63:19 63:24 64:1,11,15 65:15 66:5,9,16,22 67:11,14 67:18,23 68:1,13,14,24 69:4,9,18,20 70:15,16 71:2 72:6,19,23 73:12 73:17,21 74:12,13 75:7 75:25 76:7,12,16 77:16 77:25 78:5,12,22 79:24 80:5 81:7,7,9,15,16,20 81:24 82:1,13,17,21 83:3 83:7,11,12,16,23 84:9 84:13,19,24 85:4,11,16 86:11 87:6,24 88:3,8,13 88:19,23 89:3,4,10,14 89:24 90:3,18 91:11,23 92:4,8,17,23 93:4,10,15 94:8 95:6,11,17,23 96:1 96:6,15 97:7,13,19,23 99:16 100:5,10,12,23 101:5,8,13 102:17,19,25 103:5,20 104:1,16,22,24 105:3,9,13 106:4,8,11 106:24 107:10,16,21 108:8,13,17,22 109:4,7 109:11,15,23 110:3,8,13 110:18 111:3,18,23 112:8 112:13,22 113:3,9 114:2 114:8,14 115:9 116:13 117:9,16,25 119:1,14 120:3,9,21 122:1,8 123:1 123:6,12,16 124:5,24 126:21,25 127:9,16,20 128:10,14,24 129:8,15 130:10,17,22 131:17 133:12 134:3,16,25 135:9 135:24 136:7,14,22 137:10 139:5,11,13,21 140:4,9,14,25 141:7,14 141:15,19 142:2,24 143:4 143:9,18 144:9,14 145:6</p>	<p>145:12,19 146:2,11 147:24 148:5,10,19,23 149:4,8,17 150:1,5,9,14 150:20,24 151:7,14,18 151:22 152:8,15,20,24 153:5,13,18,22,23 154:11 155:3,9,18,22,25 156:8 156:14,22 157:4,16 158:6 158:24 159:7,11,18 160:23 161:18 162:13,14 163:16,25 164:13,20 165:1,11,24,25 166:8,13 166:22 167:3,10,16,24 168:4,13,19 169:7,13,20 170:11,16 171:3,7,14,20 171:25 172:7,11,17,21 173:2,11,15,20 174:2,7 174:18,22 175:2,8,13,19 176:7,22 177:1,6,11,17 177:24 178:4,7 179:3,9 179:14,24 180:7 181:12 181:20 182:2,12,16,20 182:24 183:4 184:6,22 185:6,11,17 188:3,17,20 190:4,11 191:10,20 192:5 192:10 193:15,20,25 194:21 195:3,4,23,24 196:7,13,15 197:2,6,10 197:12,25 198:5,6,9,14 198:18,25 199:1,18,22 200:4,8,13,19,19,20 201:1,7,18 202:10,14,25 203:17,22 204:2,6,12,21 205:3,7,11,20,25 207:6 207:9,15,20,24 208:7,14 208:20 209:1,5,10,14,19 210:2,6,15 211:7,14,19 211:23 212:2,8,14,21 213:11,20 214:3,5,14 215:5,10,14,20 216:14 216:19 217:1,7,11,17,25 219:3 220:9,13,17 221:9 221:13 222:4,11,16 223:2 223:14 224:2,8,13 225:12 225:21 226:9,11,16,20 226:25 227:16,24 228:11 228:18,25 229:12 230:5 230:13,16,17,19,23 231:5 231:11,17,23 232:4,8,15 232:19 233:1,1,7,18,22 234:2,7,11,20,23 235:15 236:12,19,24 237:3,8,15 237:24 238:1,5,11,17,22 238:25 239:2 240:5,18 241:8,15,23 242:4,10,17 242:23 243:5,10 244:8 244:15 245:4,10,11 246:10,13,13,15,18 247:2 247:7,13,14 248:2,7,14 248:18,19,20,20 249:6 249:10,12 250:9,14,23 250:25 251:4,9,13,17,19 252:1,10,20,24,25 253:5 253:14,21 254:1,5,15,23 255:2,6,14,20 256:17,24 257:3,8,13,19,22,23 258:2,6,11,15 259:6,20 259:24 261:3,18,25 262:12,25 263:6 264:1,6 264:11 265:2,7,12 266:5 266:23 267:8,12,18 269:1 269:5,20 272:9,21 273:25 274:4,13,14,19 275:15</p>	<p>275:18 276:10,16,23 277:4,11,16,20,25 278:4 278:12 279:16,21,25 280:5,6,10,15,23 281:16 281:20 282:1,5,10,17,22 283:3,8,16 284:17 285:3 285:7,8,13,24 286:12,17 286:25 287:8,11 288:2,2 288:5,8,12,15,16,18,21 288:22 289:9,11,15,20 290:9,15 291:14,24 292:10,15,20 293:2,8,18 293:20,24 294:10,14,24 296:1 297:9 298:7,13,21 298:25 299:1,3,4,12,16 299:17,24 300:5,13,24 301:4,17,17,19,24 302:19 303:14,25 304:5,15,20 305:10,20 306:3,20 307:11,15,20 308:4,12 308:20,23 309:12,20,25 309:25 310:3,18,23,25 311:4,6,17,22 312:4,11 313:6,14,22 314:1,7,12 314:18,24 315:1,15,24 316:18 317:4,9,24 318:7 318:16,24 319:4,7,21 320:1,6,13,24 321:18,19 322:1,5,14 323:7,12 324:10,16,21,25 325:6 325:18 326:20,24 327:12 327:18 328:1 329:3,7,12 329:16,22 330:3,8,13,22 331:1,2,18,24 332:3,9 332:17 333:14 334:14 335:1,6,12,16,19 336:2 336:7,11,11,19 337:4,13 337:21 338:12,18,24 339:3 340:2,19 341:2,15 341:20 342:3,9,15,22,24 343:7,17 344:6,12,16,21 345:8,12,16 346:11,18 347:14,19,25 348:11,24 349:11,15 350:5,20 351:14,20 352:6,8,9,15 352:20 353:4,11,16,20 354:7,16,17,25 355:2,10 355:15,20 356:2,6,11,14 356:17,19 357:5,13 358:17,21 359:3,5,5 360:9 361:2,6,23 362:15 362:22 363:16,21 364:1 364:6,19 365:16,20 366:6 366:12,16 367:6,18,22 368:2,10 369:9,20 370:1 370:18 371:12,20 372:5 372:20 373:6,15,20,25 374:20 375:8,19 376:19 376:22 377:8,15,21,25 378:4,19 379:3</p> <p>draft [2] 15:13 31:13 drafted [1] 16:12 drafting [3] 61:14 224:6 224:17 drawing [1] 52:15 driven [1] 346:14 driving [1] 328:2 Drs [1] 355:24 drug [1] 35:18 drugs [2] 35:6 139:3</p>	<p>dual [1] 10:8 due [6] 89:1 91:9 191:1 225:10 226:1 230:2 Dunn [1] 200:18 duplication [2] 360:5,6 duration [1] 22:3 during [12] 5:4,6 40:6 74:8 184:3 187:22 260:18 278:23 279:3 293:17 356:21,21 dust [1] 199:16 DW [1] 85:3 Dyer [4] 105:15 238:11 309:3,10</p> <hr/> <p style="text-align: center;">-E-</p> <p>e [7] 70:6 106:7 129:25 165:20 194:25 200:17 245:10 e-mail [58] 45:9 46:15 48:18 50:3 64:25 65:2 77:11 78:17 80:17,18,21 82:11 83:16 98:6 103:3 105:12 114:2 117:14 119:12 126:9 130:5 146:15 162:1 165:22 167:6 168:17,21 169:17 170:14 185:2,3,21 188:6 191:8 197:10 207:10 215:23,25 219:9,10,12 239:6 260:11,14 347:10 348:4,23 350:10,22 351:19 352:4 354:6 357:3 357:10 358:8,15 359:17 360:22 e-mailing [1] 351:5 e-mails [33] 43:5 76:20 80:24 81:1 98:3 101:4 111:11 114:17 116:24 123:25 129:25 146:15 154:2 156:18 160:5 162:11 183:16,17 184:19 189:8 196:24 203:15 206:17 220:22 232:23 236:2 237:13 245:8 348:20 349:5,20 357:2 359:15 earliest [1] 375:14 early [33] 58:7 62:20 66:25 67:8 69:14,19 87:9 92:15,16 96:16,19 99:21 126:17 128:7 132:6,21 136:10 144:13,14 149:9 149:19,21 180:3 182:8 201:12 216:1,24 245:25 288:10 305:3 312:10 338:16 375:21 ease [1] 99:3 east [3] 277:6,23 278:3 Eastern [135] 1:10 27:1 39:10,24 41:21 48:16 53:8 54:9 57:14 58:14 59:7,14 61:1,17 67:15 71:23 75:21 76:13,15 77:3 79:5,6 81:4 86:13 87:4,8,18 89:9 90:11 98:10,19,25 100:6,8,19 100:22 101:22 103:8</p>
---	---	---	--	---

<p>106:21 108:11,14 109:17 110:12 111:16 112:9 116:2 118:10,18 125:6 125:10 130:4 131:9,13 132:22,24 133:2,4,14,20 134:12 135:13,19 137:4 137:20 138:17 142:23 147:10 153:12 157:19 163:20 164:3 166:17 175:24 178:13 179:23 180:6,16,23 181:16 188:8 195:17 196:4 197:14 198:8 199:25 200:14 204:3,5 207:13 208:16 211:4,8 212:7,20 213:2 213:5 214:21 221:22 226:3 231:3,19 236:6 239:10,18,23 240:2,12 243:13 244:12,22 256:2 259:25 261:9 262:17 270:14 272:5 318:5 330:20 331:2,13,15 336:24 344:19,22 346:13 346:20 350:15 365:12 366:9,10,18 367:3 372:10 375:23 376:8</p> <p>easy [1] 218:11</p> <p>Eaton [10] 1:16 2:4 15:21 265:9 266:19,22 267:10 267:14 268:21 269:16</p> <p>Ed [3] 33:10 37:22 40:19</p> <p>edit [1] 369:15</p> <p>edits [1] 362:6</p> <p>education [2] 38:20 193:10</p> <p>educational [3] 4:22 192:21 275:17</p> <p>effect [11] 16:16 24:5 25:3 74:21 81:5 82:5 99:24 157:11,12 165:7 341:19</p> <p>effective [4] 11:19 281:14,17 316:14</p> <p>effort [11] 71:6,22 74:8 161:20 242:15 261:12 263:7 308:8 339:25 356:14 360:6</p> <p>efforts [7] 15:2 70:22,24 115:21 116:9 187:25 306:1</p> <p>eight [3] 221:24 225:11 260:23</p> <p>either [10] 100:11 128:1 134:12 219:5 224:20,21 284:1 289:11 295:7 298:5</p> <p>Ejckam's [1] 251:18</p> <p>electronic [10] 100:21 101:1 107:6,15,19 270:6 302:11 303:24 305:12,23</p> <p>electronically [1] 106:23</p> <p>element [1] 157:14</p> <p>elements [1] 13:11</p> <p>elicit [1] 24:3</p> <p>eligible [1] 36:15</p> <p>eliminated [1] 158:13</p> <p>elsewhere [3] 163:10</p>	<p>223:12 378:15</p> <p>emphasis [2] 306:14 345:19</p> <p>employees [3] 76:5 296:5,8</p> <p>EMS [1] 8:16</p> <p>enables [1] 143:16</p> <p>enclosed [3] 210:18 214:11,25</p> <p>encompass [1] 7:1</p> <p>encountered [2] 370:17 376:13</p> <p>end [36] 5:8 7:4 10:11,18 10:19 35:22 83:22 98:4 121:23 132:5 137:2 138:11 147:9,12 158:12 160:5,6 167:1 201:13 202:21 230:10 265:11,13 272:11 275:23 279:14 286:11,13 301:16 331:21 343:6 359:9 363:19 368:18 373:5 374:18</p> <p>ended [1] 334:6</p> <p>enforceable [1] 39:2</p> <p>engage [3] 153:21 244:18 263:15</p> <p>engaged [6] 17:8 55:9 181:14 254:17,19 288:10</p> <p>engaging [2] 256:3 264:13</p> <p>ensure [16] 46:1 81:11 166:19 240:1 247:20 270:19 271:15 273:19 287:17 302:6,7 306:7 338:9 339:15 343:13 356:14</p> <p>ensuring [1] 338:19</p> <p>entails [1] 197:17</p> <p>entered [9] 6:11,14,15 223:8 275:1,9,10,12,13</p> <p>entering [1] 144:2</p> <p>entire [2] 98:13 197:22</p> <p>entirely [2] 235:8 247:22</p> <p>entitled [4] 22:15 61:7 130:6 191:17</p> <p>entry [1] 188:11</p> <p>environment [1] 278:3</p> <p>envisage [1] 375:17</p> <p>envisaged [1] 106:18</p> <p>equals [3] 154:20,23 160:21</p> <p>equipment [1] 270:25</p> <p>ER [17] 62:13 101:16,23 110:25 178:3 229:10 297:25 303:19,19 309:1 310:16 316:10 318:18 337:16,18,25 338:1</p> <p>ER/PR [96] 16:18,23 32:11 40:3 44:4 52:6 53:12 54:17 59:24 60:25 61:9 67:1 77:23 81:11 82:19 84:18 101:21 103:6 104:14 108:7 109:1 111:17 114:20 120:22 124:4,13 137:19 142:12 146:19 161:3 162:15</p>	<p>167:8 169:21 170:10 179:22 180:6 181:4 182:15 185:25 186:5 189:17 195:5 197:5 206:22 209:24 210:12,20 212:18 214:8 216:4,6 218:3 219:16 220:1 222:24 225:2,9 230:2,11 233:15 235:20 238:12 239:9,11 245:22 246:4 251:12 260:21 262:5 272:3 285:16 287:10,12 287:15,16,23 289:22 290:21 307:10 309:19 315:19 320:10,16 322:11 322:21 323:8,15 328:5 334:9 342:21 343:5 348:5 355:18 362:13 365:9 370:7</p> <p>erprforpapers.doc [1] 111:15</p> <p>errors [1] 364:24</p> <p>ERs [1] 309:6</p> <p>especially [2] 154:14,16</p> <p>essential [3] 270:7,18 271:5</p> <p>essentially [3] 69:18 242:7 272:6</p> <p>established [1] 226:3</p> <p>establishing [1] 260:4</p> <p>establishment [1] 201:5</p> <p>estimate [2] 298:24 373:13</p> <p>estimating [1] 119:19</p> <p>estrogen [4] 79:4 196:5 284:25 294:7</p> <p>et [3] 1:9 144:6,6</p> <p>etcetera [3] 187:4 241:22 315:13</p> <p>ethical [1] 327:21</p> <p>evaluator [1] 94:25</p> <p>evasive [1] 369:6</p> <p>evening [4] 76:24 77:5 154:17 359:22</p> <p>event [2] 16:21 17:14</p> <p>events [8] 16:2 91:6 201:16 203:18 210:1 219:16,24 271:8</p> <p>eventually [3] 106:19 106:20 283:7</p> <p>everybody [8] 80:17 242:16 302:15 307:7,24 313:16 346:4 360:16</p> <p>evidence [6] 153:10,11 262:8 265:22 267:4 368:18</p> <p>evolve [2] 23:12 134:24</p> <p>evolved [1] 53:13</p> <p>evolving [1] 63:1</p> <p>ex-officio [1] 278:20</p> <p>exact [3] 14:23 149:13 377:19</p> <p>exactly [5] 11:10 57:1 58:17 87:10 211:9</p> <p>Examination [6] 2:3,4</p>	<p>2:6 4:5 266:22 274:14</p> <p>examine [1] 227:23</p> <p>examined [1] 261:8</p> <p>example [19] 36:14 39:9 39:23 41:20 90:15 93:23 138:1 141:4 144:5 167:22 205:2 215:19 222:20 257:16 272:15 273:2 316:11 324:13 325:19</p> <p>examples [1] 272:18</p> <p>Excel [1] 172:18</p> <p>excellent [1] 116:9</p> <p>except [2] 188:13 190:25</p> <p>exchange [5] 185:2 233:13 236:2 269:12 358:15</p> <p>excluding [1] 186:16</p> <p>excuse [3] 49:10 250:18 268:1</p> <p>executive [4] 46:7 81:3 130:25 132:4</p> <p>exercise [4] 97:3 102:13 104:3 244:23</p> <p>exhibit [98] 3:4,5 17:23 22:14 26:1 32:16 43:4,5 50:2 55:16 59:20 61:6 64:24 66:20 70:6 76:19 80:23,25 82:9,10 83:15 84:4,5 94:4 98:1,4 100:18 103:3 104:9 105:12 108:5 111:10 114:17 116:23 123:24 129:24 146:14 154:1 157:22 158:1 160:4 162:10 165:20 167:6 168:17 169:16 172:24 177:20 178:2 183:15 185:21 188:6 189:7 191:13 194:25 196:23 200:17 206:15 208:23 210:10 214:1 215:17 219:8 220:22 222:20 224:1 229:15 232:22 236:1 237:12 238:8 243:1 245:7 247:2 250:21 260:10 261:22 275:6,12 275:13 290:5,6,19 308:17 312:3 317:1 321:16 322:9 322:11 347:6,9 349:19 349:21 355:8 357:1 358:1 359:13 360:22</p> <p>exhibits [12] 3:1,2,3 6:10 6:11,15 18:1 67:22 274:25 275:1,10 365:5</p> <p>existed [2] 92:2 261:14</p> <p>expand [1] 261:14</p> <p>expanded [1] 281:1</p> <p>expansion [1] 194:12</p> <p>expect [8] 118:6,22 119:25 125:8 134:8 135:14 145:25 300:8</p> <p>expectation [2] 135:22 173:22</p> <p>expected [3] 64:19 178:17 218:18</p> <p>expecting [1] 374:12</p> <p>experience [4] 159:25</p>	<p>294:18,21 326:11</p> <p>experienced [1] 269:24</p> <p>expert [12] 89:25 95:2,4 103:9 121:12 125:9 162:22 163:3 170:3,21 171:10 273:1</p> <p>expertise [4] 133:19 159:25 244:17 333:19</p> <p>experts [3] 104:4 259:12 366:19</p> <p>expired [3] 154:24 213:7 213:9</p> <p>explain [2] 77:15 124:14</p> <p>explained [6] 34:16 68:14 96:4 127:14 216:8 217:15</p> <p>explains [1] 195:9</p> <p>explanation [3] 96:8 216:13 217:16</p> <p>explore [1] 260:1</p> <p>exposure [1] 294:7</p> <p>express [1] 352:13</p> <p>expressed [3] 126:14 129:11,13</p> <p>expressing [1] 263:13</p> <p>expression [1] 314:21</p> <p>extend [2] 7:6,8</p> <p>extended [1] 20:7</p> <p>extending [2] 189:8 269:23</p> <p>extensive [2] 105:16 352:5</p> <p>extent [4] 132:23 133:18 142:4 254:6</p> <p>external [13] 13:14 65:3 67:9,16 138:21 258:9 259:14 262:17 284:13,15 365:24 366:4,10</p> <p>externally [2] 17:11 367:11</p> <p>extra [2] 70:22 374:9</p>
---	---	---	--	---

-F-

face [2] 20:9 138:7

facilitate [2] 246:4
345:18

facilitated [1] 354:3

facilities [1] 7:19

facility [1] 352:11

facing [1] 180:24

fact [50] 19:12 46:17 49:6
58:13 65:14 67:21 106:19
108:25 129:3 132:9,19
133:3 137:8 140:2,22
163:13 170:17 177:5
180:10 181:6 197:4 204:9
208:10 216:6 217:4,20
217:22,23 220:7 224:21
224:22 255:24 260:20
300:7 310:4 328:11
334:10,16 335:24 342:23
350:14 351:18 352:1
354:10 360:11 363:19
366:3 369:4 374:17
377:14

<p>factors [7] 79:11 140:18 142:17 144:2,3 313:2 319:13</p> <p>failure [1] 193:6</p> <p>fair [8] 41:7 55:7 132:13 132:20 218:2 267:3 268:3 363:9</p> <p>fairly [11] 47:18 53:6,13 71:4 72:13 109:18 193:6 269:2,2,4 346:17</p> <p>fall [6] 152:18 254:18,18 255:12 363:12,20</p> <p>Fall's [1] 349:13</p> <p>falls [29] 75:9 275:25 276:22 277:1,14 287:9 288:4,25 294:19 295:8 295:23 296:5,25 298:6 299:8 301:13 302:20 303:10,11 304:4 332:25 341:1,19 353:2,10 360:1 365:14,17 371:17</p> <p>Falls-Windsor [2] 276:24 277:17</p> <p>false [7] 130:6 131:15 290:22 291:18 292:6 298:20 362:14</p> <p>familiar [2] 16:3 264:25</p> <p>families [12] 48:1 77:8 178:21,24 179:6 182:6 182:10 183:3 243:19 244:20 260:25 269:25</p> <p>family [12] 77:12 87:13 115:25 191:6 225:19 243:25 275:25 294:15 297:17 314:4 321:5 372:19</p> <p>far [3] 7:8 170:21 220:16</p> <p>fashion [1] 131:5</p> <p>favour [2] 95:24 96:5</p> <p>fax [1] 104:10</p> <p>February [17] 177:22 179:10,13,15 181:3 182:8 183:16 185:21 188:7,10 189:8,10 210:24,25 211:17 213:8 243:4</p> <p>federal [1] 35:9</p> <p>feedback [14] 21:5 64:18 89:1 98:11,12 112:19 125:16,23 126:1,5 133:19 161:25 190:19 198:4</p> <p>feeling [1] 37:22</p> <p>felt [21] 38:24 57:16 74:14,15 78:13 96:16,20 104:6 120:10,11 126:10 180:18,24 192:19 199:4 199:9 240:23 258:21 263:16,18 300:14</p> <p>few [9] 19:18 160:19 192:3 206:24 244:5 269:21 314:16 319:15 378:11</p> <p>fifth [2] 192:24 373:9</p> <p>fifty [2] 371:18,23</p> <p>figure [6] 148:4,12 150:18 207:17 324:14 325:14</p> <p>figures [2] 320:9,12</p>	<p>file [18] 25:13 77:22 78:4 78:11 82:6,19 84:18 104:14 108:7 154:8,16 154:19 184:10,16 207:2 215:25 216:5 261:1</p> <p>filed [1] 16:21</p> <p>files [12] 71:20 120:23 154:9 252:3 303:2,16,17 305:17,21,23 312:19 321:9</p> <p>final [6] 31:10 112:7 214:24 264:23 370:14 375:11</p> <p>finalized [3] 15:11 112:6 133:25</p> <p>finally [6] 168:20 205:19 229:15 240:14 259:17 378:10</p> <p>financial [4] 91:7 298:2 298:8 304:10</p> <p>finding [2] 131:12 155:1</p> <p>fine [3] 92:22 164:17 314:16</p> <p>finish [2] 160:10 269:19</p> <p>finished [2] 121:8 185:24</p> <p>finishing [2] 243:15 275:23</p> <p>firmness [1] 246:9</p> <p>first [65] 17:25 24:22 26:8 43:11 46:19 47:13 47:22 51:1 52:20 62:10 67:24 69:5 72:2 76:21 77:6 81:2 94:4 98:5 101:9 103:18 111:11 114:18 116:24 124:1 126:17 132:12 136:4,16 158:21 160:6 164:18 172:6,13 174:6 189:9 196:10,19,25 206:18 228:6 232:24 236:3 247:1 248:4,12 269:22 275:25 279:4 284:24 285:8 288:15 301:15 303:9 304:4 305:13 307:2 308:6 308:24 335:24 338:1 347:9 349:20 358:24 359:4 366:2</p> <p>first-come [2] 193:4 194:22</p> <p>first-selected [1] 193:4</p> <p>first-serve [1] 194:22</p> <p>five [8] 20:8 25:3 37:15 50:13 89:19 160:12 206:9 296:22</p> <p>fixation [10] 144:4 246:4 248:11,11,22 335:20,20 335:25 336:13 368:17</p> <p>fixing [1] 332:19</p> <p>flavour [1] 34:12</p> <p>flawed [2] 70:11 137:8</p> <p>flaws [2] 70:13 141:6</p> <p>Fleming [2] 28:4,6</p> <p>flow [2] 20:4 57:15</p> <p>flowed [1] 87:5</p> <p>flowing [2] 54:12 157:8</p> <p>flows [1] 37:19</p>	<p>focus [5] 93:17 133:13 174:10 179:16 328:22</p> <p>focusing [1] 309:10</p> <p>folks [5] 55:9 162:14 218:15 236:17 269:4</p> <p>follow [23] 46:3,11 77:24 108:6 109:3,5 118:10 128:16 161:25 191:11 201:22 205:15 216:11 223:2,4,24 224:25 295:13 295:15 296:18,25 297:13 297:18</p> <p>follow-up [14] 55:12 98:22 121:11,13 170:20 178:10 184:11 185:5,18 199:21 237:19 243:25 262:5,24</p> <p>followed [4] 126:15 188:23 213:22 263:17</p> <p>following [16] 72:5,7 101:20 119:9 125:4 161:16 174:25 186:24 188:17 219:6 220:3 223:12 225:4 240:3 260:18 261:16</p> <p>follows [1] 225:8</p> <p>Force [1] 209:25</p> <p>Forces [1] 5:2</p> <p>Ford [3] 353:13,15,15</p> <p>foregoing [1] 380:2</p> <p>Forgive [1] 227:15</p> <p>form [3] 218:7 219:11 364:17</p> <p>formal [9] 12:23 13:20 78:4 205:10,23 248:6,8 254:24 255:3</p> <p>formalin [5] 252:7,16 252:17,17 338:11</p> <p>formalize [1] 14:9</p> <p>formally [2] 86:9 204:9</p> <p>format [3] 99:3 219:12 221:3</p> <p>formed [2] 99:5 121:12</p> <p>former [2] 27:10 51:4</p> <p>forth [5] 53:9 223:22 268:23 270:4 353:22</p> <p>forthcoming [2] 134:21 374:19</p> <p>fortunate [1] 14:1</p> <p>forward [14] 49:22 82:5 82:19 87:25 88:2 147:4 163:14 169:3 227:9 260:15 273:18 302:22 309:1,9</p> <p>forwarded [10] 22:23 23:1 36:19 45:15 70:14 77:2 82:2 197:10 221:22 349:4</p> <p>forwarding [2] 151:6 361:16</p> <p>forwards [2] 161:1 351:12</p> <p>found [8] 67:16 168:21 217:4 227:4 230:17 238:25 323:9 336:24</p> <p>Foundation [7] 74:1</p>	<p>75:11 101:7,12 102:24 296:7,11</p> <p>four [14] 20:8 186:3,4 187:21 188:16 191:18 195:18 225:20 252:17 322:10 346:16 354:8 373:11 375:7</p> <p>fourth [3] 188:11 309:5 371:7</p> <p>fraction [1] 149:15</p> <p>frame [5] 135:15,22 283:19 292:22 312:21</p> <p>frames [1] 135:6</p> <p>framework [1] 259:18</p> <p>Frank [7] 50:16 51:2,4 73:13 103:6 112:20 169:20</p> <p>free [3] 54:12 70:19 165:17</p> <p>frequent [2] 87:3 99:22</p> <p>frequently [1] 319:15</p> <p>Friday [5] 72:5 186:2 245:23 246:7 318:22</p> <p>Fridays [1] 245:15</p> <p>fridge [1] 252:14</p> <p>front [1] 159:19</p> <p>frontline [1] 35:16</p> <p>frustrated [3] 350:19 358:5 359:8</p> <p>frustration [1] 359:20</p> <p>full [9] 4:8 56:8 144:21 145:15,17 199:8,8,10 220:18</p> <p>fuller [1] 146:1</p> <p>fully [2] 57:6 146:3</p> <p>function [6] 123:5,7,9 157:6 278:14 279:11</p> <p>functioning [1] 278:16</p> <p>functions [1] 55:1</p> <p>funding [2] 14:5,19</p> <p>future [4] 125:20 260:8 273:12 361:12</p> <p>fuzziness [1] 316:16</p> <p>fuzzy [1] 312:18</p> <hr/> <p style="text-align: center;">-G-</p> <p>g [1] 178:7</p> <p>G-U-Y [1] 4:12</p> <p>Gallagher [8] 288:16,22 301:18 308:19 319:24 320:2 336:11 359:6</p> <p>Gallagher's [1] 310:1</p> <p>Gander [20] 5:14 27:14 278:3 288:17 297:7 298:6 301:14 302:21,24 332:25 341:1 352:18,19,21 353:2 353:9 354:1 365:19 371:19,21</p> <p>Gardiner [6] 81:9,15 314:6,24 355:11 356:19</p> <p>Gardiner's [3] 81:24 83:11 356:15</p> <p>gather [2] 102:17 288:11</p>	<p>gathered [1] 151:4</p> <p>gathering [2] 105:15 309:24</p> <p>general [25] 27:14,25 57:20 68:18 95:21 97:2 132:16 144:11 175:14 227:1 254:7 265:8 267:17 268:4,11 276:9 278:13 309:4 344:24 356:7 366:21 370:9 371:9 372:9 372:14</p> <p>generally [29] 38:24 39:15,16 75:6 100:4 180:4 226:24 266:23 267:1 268:22 278:14 279:6 284:5 287:12 293:6 294:25 295:13 296:2,21 297:4 299:10,22 300:8 303:15 328:22 333:15 350:14 355:1 377:19</p> <p>generated [2] 96:10 212:7</p> <p>geographic [3] 6:25 83:2 281:1</p> <p>George [6] 45:24 88:6,6 88:9 90:12 99:4</p> <p>Gillam [15] 46:4,5 50:5 55:21 104:15 114:19 166:3,16 185:1,9 208:25 214:2 224:4,24 236:4</p> <p>given [25] 39:22 56:9 58:9 69:19 72:24 115:12 128:7 139:4 149:8 155:6 163:19 174:11,12,25 175:11 180:16,22 182:9 208:2 219:1 228:20 252:23 272:19 273:1 340:25</p> <p>giving [3] 112:18 114:4 376:23</p> <p>glad [1] 4:24</p> <p>gladly [1] 19:7</p> <p>global [2] 90:12 99:1</p> <p>Globe [1] 70:10</p> <p>goes [16] 31:13 44:6 50:18 58:22 65:8 132:11 186:18 192:3 193:12 212:5 225:15 236:9 261:6 310:6 348:7 359:20</p> <p>gone [12] 20:9 67:10 141:5 193:23 203:15,18 237:24 284:7 286:2 328:6 347:7 372:21</p> <p>good [8] 37:11 47:7 138:16,23 180:21,22 269:2 342:12</p> <p>government [5] 29:16 243:16 262:19,23 263:17</p> <p>governments [1] 35:9</p> <p>GP [2] 294:23 314:11</p> <p>GPs [1] 372:1</p> <p>Grabka [4] 251:1,3 253:8 259:7</p> <p>graduated [2] 4:24 275:20</p> <p>Grand [31] 275:25 276:22,24 277:1,14,17</p>
---	---	---	--	--

<p>287:9 288:4,25 294:19 295:8,23 296:5,25 298:6 299:8 301:13 302:20 303:10,11 304:4 332:25 341:1,18 349:13 353:2,9 359:25 365:14,17 371:17 great [2] 115:21 379:4 greater [6] 93:17 270:17 313:17 322:24,25 337:18 greatest [1] 120:12 Grenfell [1] 27:21 gritty [1] 185:14 ground [1] 262:10 group [15] 23:4 29:15 31:11 47:4 99:5 103:5 103:14 158:18 159:9,16 176:5 202:5 218:23,25 317:22 groupings [1] 176:9 groups [2] 79:17 194:6 guess [24] 23:19 47:22 75:19 80:17 181:18 263:14 267:2 272:11 278:13,13 310:4 323:14 323:19 324:2 326:10 327:19 328:2 333:17 339:15 343:18 359:9 363:4 364:25 366:17 guidance [2] 34:7 57:13 guide [1] 133:20 guidelines [1] 36:13 Guy [2] 2:2 4:11 Guys [1] 44:3</p>	<p>313:8 370:19 hardship [1] 269:24 harsh [1] 330:4 harsher [1] 369:5 HCCSJ [2] 291:4 292:3 he'd [1] 285:22 head [13] 25:10 36:24 58:17 76:9 136:16,24 157:9 165:7 189:2 200:23 291:12 326:13 336:5 heading [3] 61:25 188:11 322:11 heads [3] 348:14 349:6 357:10 heads-up [2] 44:13 47:22 health [239] 1:11,17 5:24 5:25 6:1,6,19,23 7:13 8:12,24 9:10,18 12:3 14:6 16:8 18:7,24 19:24 20:1,10,23 21:18 23:22 28:7 29:10 32:18 34:6,8 34:11 38:7,21 39:16 41:3 41:20,21 44:15 45:6 48:16 50:22 52:4,15 53:3 53:4,8,17 54:3,5,7,8,9 54:14 56:7 57:13,14 58:14 59:8,21 60:1,2 61:1,6,17,22 62:12 67:15 71:23 75:5,21 76:13,15 77:4 79:6,7,15 81:4,6 84:7 86:13 87:4,9,18 90:11 100:6,9,19,22 101:21,22 103:8 106:22 108:12,14 109:17 111:16 114:21 116:2 118:18 122:14 125:6,10 130:4 131:9,13,19 132:22,24 133:2,14,16,17,20 134:12 135:13,19 137:4,17,20 137:20 138:7,17 142:23 145:10 148:17 153:12 157:19 163:13 164:3 166:12,18 172:12 175:25 178:13 179:23 180:13,16 180:23 181:16 188:8 193:9,18 195:17 196:4 198:22 199:25 200:22 204:3,5 207:13 209:8 211:4,8 212:7,12,18 213:5 214:9,21 219:14 219:15,18 220:6 221:17 221:22,23 222:9 225:6 226:3 227:7 228:15 231:3 231:19 236:6 239:18,23 240:3,12 243:17 244:22 245:14 256:2 260:1,13 261:2 262:14 263:15 267:3,7,20 269:22 270:6 270:9,10,14,21 271:1,9 271:11 272:5 276:3,6,15 276:20,22 277:2,5,7 280:19 290:23 296:8 318:5 330:20 331:13,15 336:24 340:7 341:16,18 341:23 342:2 344:20,22 345:2 346:13,20 347:12 347:12,21 348:16 365:12 366:9,10,19 367:3 368:20 368:23 369:1 372:10 376:9</p>	<p>Health's [6] 118:10 128:11 194:4 210:19 239:10 363:13 hear [2] 119:25 121:5 heard [19] 46:19 47:12 56:14 69:1 79:2 95:23 144:4 153:10 180:2 196:10 218:6 223:1 257:2 267:3 272:21 273:9 288:15 308:15 380:5 hearing [1] 137:24 Heather [29] 43:12 44:19 45:23 87:23 100:14 110:11 112:17 113:22 117:7 162:17 168:18 169:6,23 170:6 185:25 186:19,22 187:5,14 189:11,17 195:1 196:4 197:3,4 212:11 347:10 350:25 360:12 Heather's [1] 190:18 Hedy [4] 237:21 250:23 253:6,11 Heidi [22] 46:14,25 47:6 56:1,3 78:19 99:11 111:12,17 113:20 114:1 116:25 130:1 146:21 147:17 148:11 166:5,19 166:21 206:18 207:10 233:12 held [3] 31:11 33:14 240:20 Hellen [10] 60:18 78:14 103:6 116:6 161:11 184:12,15 187:19 207:2 232:25 Hello [1] 195:3 help [13] 58:18 77:14 101:19 102:4,15 112:16 161:14 170:8 176:3 189:4 223:5 240:24 259:18 helpful [6] 60:22 156:5 159:20 190:16 352:4 357:23 helping [1] 175:22 helps [1] 34:7 Heneghan [1] 355:24 Hennessey [1] 215:24 hereby [1] 380:2 hesitate [1] 215:3 Hi [22] 44:3 45:22 46:10 50:5 98:9 101:18 103:7 113:21 114:3 117:1,21 146:21 154:5 162:14 167:9 169:21 190:8 206:19 209:22 220:25 222:25 236:16 high [1] 193:6 higher [1] 150:18 highlighting [1] 34:24 highly [1] 64:3 himself [3] 198:17 199:2 356:19 hire [1] 14:9 HIROC [9] 89:22 94:5 94:14 95:24 96:4,10</p>	<p>98:17 129:6,12 histology [5] 253:19 254:10 256:14 258:19 259:12 historically [1] 313:12 hitting [2] 45:23 46:21 Hoddinott [4] 42:11 43:1 210:7 250:23 hold [2] 184:15 266:19 Holloway [6] 51:4 73:13 82:18 103:6 162:13 169:20 home [2] 255:9 377:24 honest [2] 119:10 271:7 Honourable [2] 1:3 380:6 hope [6] 49:21 99:8 115:3 156:4 178:12 222:2 hoped [2] 120:24 158:11 Hopefully [1] 83:19 hoping [3] 147:11 180:10 189:3 Hormone [2] 1:2 380:4 hospital [17] 61:2 76:3 113:1 117:19 158:11 168:14 178:9,15 249:2 249:20 255:13 272:7 283:13,14 309:4 321:3 353:8 hospital-wide [1] 283:17 hospitals [4] 102:8 267:22 268:14 376:10 host [1] 319:14 hot [1] 89:7 hotline [1] 98:14 hours [3] 160:19 186:3 359:18 house [1] 201:21 housed [1] 76:2 Howell [1] 200:21 HS [1] 60:14 HSC [1] 115:3 huge [1] 181:22 Human [1] 194:2 hundred [4] 160:1 371:18,18,23 Hundreds [1] 70:12 Hunt [3] 33:10 37:22 40:19 Hutton [1] 207:15</p>	<p>ideas [1] 134:8 identified [19] 141:12 186:1,9 189:13,22 242:8 261:11 291:17 306:15 307:10,23 320:16 360:17 371:9,17,23 372:3,22 376:11 identify [6] 34:18 85:7 114:25 287:13 303:3,7 identifying [6] 73:15 132:10 301:13,18 305:25 306:21 ignored [1] 50:15 imaging [9] 8:14,14 60:1 191:18 192:12,13 245:11 279:3 281:4 immediate [3] 173:5 268:8 314:15 immediately [1] 47:1 immense [1] 357:17 immunohistochemical [1] 105:24 immunohistochemistry [5] 323:5 338:8 340:17 346:24 366:20 impact [3] 118:17 196:21 328:9 impacts [1] 273:7 imperative [2] 245:18 245:19 imperils [1] 70:11 implement [3] 65:7 260:3 338:17 implementing [1] 259:2 implications [1] 47:25 importance [4] 78:14 128:4 141:9 273:13 important [14] 57:16 96:17,21 97:3 104:2 133:16 246:21 255:10 268:10 269:14 273:8,16 359:10,11 importantly [2] 47:24 270:5 improve [1] 270:16 improved [1] 296:15 improves [1] 142:7 inaccurate [3] 147:14 147:21 148:3 inadvertently [1] 179:8 incident [1] 16:2 include [5] 102:4 178:16 261:11 338:11 365:12 included [4] 185:2 219:4 220:19 238:14 includes [4] 210:21,22 212:24 241:20 including [12] 76:22 81:5 102:8 104:12 150:8 154:8,22 169:19 177:23 193:18 209:13 246:17 inclusive [7] 3:2,3 6:12 6:16 106:1 275:2,11 incomes [1] 31:17 inconsistent [1] 62:15</p>
-H-				
<p>Hagee [3] 27:12,14 355:25 hammered [1] 183:12 Hampton [1] 7:10 hand [5] 79:14,22 142:19 144:22 224:6 handle [2] 113:25 118:14 handled [4] 57:18 207:12 213:4 306:19 handling [1] 115:4 handout [4] 34:24 61:8 61:14 66:21 hands [2] 157:3 251:24 handwriting [2] 290:8 355:19 handwritten [6] 129:3 209:18 222:21 243:2 290:7 321:18 handy [1] 48:5 Hann [1] 33:12 happening [9] 23:21 35:14 40:18 61:9 62:5 131:24 138:20 158:14 310:11 happenings [2] 23:15 34:9 happy [2] 125:21 343:19 hard [7] 50:10 84:2 100:25 151:24 252:3</p>			<p>-I- i.e [1] 315:19 iceberg [1] 377:1 idea [26] 16:1 22:2 47:7 65:24 91:1 95:5,10 100:18 103:24 148:2 158:21 164:23 179:22 180:5 181:4,10 182:5 184:20 218:21 248:10,25 267:15 309:10 362:11 364:11 370:15</p>	

<p>incorrect [5] 186:8 206:23 208:4,5 369:3</p> <p>incorrectly [1] 357:12</p> <p>increase [1] 8:17</p> <p>increased [1] 378:12</p> <p>incurred [1] 158:10</p> <p>indeed [12] 32:6 41:10 46:17 66:17 97:24 105:15 131:23 197:19 201:8 245:16 251:14 262:1</p> <p>independent [7] 56:15 59:17 94:24 309:2 337:17 338:2 351:6</p> <p>indicate [1] 95:23</p> <p>indicated [16] 26:19 71:11 94:22 112:1,8,25 151:23 165:13 210:22 211:3 229:18,23 262:17 262:18 266:21 267:6</p> <p>indicates [1] 213:6</p> <p>indicating [3] 83:17 84:1 192:15</p> <p>indication [5] 46:21 103:18 132:21 149:10 263:11</p> <p>indications [1] 121:19</p> <p>individual [13] 9:5 10:1 85:20,24 86:2 96:25 103:13 159:23 249:16 305:16 312:25 317:17 324:8</p> <p>individual's [1] 79:10</p> <p>individualized [2] 98:24 319:11</p> <p>individually [4] 44:14 127:22 303:21 348:15</p> <p>individuals [18] 34:8 46:18 66:23 76:22 77:10 81:5 95:20 98:8 121:18 161:22 169:19 188:8 196:3 247:18 260:12 302:25 337:3 341:8</p> <p>info [14] 77:14 89:21 98:12,12 116:1 125:19 125:23 163:8 170:4 171:12 207:15 236:18 243:19 319:11</p> <p>inform [4] 44:14 186:24 186:25 348:15</p> <p>informal [3] 12:20 84:14 255:5</p> <p>information [122] 20:19 63:1 64:17 66:25 67:4 69:5,17,22,24 70:19 73:20 74:16 76:23 79:19 79:20 82:6 85:22 86:17 87:5 90:15 93:18,24 95:20 96:17,22,25 102:11 102:23 105:19 106:23 139:10 142:15,20 146:17 154:21,22 155:11 156:9 156:19 157:15,17,20 161:6,7 162:7 163:2 175:14 178:23 184:1 186:7,9,10,17 187:8,11 187:12 188:15,25 189:16 189:20 191:2,6 195:21 199:6 207:11,14 215:9</p>	<p>218:12 219:14 220:5 225:4 226:10 227:3,23 269:13 270:8,11 286:4 287:18 290:1 294:3,4 299:5,18 302:1,5 303:20 306:10,12 311:10,14 312:20 320:14 321:1,10 321:11 328:4 330:12 333:22 336:15 339:13 344:19 345:20,21 346:4 350:2 354:18,20 355:1 357:22 360:18,20 361:25 362:4,8,9 363:8 366:22 367:4 369:7,11 372:12</p> <p>informed [5] 106:3 135:17 186:21 188:13 289:12</p> <p>informing [1] 375:25</p> <p>infrastructure [1] 270:11</p> <p>initial [9] 66:1 69:22 113:10,12 134:22 179:16 203:12 329:2 369:2</p> <p>initials [1] 60:12</p> <p>initiate [2] 53:10 193:8</p> <p>initiated [1] 100:4</p> <p>initiating [1] 105:8</p> <p>initiative [1] 177:9</p> <p>initiatives [2] 283:12,23</p> <p>input [2] 38:18 224:12</p> <p>inputs [1] 133:19</p> <p>inquiries [3] 49:5 230:17 301:17</p> <p>inquiry [19] 1:1 13:23 14:2 68:3 85:19 201:5 202:18,23 209:13 234:1 234:3 235:11 239:12 256:8 262:9 270:4 273:9 380:4,7</p> <p>instance [1] 177:3</p> <p>instances [2] 30:11 155:2</p> <p>instead [2] 63:8 80:25</p> <p>institution [2] 245:14 250:13</p> <p>Institutions [1] 277:7</p> <p>insufficient [1] 230:3</p> <p>insurer [1] 357:14</p> <p>insurer's [1] 357:18</p> <p>Int [1] 353:7</p> <p>Integrated [5] 1:10,17 59:21 77:4 84:6</p> <p>integration [1] 8:5</p> <p>integrity [1] 107:3</p> <p>intend [2] 15:7 357:10</p> <p>intended [2] 66:24 80:14</p> <p>intending [1] 143:3</p> <p>intent [1] 357:23</p> <p>interaction [1] 364:14</p> <p>interest [3] 19:4 140:7 140:10</p> <p>interested [3] 95:9 319:14 328:10</p> <p>interesting [1] 137:14</p>	<p>internal [6] 23:18 84:15 259:19 297:12 335:21 336:1</p> <p>internally [4] 23:21 133:6 180:13 223:11</p> <p>international [2] 34:12 259:9</p> <p>internship [2] 5:1 275:23</p> <p>interpret [3] 52:11 106:7 366:24</p> <p>interpretation [6] 178:16 273:4,5 333:8 334:2 347:2</p> <p>interpreted [3] 272:24 332:23 333:20</p> <p>interpreting [1] 181:14</p> <p>interrupting [1] 69:12</p> <p>interview [11] 96:19 130:8,15 133:23 137:3 139:8 144:1 146:18 319:7 364:14,18</p> <p>interviewed [1] 130:21</p> <p>introduced [7] 13:20 62:13 69:16 137:21 138:4 144:24 145:2</p> <p>introduces [1] 131:8</p> <p>introduction [4] 63:7 63:17,20 68:16</p> <p>invasive [1] 197:21</p> <p>investment [2] 14:2 271:3</p> <p>investments [2] 270:10 270:24</p> <p>invited [1] 40:25</p> <p>involve [2] 158:4 187:3</p> <p>involved [57] 7:18 10:13 15:1 28:1 29:4 42:12 46:25 47:3 48:3 51:17 52:13 55:4,12 66:13 68:17 71:1,19 74:5 94:9 107:25 113:16 116:8 125:17 127:15 138:1 160:21 166:5 192:8 194:8 198:8 199:10 201:22 202:24 206:21 207:11 223:17 224:16,21 245:3 251:7 263:8,9 273:10 284:15,20,22 296:24 301:23 302:17,20,23 303:12 311:13 334:11 357:21 363:2 367:1</p> <p>involvement [9] 18:19 20:21 24:11 72:1 77:7 199:2 201:20 202:5 278:24</p> <p>involves [1] 219:24</p> <p>involving [5] 69:2 188:1 196:11 262:4 334:9</p> <p>irrespective [1] 337:25</p> <p>issue [67] 20:15 30:21 37:19 44:3,5,15 46:23 50:7 52:14 53:8,20 61:4 63:12 77:1,23 79:2,3,18 81:11 94:15 99:4 111:17 115:4,8,18,22 118:6,8 118:22,23 121:1 132:4</p>	<p>143:21 144:18 147:19 183:9 187:6 194:7 206:22 207:12 226:5 230:9 234:19 247:18 248:21 285:1,4,15 289:21 290:22 291:18 298:16 302:6 323:13 324:13 327:6 331:10,22 346:19 348:5 348:6,15 349:24 358:4 358:10 362:13 376:12</p> <p>issues [41] 17:10 19:4,8 19:10 21:1 35:20 37:15 37:23,24 38:5,15,19 41:2 41:7 48:2 53:12 56:10 63:5,11 67:1 99:6 121:2 128:3 140:15 144:16,21 159:21 209:9 218:5 246:21 252:6 272:15 283:11 288:23 317:8 327:6 335:20,25,25 336:12 338:8</p> <p>item [3] 36:25 130:14 191:25</p> <p>items [1] 72:10</p> <p>iteration [1] 112:4</p> <p>itself [11] 13:3 15:10 31:23 32:25 34:2 69:2 75:23 144:17 172:20 173:1 360:8</p>	<p>53:18 54:21 55:2,23 56:2 56:17,24 57:5,25 58:4 58:10,23 59:3,9,15 60:4 60:9,13,17 61:16,20 62:1 62:7,16,23 63:19 64:1 64:11 65:15 66:5,9,16 66:22 67:11,18 68:1,13 69:4,9,20 70:16 71:2 72:6,19,23 73:12,17 74:12 75:7,25 76:7,12 76:16 77:16,25 78:5,12 78:22 79:24 80:5 81:16 81:22 82:1,13,21 83:3,7 83:12,23 84:9,13,19,24 85:4,11,16 86:11 87:6 87:24 88:3,8,13,19,23 89:4,10,14,24 90:3,18 91:11,23 92:4,8,17,23 93:4,10,15 94:8 95:6,11 95:17 96:1,6,15 97:7,13 97:19,23 99:16 100:5,10 100:23 101:8,13 102:19 102:25 103:20 104:1,16 104:24 105:3,9 106:4,11 106:24 107:10,16,21 108:13,17,22 109:7,11 109:15,23 110:3,8,13,18 111:3,18 112:22 113:3,9 114:8,14 115:9 116:13 117:9,16,25 119:1,14 120:3,9,21 122:1,8 123:1 123:6,12,16 124:6,24 126:21,25 127:9,16,20 128:10,14,24 129:8,15 130:10,17,22 131:17 133:12 134:3,16,25 135:24 136:7,14,22 137:10 139:5,11,21 140:4 140:9,14,25 141:7,15,19 142:2,24 143:4,9,18 144:9 145:6,12,19 146:2 146:11,17 147:24 148:5 148:10,19,23 149:4,17 150:1,5,9,14,20,24 151:7 151:14,18 152:8,15,20 152:24 153:5,13,18,22 154:11 155:3,9,18,22,25 156:8,14,22 157:4,16 158:6,24 159:11,18 160:23 161:18 163:11,16 163:25 164:13,20 165:1 165:11,25 166:8,13,22 167:3,10,16,24 168:4,13 169:7,13 170:11,16 171:3 171:7,14,20,25 172:7,11 172:17,21 173:2,11,15 173:20 174:2,7,18,22 175:2,8,13,19 176:7,22 177:1,6,11,17,24 178:4 179:3,9,14,24 180:7 181:12 182:2,12,16,20 182:24 183:4 184:6,22 185:6,11,17 188:3,17,20 190:4,11 191:10,20,24 192:5,10 193:15,20,25 194:21 195:3,24 196:7 196:13 197:2,6,25 198:9 198:14,18,25 199:18 200:4,8,13 201:1,7,18 202:10,14,25 203:17,22 204:2,6,12,21 205:3,7 205:11,20,25 207:6,20 207:24 208:7,14,20 209:1</p>
---	---	--	--	--

-J-

J [1] 347:11

J-EN-K-I-N-S [1] 4:12

Jackson's [1] 7:9

January [18] 147:13

158:12 162:11,12 165:21
167:7 168:18 169:18
201:13 202:21 230:12
231:13 236:7 237:23
238:21 316:14 374:17,18

Jeanette [6] 247:3
250:24 253:7,12 258:10
259:7

Jenkins [692] 2:2 4:2,5
4:10,11,16,17,20,23 5:10
5:18,22 6:22 7:2,15,20
8:1,20 9:1,8,14,21 10:5
10:15,20,24 11:4,9,18
12:5,11 13:15,19 14:15
14:21 15:3,12,18,23 16:4
16:9,15,22 17:1,5,20
18:3,11,15,21 20:2,18
21:9,11,15 22:7,11,20
22:25 23:5,13 24:7,12
24:18,24 25:7,17 26:4,9
26:15,21 27:2,6,13,19
27:24 28:5,11,15,22 29:7
29:12,17,21,25 30:4,9
30:24 31:7,18,25 32:5
32:13,19 33:2,6,10,16
33:21 34:1,5,20 35:2,11
35:23 36:3,9,21 37:5,10
37:16 38:1,9 39:3,12,19
39:25 40:5,9 41:9,15
42:2,10,17,21,25 43:8
43:13,17,21,25 44:20,24
45:5,11,17 46:6 47:8,16
48:12,22 49:2,9 51:3,9
51:13,20,24 52:8,23 53:5

<p>209:5,10,14,19 210:2,6 210:15 211:7,14,19,23 212:2,8,14,21 213:11,20 214:5 215:5,10,14,20 216:14,19 217:1,7,11,17 217:25 219:3 220:9,13 220:17 221:9,13 222:4 222:11,16 223:14 224:2 224:8,13 225:12,21 226:9 226:11,16,20,25 227:16 227:24 228:11,18,25 229:12 230:5,13,19,23 231:5,11,17,23 232:4,8 232:15,19 233:1,7,18,22 234:2,7,11,23 236:12,19 236:24 237:3,8 238:1,5 238:17,22 239:2 240:5 240:18 241:8,15,23 242:4 242:10,17,23 243:5,10 244:8,15 245:4 246:10 246:15 247:7,13 248:2,7 248:14,19 249:6,10 250:9 250:14,25 251:4,9,13,19 252:1,10,20,25 253:5,14 253:21 254:1,5,15,23 255:2,6,14,20 256:17,24 257:3,8,13,19,23 258:2 258:6,11,15 259:6,20,24 261:3,18,25 262:12,25 263:6 264:1,6,11 265:2 265:7,12 266:5,22,24 267:8,12,18 269:1,20 272:9 273:25 274:4 343:17</p> <p>Jennifer [1] 1:15</p> <p>Jerrett [1] 28:16</p> <p>job [5] 15:6,7,10 21:1 36:20</p> <p>John [4] 27:14 33:10 36:16 50:23</p> <p>John's [53] 18:8 72:4 88:6 91:4,4,9 93:2,21 101:12 104:22 115:24 121:12 140:23 144:6 151:5 162:22,23 170:3 171:11 199:22 208:13 268:14 285:16 286:4 287:3,19 289:4 290:24 291:6 293:13 295:7 297:19 298:6 302:3 303:21 306:11 308:3 309:17 331:12 332:14,21 333:3 340:18 341:13,24 343:5,10,21 346:25 349:2 378:16 380:8,11</p> <p>join [1] 269:23</p> <p>joined [3] 6:19,20 42:15</p> <p>joint [1] 19:3</p> <p>Jong [6] 27:18,20 33:11 81:7,22 200:19</p> <p>Joy [1] 313:22</p> <p>JPMH [1] 365:14</p> <p>judge [1] 133:20</p> <p>Judy [4] 347:15 351:19 380:2,13</p> <p>July [19] 26:13 31:11 32:10 195:1,3 196:2,24 197:1,9,13 208:24 209:18 210:11 213:16 214:10,25</p>	<p>215:23 217:20 250:22</p> <p>jumped [1] 301:8</p> <p>June [17] 32:10 44:9 48:19 50:14 191:15 216:2 216:24 217:20 275:24 276:4 286:5 288:1 302:3 308:25 348:11 351:22 359:19</p> <p>June/July [1] 291:5</p> <p>jurisdiction [2] 75:24 76:1</p> <p>jurisdictions [2] 19:19 41:2</p> <p>Justice [2] 1:3 380:6</p> <hr/> <p style="text-align: center;">-K-</p> <hr/> <p>K-E-N [1] 4:11</p> <p>Kara [2] 1:9 243:22</p> <p>Kara's [1] 315:20</p> <p>Karen [4] 262:11,11,13 262:16</p> <p>Keats [3] 360:24 361:1,3</p> <p>keep [13] 48:3 70:20 78:15,18 90:12 106:2 186:21 272:14 306:1,2,5 313:8 374:3</p> <p>keeping [4] 98:25 126:13 187:14 320:21</p> <p>Kelli [2] 77:9 163:9</p> <p>Kelly [9] 42:11 45:15,15 45:18,22 51:1 360:24,25 361:3</p> <p>Ken [29] 4:16 33:9 46:13 47:7 82:24 90:10 103:17 105:14 113:21 114:7 116:9 118:21 125:24 131:17 146:17 147:6 163:11 166:4 170:8 185:3 187:17 190:10 191:24 206:19 209:5 210:1,18 216:13 223:5</p> <p>Kenneth [4] 2:2 4:5,11 266:22</p> <p>Kenny [3] 237:21 250:24 253:6</p> <p>kept [7] 55:13,18 152:12 185:9 187:16 205:23 290:13</p> <p>key [15] 34:24 53:7 80:12 158:17 159:8 362:18 370:15,16,17,20 371:3,4 371:7 373:9 375:11</p> <p>kin [4] 154:22 187:11 239:24 243:9</p> <p>kind [25] 49:16 54:9,19 57:19 78:3 80:10 84:12 97:1 105:7 108:20 114:13 132:15 141:24 155:7 205:10,17 248:1 269:7 325:7 326:4 327:16,22 339:25 353:19 364:14</p> <p>kindly [2] 118:21 121:21</p> <p>kinds [1] 256:11</p> <p>King [8] 27:5,7 30:11 130:16 131:8 132:13 133:23 137:3</p>	<p>knew [5] 145:17 254:11 339:8 350:7 354:2</p> <p>knowing [1] 328:16</p> <p>knowledge [35] 16:20 41:13 53:3 93:8 120:11 136:11 144:1 151:12 152:13 176:18 200:9 207:3 208:21 237:4,9 242:18 247:25 268:22 297:8 298:1,8,12,14 311:17 320:21 325:9 327:16 328:7,16 337:2,5 364:5 367:19,24 368:15</p> <p>known [15] 5:13 6:21 22:10 58:8 66:8 110:2 145:16 176:14 182:11 186:14 228:22 254:4 306:18 344:11 368:7</p> <hr/> <p style="text-align: center;">-L-</p> <hr/> <p>L-A-W-R-E-N-C-E [1] 274:20</p> <p>L-T-E-R [1] 274:21</p> <p>lab [38] 9:23 46:2,11 62:11 70:13 77:1 118:11 120:23 131:25 132:8 162:5 187:4 189:15,19 190:9,15 192:1 193:3 195:15 236:17 246:2 253:1,4 254:12 256:5 259:18 260:5 262:22 284:6 293:14 306:6 328:11 329:25 330:6 338:7 339:8 340:16 341:7</p> <p>labelled [1] 362:12</p> <p>laboratories [4] 339:9 348:17 376:16 378:11</p> <p>laboratory [45] 8:13,25 9:19 10:12 12:2 13:8 14:16 15:5 51:5 55:6 71:9 72:25 73:5 144:6 191:19 192:13 214:13 253:7 254:9 255:19,22 258:22 270:16,23,24 273:15 279:2,14 281:3 281:13,24 283:1 284:4 284:14 288:23 293:15 304:22,24 308:18 331:21 336:14 339:18 347:1 354:2 366:21</p> <p>Labrador [13] 18:25 20:25 27:21 32:17 36:8 271:11,16 296:6,11 321:8 360:1 380:8,11</p> <p>Labrador-Grenfell [1] 1:16</p> <p>labs [2] 44:16 323:1</p> <p>lady [3] 216:2,25 247:3</p> <p>Laing [4] 1:9 64:15 243:22 323:7</p> <p>Lake [2] 7:8 360:1</p> <p>large [6] 62:25 71:20 136:20 181:17 189:14 270:8</p> <p>larger [1] 317:22</p> <p>Larry [11] 33:9 88:2,4 90:6 92:13,14 178:9 319:24 348:21 361:11,13</p>	<p>last [16] 5:11 14:22 20:7 65:2 111:23 113:11 114:22 131:13 147:6 154:17 186:11 296:22 301:2 352:3 358:7 365:6</p> <p>late [5] 41:5 116:10 244:6 289:6 336:18</p> <p>lateness [1] 358:9</p> <p>latest [1] 34:9</p> <p>latter [2] 33:14 69:21</p> <p>Laura [1] 1:12</p> <p>Lawrence [4] 2:5 274:13 274:14,20</p> <p>lawsuit [2] 234:1 239:13</p> <p>lay [1] 251:24</p> <p>lead [10] 59:13 118:10,21 132:23 345:4,5 346:10 346:12,21 375:24</p> <p>leaders [5] 49:18 253:1 253:4 262:22 269:11</p> <p>leadership [2] 80:8,11</p> <p>leading [1] 25:19</p> <p>learning [1] 146:6</p> <p>learnings [1] 258:25</p> <p>least [20] 23:8 67:16 92:13 132:15 175:24 176:19 197:9 218:25 221:6 251:23 279:4 292:19 312:9 320:20 334:9 340:24 344:9 364:17 365:4 371:16</p> <p>leave [2] 238:9 354:6</p> <p>leaving [1] 38:22</p> <p>led [3] 319:10 333:12 334:19</p> <p>left [12] 113:21 115:17 119:15 187:18 197:19 200:12,14 282:8,21 297:16 339:12 342:20</p> <p>legal [4] 121:20 122:4,16 235:10</p> <p>legislation [1] 39:7</p> <p>legislature [2] 118:7,24</p> <p>length [1] 137:6</p> <p>lengthy [1] 378:13</p> <p>lesion [1] 229:8</p> <p>lesions [4] 101:24 309:2 309:11,18</p> <p>less [12] 110:25 291:1,2 312:22 313:16 318:10,12 318:14,17 323:1 337:10 337:11</p> <p>letter [22] 11:20 18:9 19:13 24:22 81:25 83:11 178:22 182:10,19 205:2 208:24 214:2 219:10,11 224:3,25 226:15 238:10 288:1 314:4,23 355:9</p> <p>letterhead [3] 59:22 61:7 84:7</p> <p>letting [1] 138:19</p> <p>level [12] 20:21 71:10 90:13 99:5 106:13 132:2 132:4 138:21 246:18 249:18 268:23 316:3</p>	<p>levels [4] 204:15 249:11 293:7 299:11</p> <p>Lewis [2] 40:20,24</p> <p>liaison [5] 20:20 21:6,10 23:2 319:16</p> <p>liaisoning [1] 166:17</p> <p>licensure [1] 36:15</p> <p>light [2] 115:12 260:22</p> <p>likely [7] 80:7 131:5 142:8 187:2 262:8 324:9 378:12</p> <p>limited [7] 7:21 86:21 181:5,10 199:5 272:22 326:12</p> <p>limiting [1] 333:18</p> <p>line [17] 55:6 73:7 88:15 89:2,7,8,8 90:15 98:12 98:12,15 99:11 170:25 192:11,24 246:23 339:22</p> <p>lines [3] 54:11 157:18 354:8</p> <p>link [1] 79:19</p> <p>Lisa [6] 42:11 43:1 209:24 210:5,7 250:23</p> <p>list [54] 3:1 66:24 74:2 78:21,23 80:3,7 83:6,10 105:23 111:7 115:12 118:12 161:11 169:10,22 172:14 183:21 184:12 185:4,24 186:5,6,18 187:18 188:17 189:4,12 189:15,16 204:19,20 211:1,4 212:6,13,19 213:9,14 220:3 221:21 225:8,15,16 226:19 228:5 228:7,10 229:5 237:22 314:22 315:4 349:5 365:8</p> <p>listed [7] 26:7,24 55:20 228:6 252:6 344:9,10</p> <p>listeners [1] 137:24</p> <p>listening [3] 317:14 352:12 369:12</p> <p>listing [4] 82:25 169:4 221:6 344:3</p> <p>lists [5] 73:18 107:9 202:1 293:11 365:12</p> <p>literally [1] 230:18</p> <p>live [1] 218:13</p> <p>living [6] 239:16 240:8 240:10 241:20,21 308:2</p> <p>lobular [1] 323:8</p> <p>local [5] 47:1 75:21 153:16 250:1 299:8</p> <p>locally [1] 218:17</p> <p>locate [1] 102:18</p> <p>located [3] 267:21,23 276:24</p> <p>locating [2] 51:18,18</p> <p>logging [1] 74:21</p> <p>look [59] 12:25 13:22 17:23 19:12 22:14 31:5 32:9 37:1 40:17 43:4 55:16 58:22 64:21,22 66:12,19 78:20 80:10,25 82:9 94:24 98:1 149:11 155:10 162:3 163:10</p>
---	---	--	--	---

<p>167:13 168:9 175:22 176:2 183:13 204:19 224:7 227:13 230:17 232:22 247:1 256:2 258:23 260:2 261:23 271:12,18 290:1.5 322:9 323:23 331:15 333:23 349:18 355:8 357:25 359:13 362:5 374:11,11 374:21 375:5 377:25</p> <p>looked [13] 79:22 82:12 86:18 98:3,4 129:2 165:22 197:5 199:11 204:18 300:15 331:21 359:11</p> <p>looking [22] 31:4 71:19 124:19 131:7 143:12 186:23 194:11 227:6 228:5 256:4 263:14 267:19 290:19 316:20 317:15 322:10 323:16 346:9 347:8 365:2 370:2 370:11</p> <p>looks [4] 65:11 106:1 112:7 329:23</p> <p>loop [2] 185:10 205:23</p> <p>Lorraine [1] 197:1</p> <p>lost [1] 19:18</p> <p>Louise [3] 119:14,25 120:25</p> <p>luck [1] 184:13</p> <p>LUNCH [1] 206:11</p> <p>luncheon [1] 206:3</p> <hr/> <p style="text-align: center;">-M-</p> <hr/> <p>MacDonald [3] 214:3 219:12 220:25</p> <p>machine [4] 65:4 366:1 377:20 378:2</p> <p>mail [10] 70:10 89:23 94:6 95:10,14 103:5 106:8 130:1 195:1 200:18</p> <p>mailing [1] 83:6</p> <p>mailout [2] 129:7,12</p> <p>mails [2] 70:7 165:21</p> <p>main [7] 42:5 63:12 100:16 101:5 129:25 260:10 282:15</p> <p>mainland [1] 292:5</p> <p>maintain [2] 107:3 164:2</p> <p>maintaining [1] 271:5</p> <p>maintenance [1] 272:15</p> <p>Majesty [1] 1:8</p> <p>major [3] 248:4 267:20 281:8</p> <p>majority [1] 359:18</p> <p>makes [1] 124:21</p> <p>malignancy [1] 245:21</p> <p>mammogram [1] 88:22</p> <p>mammography [2] 318:25 319:2</p> <p>manage [1] 270:12</p> <p>management [23] 42:3 42:13 45:20 54:6 55:8 57:4 72:8 80:12 99:8</p>	<p>103:5 107:24 118:9 119:4 156:25 157:1 160:19 162:12 165:15 201:21 209:8 210:7 302:25 304:10</p> <p>manager [14] 43:1 44:25 45:10,18 94:20 121:21 122:5,18 184:4 258:17 284:8 339:17 347:20,23</p> <p>managers [13] 13:8 34:8 41:19,23 120:17 253:1,4 253:8 269:25 279:5 283:24 339:9 357:15</p> <p>managing [1] 270:7</p> <p>mandate [7] 8:7,17 9:4 41:22 75:9 105:2 265:1</p> <p>mandatory [1] 260:7</p> <p>manner [5] 13:7 245:21 246:2 352:11 363:9</p> <p>manual [4] 36:17,18 233:6 253:17</p> <p>March [12] 101:24 189:9 190:7,14 229:17,22 260:21 263:23 276:19 277:1 309:3 365:10</p> <p>Margaret [1] 380:6</p> <p>Marilyn [7] 115:13 116:5 124:2,25 222:22 222:25 223:19</p> <p>mark [2] 1:14 331:4</p> <p>marked [5] 6:15 275:10 275:12,13 327:10</p> <p>markers [1] 323:4</p> <p>massive [5] 89:23 94:6 95:10 129:7,12</p> <p>mastectomies [2] 291:19 300:21</p> <p>match [1] 189:20</p> <p>material [4] 49:8 58:21 66:4 288:11</p> <p>materials [7] 71:20 73:2 73:6 74:19 78:13 253:11 304:9</p> <p>matter [45] 16:19 23:10 24:17 31:16 32:11 45:25 53:4 54:17 81:23 89:25 92:13 93:13 95:2,4 104:3 124:3 125:9 143:8 159:25 165:16 196:10 223:13 231:10 233:16 234:21 235:20,24 244:17 247:11 248:25 259:11 260:18 272:2 289:18 290:14 294:9 301:14 324:20,22 345:3 348:25 349:12 355:18 368:18 380:3</p> <p>matters [3] 25:5 141:24 367:16</p> <p>Maurice [4] 280:9 290:20 319:25 352:8</p> <p>Max [1] 9:10</p> <p>may [133] 11:21 17:12 30:15 32:10 37:8 40:22 44:17 47:3 58:18 60:22 79:1,11,17 87:13,15 89:17 91:15,15 93:24 101:24 102:4 112:1,3,4</p>	<p>113:25 115:2 116:5 121:18 122:16 131:11,13 132:17 135:11 136:1 138:5,14 139:2 142:9,17 144:15 145:16 146:9 153:23 173:10 183:20 184:10 189:3 197:18,19 197:21 200:18,24 204:13 206:17 207:4,14,15 218:8 229:19,24 230:12,18 231:13 235:6 236:8,8 245:8,11,16 247:2,12,17 247:23 248:13 255:7 268:7 272:23 273:12 286:1 287:3,17,22 290:22 295:2,17,17,18 296:13 296:13 304:8 305:21 309:3 311:23 312:21,23 312:24 313:1,3,12 315:21 316:2 317:17 321:4,7 322:20 323:6,20 333:25 334:19 337:25 339:11 341:5,9 343:10 348:18 350:16 354:17,17,25 356:18 360:6 361:11 364:22,23 365:10 367:1 368:23 372:13,17 373:11 374:7,10 376:1</p> <p>McCarthy [4] 311:6,17 313:14,23</p> <p>McGrath [1] 262:13</p> <p>MCP [7] 28:7 102:7 155:10 189:12,20 190:10 190:16</p> <p>mean [42] 34:2 40:10 42:22 57:1 63:17 80:9 100:24 131:16 133:13,14 135:21 140:15 144:18 240:19 246:18 292:21 294:25 300:2 309:24 310:5 317:15 325:24 329:24 340:3,8 346:7,22 353:9 359:4,8,10 364:20 366:22 367:3 368:11,13 369:5 370:20 372:3,12 372:25 374:5</p> <p>meaning [2] 52:12 213:9</p> <p>means [10] 41:16 74:3 77:9 155:10 161:21 164:4 210:13 271:19 368:24 380:10</p> <p>meant [4] 80:4 196:19 199:23 303:21</p> <p>meantime [2] 239:1 282:13</p> <p>measures [6] 12:9 13:6 39:16 128:18 259:2 260:3</p> <p>mechanism [6] 12:16 12:24 13:12 59:17 116:2 129:20</p> <p>mechanisms [1] 188:23</p> <p>Med [1] 46:20</p> <p>media [19] 45:24 46:22 79:2 89:1 96:19 112:1 130:23 218:2 287:3 319:13 363:5,14,20,22 364:4,13,14 369:14 371:4</p> <p>medical [105] 1:14 4:25 5:4,24 6:3,6 8:10,14 10:7</p>	<p>10:18 11:13,14 18:25 19:5 20:25 21:21 22:15 23:16 24:4 26:25 27:1 27:20 28:1,17 32:22,23 34:25 36:19 38:16,17 40:17 41:3,5,22 47:13 54:22 59:23 75:16 81:9 92:21 103:9 131:18 133:9 134:20 135:8 139:14 146:17 149:7 157:24 177:21 180:9 191:15 192:13 201:15 209:5 246:17 249:25 250:1,16 262:5 263:10 269:9 275:21,22 276:2,5,8,14 278:7,15,16,17,17,20,23 279:6,7,9 281:2,9,24 295:6,8 296:2,15 297:2 297:2,14,19 314:10 336:25 340:24 342:19 343:3 345:1 346:15,16 350:8 355:11 362:20 366:17 367:7 371:10 372:1 376:24</p> <p>medically [1] 285:1</p> <p>medicals [3] 81:7 181:3 182:9</p> <p>medicine [4] 192:9 279:15 281:14 297:12</p> <p>Meditech [10] 73:23 83:21 102:1 257:18 261:8 304:3,21,24 305:4,7</p> <p>meet [10] 194:13 200:11 206:9 228:8 229:7,9,20 246:24 309:24 367:11</p> <p>meeting [37] 26:13,14 26:19 28:19,20 29:1 31:5 31:10,22 32:22,24 33:13 33:14 40:22,23,25 46:20 47:13 48:4 77:7 99:14 99:14 116:7 139:14 149:7 157:23 177:21 180:9 181:4 183:11 191:14 250:22,22 252:12 260:19 310:7 367:7</p> <p>meetings [8] 28:23 99:17 135:8 193:13 278:22 362:1 372:7 376:25</p> <p>member [2] 278:20,21</p> <p>members [5] 1:12 20:22 87:13 191:7 221:1</p> <p>memo [9] 104:19 105:8 196:2,17 210:11 247:4 248:6 308:18,24</p> <p>memorandum [3] 59:20 222:21 245:9</p> <p>Memorial [6] 4:24 76:2 102:9 117:18 125:1 275:21</p> <p>memory [2] 92:9 159:2</p> <p>memos [1] 108:6</p> <p>mention [4] 122:12,15 313:14 357:14</p> <p>mentioned [8] 45:19 68:19 107:23 223:19 268:19 352:9 358:10 363:1</p> <p>Mercer [1] 245:10</p>	<p>merely [1] 157:14</p> <p>merged [1] 353:3</p> <p>merging [1] 302:12</p> <p>merit [2] 35:18 127:17</p> <p>message [12] 77:2 111:14 112:18 113:22 114:4,12 119:15 161:3 183:6 249:23 356:15 362:19</p> <p>messages [8] 370:15,16 370:17,20 371:3,7 373:9 375:11</p> <p>met [6] 200:2,5 220:25 289:12 346:17 360:11</p> <p>method [2] 128:1 193:1</p> <p>methodologies [1] 194:7</p> <p>methodology [2] 177:13 194:23</p> <p>Michael [2] 27:20 33:11</p> <p>mid [3] 102:17 260:20 342:6</p> <p>middle [4] 62:10 121:22 160:5 213:16</p> <p>midway [1] 336:18</p> <p>might [38] 24:16 25:10 25:12 30:7 59:12 65:24 65:24 74:11,24 80:15,15 80:20 91:8 94:16 96:12 129:4 134:20 140:7 149:2 149:3,11 183:2 189:4 199:7 223:10 242:2 248:10 302:23 316:22 331:2 333:13 334:9,23 360:5 367:6,25 368:7 378:6</p> <p>Mike [1] 40:14</p> <p>military [3] 5:4,9,16</p> <p>Miller [1] 360:13</p> <p>mind [9] 66:19 255:9 261:21 268:2 272:14 297:21 312:10 367:9,12 372:24</p> <p>mine [3] 290:10 355:21 372:24</p> <p>minimal [1] 119:23</p> <p>minister [10] 20:22 21:16 53:24 118:7,23 119:8 200:22 219:15 243:17 292:2</p> <p>Minister's [2] 216:1,23</p> <p>ministers [3] 21:19 53:25 54:2</p> <p>Ministry [1] 220:5</p> <p>Minnie [5] 50:20 51:23 51:23,25,25</p> <p>Minnie's [1] 147:18</p> <p>minute [2] 84:14 202:13</p> <p>minutes [18] 26:2,12 30:14 31:4 32:17,22,25 36:2,6 46:9 157:22 159:6 177:21 179:11,20 191:14 200:25 206:24</p> <p>mirrors [1] 365:3</p> <p>miscommunication [1] 357:19</p> <p>missed [8] 74:11,24</p>
---	---	--	--	---

<p>106:14 115:2 199:12 242:3 264:5 345:21 missing [2] 106:9 166:20 mistake [1] 357:23 mix [1] 235:22 model [1] 305:4 module [3] 304:25 305:1 305:8 Moir [2] 50:25 215:24 moment [4] 157:9 228:17 312:8 351:3 momentum [1] 70:21 Monday [10] 47:5 118:13 119:16,25 186:2 245:16 246:3,6 260:19 348:21 money [2] 90:16 119:21 Monica [1] 233:12 month [3] 97:11 222:1 252:16 months [8] 14:23 25:3 131:9 314:16 352:1 354:10 373:12 375:7 monumental [1] 233:4 morning [13] 45:14 47:5 77:20 123:19 131:20 146:18 188:10 207:2 223:8 246:1 348:9 351:17 379:1 mortality [3] 155:8,8,13 Moss [2] 380:2,13 most [25] 9:3 29:1 47:24 101:25 131:3 147:7 158:12 164:9 207:1 268:15 269:3 283:25 295:1 304:1 311:9,12 323:1 339:7,8,12 340:8 346:13,22 355:1 362:1 mostly [2] 84:15 176:11 Mount [50] 44:12 48:21 61:2 110:24 118:5 134:8 134:13 135:4 140:2,23 147:10,11 151:6 158:11 162:16 168:19,22 170:9 178:8,14 180:14,20 181:25 197:17 199:6 202:19,20 220:1 225:18 239:14 287:20 309:8 329:21 331:8,16 341:24 342:1,14,20,25 343:2 348:13 352:2 354:11,14 373:11 374:6 377:12,25 378:17 move [4] 104:7 134:14 163:14 273:17 moving [3] 72:13 192:20 219:23 Mrs [1] 223:3 Ms [117] 33:24 34:15 43:20 44:23 45:4,9 46:4 46:5 48:15 50:4,5 55:21 64:25 70:8,8 76:21 77:20 78:10 81:19,21 82:17 104:15,19,21 105:6 110:16 111:22 114:19 116:25 117:12,14,14 119:13 120:20 122:22</p>	<p>124:23 127:4 131:7 132:13 133:23 137:3 146:15 147:2,3 154:3,4 155:1 156:2,18 157:2 160:7,8 161:1,9,17,23 164:7,16,18,19 165:12 166:16 167:7 169:11,18 170:14 174:16 179:7 183:16 184:4 185:1,9,22 185:23 188:7 190:8 198:3 214:2 221:12 224:4,24 240:16,20 266:7,8,11,12 317:7 347:18,20 348:4,9 348:20,22,23,24 349:4,6 349:21,22,23 351:4,5,12 351:18 352:13 353:15,15 357:3 358:3 359:15 361:5 361:18,20 368:19 373:18 376:8 muddying [1] 324:1 multi [1] 140:17 multiple [1] 187:20 Mundon [2] 146:16 147:3 Murphy [2] 81:10 355:11 must [9] 119:2,4 176:15 176:15 211:8 238:25 271:11,14 340:6</p>	<p>183:10 192:20 214:17 246:22 247:19 302:8 350:15 needle [1] 246:5 needs [8] 37:22 124:14 188:14 194:13 252:18 253:18 272:17 348:22 negative [71] 65:13 101:23 109:22 110:23,24 111:5 118:5 162:20 163:6 163:23 164:12 165:9 174:17 176:20 177:10 188:1,11,13 189:14 201:14 203:21 216:5 222:2,15 225:9 238:12 239:20 287:15,17 290:21 290:25 291:1,2,3,18,20 292:6,23 293:5 297:25 298:20 299:8,9,21 300:10 300:18 303:19 309:1 310:17 311:11 312:23 313:13 316:12 318:18 319:9,17 320:10,16 322:19 323:2,2,9,15,25 324:15 325:21 326:17 337:17 338:2 365:9 369:3 negative' [1] 168:25 negatives [18] 169:25 170:19 171:4 174:10 175:12 176:12 185:24 204:20 211:22 212:1 232:11,18 241:1,17 290:22 292:3,14 362:14 negativity [3] 151:13 152:13 153:17 negotiations [3] 18:22 18:23,23 Neil [53] 12:15 46:11,24 49:10,17 50:7 70:15 73:22 74:13 82:17 83:16 101:5 102:17 103:5 105:13 106:8 114:19 135:9 153:23 162:13 169:20 181:20 197:10,12 198:5,7 199:1,22 207:4 207:9 214:3,14 230:16 230:17 233:1 234:20 235:15 237:15,24 238:11 238:25 245:11 246:13,14 246:18 247:2,14 249:12 250:23 252:24 257:22 269:5 272:21 Neil's [2] 49:23 151:22 networking [1] 259:11 never [14] 69:3 93:8 208:19 219:4 238:15 328:6,17,18 336:10 337:5 362:24 363:22 364:2,4 new [29] 8:12 35:5,6 62:13 63:17,21 68:16 69:5,24 123:2 137:16,21 138:3,8 139:24 142:5 143:8,22 144:20,23 145:2 187:13 260:21 261:7 276:5 291:5 327:16 342:12,13 Newbury [3] 1:15 266:7 266:8 Newfoundland [23]</p>	<p>18:25 20:25 32:17 36:7 67:10 73:25 75:10 101:6 131:10 142:1 271:11,16 296:6,10 297:24 314:5 321:7 336:25 337:1 345:6 355:14 380:8,11 Newfoundland's [1] 309:15 newly [1] 261:11 news [3] 71:4 138:16,23 newspaper [2] 56:15 110:21 newspapers [3] 108:11 108:20 109:6 next [31] 4:2 19:22 37:14 40:23 45:14 77:10 118:8 118:24 121:3 125:3,25 126:8 134:15 135:15 154:22 160:20 186:23 187:11 192:3 207:1,9 229:21 239:24 243:8 244:5,6 274:8 337:8 357:8 361:15 370:14 night [1] 358:8 nine [2] 5:13 33:1 nitty [1] 185:14 NL [3] 1:8,14,15 NLCHI [12] 214:3 215:9 220:12,14,20 225:5 227:2 227:12 230:10 243:15 261:8 264:14 NLMA [7] 27:7,15 29:11 29:13,22,24 89:21 nobody [3] 267:5 336:14 339:22 node [1] 315:12 non-medical [1] 5:11 non-physician [1] 9:15 none [4] 144:7 246:6 368:21 376:11 normal [1] 322:22 normally [1] 224:20 north [4] 7:6 193:1,11 377:2 Northern [1] 7:7 note [29] 40:18,19 50:20 88:17 157:24 167:21 187:10 195:2,9 209:18 214:21 252:4 259:17 262:8 310:12 311:24 317:1 318:21 319:13 360:25 361:10,18,21 362:11,12,21,25 364:12 373:18 noted [14] 39:22 56:8 60:7 94:3 158:16 160:9 168:7 183:22 184:2 313:23 318:4 321:24 329:20 355:23 notes [39] 25:12 34:23 48:4 55:17,18 81:20 84:12 88:14 95:23 99:24 129:3 151:1 159:19 187:3 192:24 203:1 233:3,5 243:2 251:7 261:23 290:7 290:12,18 293:17 294:1 298:18 317:15 321:8,18</p>	<p>322:13 330:14 336:4 347:8 359:17 364:21 365:4,6 371:8 nothing [3] 199:12 265:14 301:8 notice [2] 229:6 313:11 noticed [2] 313:5 359:23 notices [4] 108:10,20,21 109:6 notification [17] 56:22 57:7 58:14 113:16 116:3 116:6 166:6 169:24 170:19 176:3,5 177:12 183:9 214:8 241:1 244:19 375:25 notifications [2] 175:22 176:13 notified [11] 67:3 125:14 146:24 147:8 170:2,23 171:6,23 190:22 205:13 205:15 notify [7] 56:12 59:18 108:9,16 162:19 315:5 371:25 notifying [5] 111:5 112:9 118:11 315:3 326:3 noting [2] 332:7,12 notion [1] 248:25 Nova [3] 158:14,15,22 November [19] 40:22 116:24 118:25 120:20 121:23 224:3 232:3,5,24 232:25 236:2 237:13,21 238:10 239:6 241:7,13 335:10 374:17 now [127] 6:9,19 8:3,15 11:2 12:4 13:3,18,20 17:17,24 32:12 39:11 42:20,22 48:17 50:12 51:10 55:16 56:13 61:10 62:4,5,19 63:14 64:12 65:8,20,23 67:8,22 70:23 72:16 75:4,12 76:19 78:8 80:2,15 83:15 84:4 90:13 91:17 95:10 98:2 100:18 103:14 105:19 106:7 107:8 109:21 123:2 124:22 126:16 130:13 131:12 134:19 137:22 138:13 139:9 141:13,18 142:13 143:16 147:19 160:17 170:18 180:4 193:24 201:4 205:12 208:11 219:8,22 221:4 223:6 226:14 236:11 239:10,22,25 241:7 245:7 248:10 261:21 276:8,14 276:22 277:2 280:3,19 281:13 290:6 293:16 294:4 297:22 313:21 316:25 317:19 320:25 321:17 322:20 325:4,16 325:22 326:2,15 327:15 328:7,9,16,21 338:15 340:7 341:4 342:18,19 343:24 347:6 349:19 354:22 370:12 371:15 373:12 374:11,22 376:16 NTV [2] 319:7 351:6</p>
<p>-N-</p>				
<p>N-E-T-H [1] 4:12 Naijfi [2] 356:3,5 name [13] 4:8,11 61:22 85:8,9 101:9 102:7 123:2 189:18 210:23 222:23 274:18 290:20 named [1] 247:3 names [10] 78:21 111:7 118:12 169:3 186:12 212:6,12,12,17 360:3 national [2] 90:13 99:5 nature [4] 18:19 24:10 53:2 127:14 near [4] 116:16 206:3 361:12 378:22 necessarily [6] 68:8 194:18,20 295:13 315:23 316:2 necessary [8] 89:5,7 99:20 172:3 262:20 295:11 304:18 333:11 need [51] 25:11 38:25 39:1 40:23 41:1 46:24 49:20 64:22 70:20 117:3 121:15,20 122:5 125:14 146:6 159:15 163:2,4 166:5 170:2,4 171:6,11 173:10 178:22 185:4 192:1 195:22 233:3,5 234:21 240:1 262:18 263:12 267:1,6 268:5,7 268:16 269:5,6 272:10 273:18 322:23 338:5,7,8 340:15 359:20 361:11 369:1 needed [13] 35:8 38:22 49:13 71:6,11 131:14</p>				

<p>number [97] 6:10 15:4 19:18 20:5 25:4,22 38:4 46:18 61:4 73:18,19 74:3 76:22 81:4 87:21 90:19 90:22,22 98:7,15 104:21 111:12 118:18 125:10 134:1,6 146:25 148:6 149:24 154:20,23 155:1 157:25 160:20 161:5 168:10 169:19 170:7 177:22 179:8 181:10 186:7,12 188:8 189:14 189:18 191:17 194:4 196:3 199:19,20 201:25 202:1 204:15 213:1,21 214:22,24 225:11,20,25 227:10 229:3 233:2,4,13 241:11 243:20,20 244:5 246:16 249:11 252:14 260:12 263:24 272:18,22 279:4 283:21 284:18,21 288:1,3 292:18 294:19 297:23,25 300:7 303:6 319:13 320:15 324:20 333:6 335:6 344:10 348:8 372:7</p> <p>numbers [18] 71:20 118:12 149:11 152:1 160:13,16 161:12 180:17 187:13 189:12 190:10,16 207:3 227:13 301:3,5 328:5 374:5</p> <p>nurse [2] 117:17 120:15</p> <p>nurses [5] 60:1 79:15 122:25 124:25 223:20</p> <p>nursing [11] 59:25 79:16 117:18 119:21,24 120:7 120:17 122:23 123:10 165:8 284:2</p> <hr/> <p style="text-align: center;">-O-</p> <p>O [1] 330:2</p> <p>O'Brien [12] 42:12 45:15 45:16,18 46:4 50:4 70:8 76:21 164:7,16,18 185:23</p> <p>O'Driscoll [1] 355:25</p> <p>O'Shea [2] 27:23,25</p> <p>objection [4] 128:21,25 129:14,17</p> <p>obligation [1] 327:17</p> <p>observing [1] 30:17</p> <p>obtain [2] 112:16 187:13</p> <p>obtained [4] 57:12 229:17,22,23</p> <p>obtaining [1] 244:21</p> <p>obvious [2] 23:16 256:11</p> <p>obviously [25] 84:6 218:3 273:8 278:21 288:24 289:25 295:1,14 295:16 296:16 305:11 306:5 307:2 311:8 321:9 321:12 339:6 347:2 357:11,22 364:21 366:25 372:16 374:4 376:3</p> <p>occasional [2] 100:14 242:2</p> <p>occasioned [2] 286:21 349:10</p>	<p>occasions [6] 25:4 53:9 227:11 288:1 335:6 360:13</p> <p>occur [10] 99:22 155:21 157:18 170:22 180:2 228:17 269:8 271:8 273:5 273:14</p> <p>occurred [10] 8:6 64:8 70:25 92:16 143:15 144:3 230:12 312:13 313:9 350:21</p> <p>occurrences [2] 23:15 34:10</p> <p>occurring [5] 39:10,24 58:16 170:21 286:8</p> <p>occurs [1] 361:14</p> <p>October [74] 35:22 55:19 56:16 58:22 59:23 60:7 62:20 67:8 70:7 76:20 76:21 77:19 78:8,18 80:24 81:1,15 82:16 83:16 84:22 85:10 98:7 101:4 102:17 103:4 104:11,20 105:13 108:7 111:11,21,22 113:21 114:18,23 116:10 132:6 147:10 221:23 225:1 226:6 312:2 313:23 316:25 321:23 322:12 324:6 334:7 335:8,8 338:16 348:21 349:11,22 351:4 355:10,23 357:2,9 358:2 359:16 360:23 361:19 371:16 373:13,18 374:16,17 375:5,16,21 375:21 377:12 379:1</p> <p>odd [1] 354:23</p> <p>off [20] 25:9 35:5 36:24 46:13,17 74:6 76:8 136:15,23 189:1 231:4 262:10 287:20 295:3 316:17,23 336:5 344:5 350:22 359:4</p> <p>offended [1] 358:5</p> <p>offense [1] 357:25</p> <p>offer [1] 243:24</p> <p>offered [4] 89:18 98:10 208:19 262:6</p> <p>office [12] 73:5 161:7 216:1,24 223:2 227:12 240:21 243:21 249:19,24 249:24 360:12</p> <p>officer [15] 5:24 9:2,24 10:14 46:7 52:1 77:3 115:24 117:18 120:7 122:23 127:2 131:1 157:5 319:16</p> <p>officers [4] 118:1,3 371:10 372:1</p> <p>officials [1] 29:16</p> <p>often [5] 144:4 280:4 296:17 362:19,23</p> <p>old [5] 62:15 276:2 296:6 358:7 360:12</p> <p>older [3] 73:23 138:5 145:4</p> <p>once [18] 23:14 36:18 71:4 109:3 116:7 121:5</p>	<p>121:7 149:9 181:15 252:16 272:11 289:25 294:23 295:4 315:5 333:2 345:22 371:8</p> <p>oncologist [15] 103:10 216:11 243:14 244:1,13 245:3 295:6,8,15 296:3 296:21 297:2,14,19 312:25</p> <p>oncologists [15] 75:15 75:16,16,17 103:10 186:22 296:16 297:3 314:10,25 316:1,12,15 328:15 337:23</p> <p>oncology [4] 90:7 91:2 91:5 98:21</p> <p>one [113] 5:12 13:25 17:12 19:9 26:20 27:16 28:16,25 43:11 64:15 65:19 70:7 72:10 79:11 80:19 84:3 85:23 90:19 100:13 101:5 105:21 108:6 111:1 116:22 117:23 118:14 124:25 126:7 143:7 149:6,7 158:16 159:7 164:9 165:21 173:5,8,12,14,16 175:20,24 184:18 188:13 190:25 194:10 195:20 197:1,9 208:19 213:8 220:3,23 221:3 222:19 223:6,20 224:14,18 225:8 225:16 226:19 228:6,7 229:5,21 231:25 240:8 243:20 244:5 250:5 252:6 253:8 258:19 259:12 261:9,17 264:23,23 266:23 268:2 277:10 283:22 296:23 297:16 303:2 305:8 307:18 308:23 310:22 312:14 313:13 319:9 322:19 323:1,22 327:21 333:23 334:7 341:3 349:21 352:7 353:7,25 357:2 358:15 360:13 363:4 364:7 367:19 370:21 372:12 377:20</p> <p>one-year [1] 275:22</p> <p>ones [10] 98:3 169:1 172:25 188:21 189:3 241:17 292:25 297:3 345:23 358:16</p> <p>ongoing [3] 25:8 135:18 182:1</p> <p>online [1] 137:25</p> <p>Ontario [1] 61:2</p> <p>onward [2] 102:18 304:19</p> <p>open [7] 53:6,13 165:6 261:22 269:2,8 271:6</p> <p>opened [1] 252:7</p> <p>operating [4] 9:2,24 10:14 52:1</p> <p>operations [2] 258:23 273:15</p> <p>opinion [2] 67:17 96:9</p> <p>opportunities [1] 269:9</p> <p>opportunity [5] 197:15</p>	<p>249:14,19 274:5 375:14</p> <p>opposed [1] 241:13</p> <p>options [7] 38:4 194:12 295:10 296:20 297:4 315:22 319:12</p> <p>order [9] 186:16 221:4 245:21 246:1,24 250:8 270:12,19 273:19</p> <p>ordered [1] 105:24</p> <p>ordering [2] 38:23 146:22</p> <p>organization [40] 6:20 7:18 12:13 14:4 17:12 19:16 34:2,6 41:22 42:7 53:22 54:16 55:4 57:3 80:9,14,18 91:22 96:21 98:8 180:18 195:11 223:11 259:1 272:3,6 278:17,24,25 284:2 296:4 296:9 305:5 345:15,17 359:2 367:25 368:9 370:23 374:8</p> <p>organization's [1] 79:21</p> <p>organizational [2] 11:23 133:11</p> <p>organizations [4] 41:16 277:3 306:13 360:20</p> <p>organized [4] 100:4 121:24 264:15 281:9</p> <p>organizing [1] 302:17</p> <p>orientation [1] 160:19</p> <p>original [12] 149:24 186:5,18 188:17 197:23 211:1,12 225:2 229:8 230:1 295:18 315:11</p> <p>originally [4] 160:14 239:20 325:17 332:18</p> <p>originate [1] 213:23</p> <p>originated [1] 17:11</p> <p>orphan [1] 121:14</p> <p>Oscar [1] 200:21</p> <p>otherwise [2] 80:13 190:23</p> <p>ourselves [9] 15:22 87:17 111:6 176:14 240:21 256:6 260:4,5 362:7</p> <p>outcomes [1] 293:15</p> <p>outdated [1] 253:18</p> <p>outline [1] 275:16</p> <p>outlined [1] 101:22</p> <p>outlining [2] 129:6 210:19</p> <p>outside [9] 268:14 291:7 293:14,15 334:7 343:12 373:23 374:12,24</p> <p>overall [4] 201:17 250:17 284:5 346:10</p> <p>overexpenditure [1] 119:24</p> <p>overseeing [2] 353:8,21</p> <p>overtime [4] 50:11 71:13 118:17 262:7</p> <p>overview [3] 4:21 47:18</p>	<p>56:9</p> <p>own [18] 19:17 54:6 58:9 73:20 94:20 108:2 109:10 114:1 132:1 134:19 223:11 249:12 333:8 345:15 367:25 368:9 374:8 376:13</p> <hr/> <p style="text-align: center;">-P-</p> <p>P [4] 55:16 98:1 261:22 275:1</p> <p>P-0046 [2] 67:22 141:13</p> <p>P-0047 [2] 141:13 335:10</p> <p>P-0087 [1] 321:16</p> <p>P-0590 [1] 308:17</p> <p>P-0613 [1] 357:1</p> <p>P-0630 [1] 80:23</p> <p>P-0692 [1] 146:14</p> <p>P-0919 [1] 17:24</p> <p>P-0973 [1] 208:23</p> <p>P-1088 [1] 168:17</p> <p>P-1100 [1] 188:6</p> <p>P-1286 [2] 22:14 25:2</p> <p>P-1311 [1] 111:10</p> <p>P-1475 [1] 215:17</p> <p>P-1647 [1] 26:1</p> <p>P-1949 [2] 43:4 64:24</p> <p>P-1951 [1] 358:1</p> <p>P-1955 [1] 360:22</p> <p>P-2240 [1] 50:2</p> <p>P-2242 [1] 70:6</p> <p>P-2246 [1] 82:10</p> <p>P-2250 [1] 100:18</p> <p>P-2251 [1] 103:3</p> <p>P-2258 [1] 114:17</p> <p>P-2264 [1] 169:16</p> <p>P-2280 [1] 214:1</p> <p>P-2296 [1] 245:7</p> <p>P-2351 [2] 290:5 322:9</p> <p>P-2352 [1] 347:6</p> <p>P-2731 [4] 3:2 6:11,15 32:16</p> <p>P-2732 [2] 59:20 66:20</p> <p>P-2733 [1] 76:19</p> <p>P-2734 [1] 78:8</p> <p>P-2735 [1] 80:25</p> <p>P-2736 [1] 84:5</p> <p>P-2737 [1] 104:9</p> <p>P-2738 [1] 105:12</p> <p>P-2739 [1] 108:5</p> <p>P-2740 [1] 116:23</p> <p>P-2742 [1] 129:24</p> <p>P-2743 [1] 154:1</p> <p>P-2744 [1] 157:22</p> <p>P-2745 [1] 160:4</p> <p>P-2746 [1] 162:10</p> <p>P-2747 [1] 165:20</p> <p>P-2748 [1] 167:6</p> <p>P-2749 [1] 177:20</p> <p>P-2750 [1] 183:15</p>
--	--	---	---	--

<p>P-2751 [1] 185:21 P-2752 [1] 189:7 P-2753 [1] 191:13 P-2755 [1] 196:23 P-2756 [1] 200:17 P-2757 [1] 206:15 P-2760 [1] 210:10 P-2775 [1] 219:8 P-2776 [1] 220:22 P-2777 [1] 222:20 P-2778 [1] 224:1 P-2779 [1] 232:22 P-2782 [1] 236:1 P-2783 [1] 237:12 P-2785 [1] 238:8 P-2786 [1] 243:1 P-2809 [1] 250:21 P-2813 [1] 260:10 P-2825 [3] 3:2 6:12,15 P-2890 [2] 3:3 275:10 P-2900 [1] 349:19 P-2903 [1] 355:9 P-2904 [1] 359:14 P-2932 [3] 3:3 275:2,10 P-919 [1] 25:2 p.m [3] 26:20 43:24 46:16 package [1] 220:19 packaged [1] 152:23 page [27] 31:6 37:14 61:5 64:24 94:4 98:5 132:12 158:1 178:2 196:25 220:24 228:7 229:5,15 238:9,9 247:1 261:23 290:19 312:3 317:1 322:10 337:8 347:9 363:7 370:14,14 pages [1] 104:11 panel [16] 103:9,19,25 104:23 121:12 162:22 163:4 170:3,5,21 171:11 171:13 186:20 190:1 205:1 207:13 panelled [1] 190:21 panelling [1] 169:5 paper [11] 105:19 107:9 107:13 133:5 302:11 304:1,3,19 305:9,11,22 paragraph [14] 19:13 31:6 34:23 37:15 62:10 65:2,9,18 158:2 178:7 191:17 209:4 221:16 365:6 parallel [1] 353:19 part [29] 12:22 13:12,21 13:23 21:16 33:13 38:20 40:6,11 113:11,13 120:14 129:17 138:25 219:4 268:16 269:14 276:21 296:4 300:6 304:24 306:21 307:5 330:15 334:10 339:14 364:17 369:11 372:11 participate [3] 200:23</p>	<p>245:5 255:25 participating [2] 255:21 321:24 participation [3] 270:17 270:22 272:2 particular [101] 8:8 9:3 9:5,22 10:1 11:20 14:8 17:6,14 23:17 28:25 36:25 40:6 42:5 45:1 48:9 51:15 52:14 53:7 53:19 57:8 61:4 71:14 76:25 85:8,20,23,24 91:14 94:10,12,15 96:8 97:6 107:23 108:25 120:13 121:19 122:15 127:5 129:18 131:4,5 132:4,7,10 136:24 139:1 140:15 142:21 143:3,20 144:19 146:19 161:21 170:7 175:20 179:11,20 180:12 181:19,19,23 183:5,11,12 194:10 195:12 196:17 199:3 203:2,5 204:25 217:21 219:9 223:13 224:14,19 231:12 232:9 242:24 244:23 249:3,5 255:23 256:7 260:5 263:7 264:17 265:14 268:4,25 272:19 286:23 287:1,5 290:18 295:12 332:22 333:5 362:12 particularly [12] 17:13 146:12 240:24 255:8 258:24 267:24 268:18,19 351:25 354:9 372:18,20 parties [1] 193:13 partners [1] 270:15 partnership [1] 75:19 pass [7] 15:16,21 122:17 161:10 293:23 294:3,3 passed [5] 24:15 66:21 184:10 282:14 336:14 passing [4] 96:9 163:21 250:18 299:17 past [7] 19:18 27:8,9 153:3 222:1 372:17,25 Pat [7] 87:22 88:18,20 89:3 100:12 103:7 239:7 Pat's [1] 88:17 path [2] 168:3,8 pathologist [13] 103:11 132:9 200:23 257:11,17 258:10 272:17 280:14 284:9 331:9,14 332:24 336:23 pathologist's [1] 31:16 pathologists [51] 10:4,6 10:23 11:7 12:16 19:16 20:1,5,6,16 22:5 23:11 25:5 49:7 132:1 158:19 159:9,16,23 178:18 180:17 181:6,13 186:22 245:19 248:21 253:20 256:21,23 258:20 268:24 269:6 272:16,24 279:24 280:4 282:15,25 328:14 331:12 332:14 333:6,7 333:19 334:11,17 339:9</p>	<p>339:18 343:18 352:7 367:1 pathology [52] 12:10 13:2 19:9 22:16 25:5 30:21 31:6,11,23,24 44:10 48:20 55:5 65:4 73:5 102:2 135:10 195:14 195:15 197:23 198:5 214:15,23 219:19 220:8 220:20 249:13 258:18,22 261:13 262:22 263:3 267:1,5,6 268:1,4,12 304:23,25 305:1,4,7 338:6 340:22,23,25 341:4 341:6 365:24 366:4,10 patient [56] 61:12 64:14 76:25 77:3 79:13 85:8 85:18 86:5,10 89:21 90:16 91:3 96:25 98:11 115:17,23 125:11 154:6 154:7 155:11 156:12 157:1 169:24 177:12 184:5 195:20 205:1 214:8 215:2 217:21 222:10 225:18 228:9 268:9 270:8 272:13 293:14 294:25 295:2 297:5 302:7 303:22 305:17 312:19 314:13,15 315:10,11 319:9,16 321:9 323:8 328:19 345:19 372:17,24 patient's [2] 133:10 222:23 patients [239] 47:25 56:12,22 57:8,19 58:10 58:15 59:18 67:2 70:12 73:16 74:1,4,10,21,24 77:8,12,15 79:4,8 86:20 86:23 87:4,12 89:17 91:8 91:15 93:1 95:15 96:14 97:5,12,20 98:14,23 101:21 102:6 103:14 105:23 108:1,9,16 109:22 110:23 111:14 112:10,13 112:15,19,21 113:13,16 114:4,12 115:5,15,23 116:3 118:4,11,19 121:4 121:14,24 122:11 124:5 124:7,9,12,16,19 125:7 126:3,7,20 127:5,13,24 128:9,22 129:5 131:11 131:14 133:15 138:13,24 154:18,21,23,24 155:2 156:1,3,6,21 157:10 160:11,21 162:18,19,21 163:1,6 168:7,24 169:2 169:5,10,22 171:18 174:16 176:6,9,16,20 177:16 178:10,13,21 179:8,17 182:7,10 183:3 186:1,16 187:6 188:1,19 189:13,15 190:20 195:7 195:13,18 199:15 200:2 200:11 201:14 203:8,20 203:25 204:11 205:18 206:21 207:18 208:3 216:18 218:22 219:2,17 219:20 220:1 221:22 222:1 225:2,10 226:1 228:6 230:11 231:9 237:7 237:22 238:14 239:16,16 239:20,24 240:8,10,11</p>	<p>240:14 241:20,21 242:22 244:19 260:21,23,24 269:24 270:20 273:20 287:13 290:3,21 292:21 294:22 296:18,19 297:13 297:23 300:8 301:13,18 303:7,16 305:25 306:15 306:22 307:9 309:16 313:25 314:22 315:3 316:9,21 318:11,13,18 318:19 319:17 320:15,22 321:5 324:8 325:25 326:3 326:19,21 327:17 328:8 328:13 337:17 345:23 350:17 359:11 365:8,13 365:13 368:22,25 369:4 370:4,4 371:8,24 372:2 375:12 patients/clients [3] 189:13 190:21,24 patients/communities [1] 358:13 Patricia [3] 104:10 239:7 243:3 Paul [14] 49:10 50:6 81:9 83:22 106:3 114:18 115:19 197:24 198:5 207:4,9 245:11 314:5 355:10 pay [1] 119:19 Peddle [1] 33:10 peer [2] 251:16 367:16 pending [3] 65:6 264:17 366:1 Peninsula [1] 7:7 Penney [1] 50:24 people [90] 30:8 44:14 55:3 65:12,25 66:1,13 73:1,4,9 80:3,11 88:14 93:20 100:16 106:9 107:24 111:13 125:13,14 125:18,21 126:10 127:14 128:2 134:6 137:6,25 138:19 141:25 143:13 146:24 156:12 161:16 164:11 181:11 184:20 211:12 213:18 218:5,11 221:7 223:23 244:3 247:4 249:2 263:23 269:3 271:16 283:22 287:16,21 292:7 295:1,13,16 303:4 303:19 306:18 307:3 312:21 313:11 317:11,13 321:13,13 323:17,20 326:6 328:7 330:19 337:24 340:8,9 341:10 346:1 348:15 354:1 356:15 357:21 358:12 359:24 360:17 362:24 363:2,10 370:21 371:5 372:9 375:25 people's [1] 66:14 per [11] 101:18 104:12 105:14 117:21 252:16 291:19 292:21 300:21 341:7 344:1,10 percent [61] 65:22 92:9 147:13,20,22 148:2,6,18 149:23 150:4,12,13,17</p>	<p>150:19 151:1 160:1 188:22 291:1,2,4 292:6 292:9,18 293:1 298:20 299:9 312:22,23 313:17 313:17,25 315:19 316:3 316:13,23 318:10,14,18 319:16 322:20,21,24,24 323:1,2,17,22,23 325:20 325:22 327:1,1 330:7,11 333:23,24,24 337:10,11 337:19 368:24 percentage [9] 149:3,15 156:1 293:5 299:9,21 300:9,10 324:7 percentages [1] 311:11 perfect [1] 92:10 perform [1] 81:12 performed [4] 236:23 245:13 295:4 309:6 perhaps [31] 25:13 30:20 37:4 47:6 50:19 64:19 68:15 80:24 95:5 127:13 143:22 166:18 213:23 218:5,7,21 224:5 227:25 235:17 250:6 267:15 310:25 339:19 340:5 344:4 353:12 358:25,25 360:13 372:13 373:2 period [14] 20:7 79:9 99:17,19 136:3 237:23 238:13 239:21 248:23 295:15 354:2 365:9 376:21 378:13 periods [2] 224:15 310:15 person [24] 14:8 28:21 33:15 38:14,23 42:5 47:2 87:11 110:11 113:23 118:4,14,20 121:16 122:6 123:9,10 124:17 125:9 125:11 131:3 242:2 364:16 372:22 person/people [1] 46:2 personal [1] 129:21 personally [5] 126:15 216:8 223:17 352:9 364:7 personnel [6] 89:2 98:16 131:25 132:8 165:8 200:3 persons [2] 90:23 241:11 perspective [40] 11:22 11:23 34:13 54:18 63:6 96:12 97:17 103:23 133:8 146:6 192:21,22 194:4 201:15,17,19 215:2 244:18 250:16 256:10 258:22,25 265:6 268:11 279:6 302:25 310:2 311:7 311:18 327:19 338:15 345:1,4,9 346:7,20 349:1 349:13 363:13 366:17 perspectives [1] 202:2 Peter [2] 1:9 146:20 Pg [4] 3:2,3,4,5 Pgs [3] 2:3,4,6 pH [3] 252:6,15,17 pharmaceuticals [1] 35:8</p>
---	--	--	--	---

<p>pharmacy [1] 8:15 phase [1] 219:23 phone [22] 87:12 90:22 97:11,18 99:22 108:8 118:12,18 124:4,5,7,18 125:10 157:10 165:23 170:7 174:21 177:23 243:19 318:1 321:4 342:23 phoned [1] 318:1 phonetic [2] 234:16 237:22 phrased [1] 234:5 physical [2] 281:2 296:8 physically [1] 276:24 physician [18] 9:13 20:20 21:5,10 23:2 28:7 37:13 77:13 187:2 190:1 190:23 222:9 249:1 275:25 294:16 297:11,12 311:9 physicians [46] 19:18 35:16 36:8 59:25 75:12 77:12 79:14 82:3 83:1 86:19 103:13,17 121:11 121:13 163:7,22 164:5 170:1,22 171:2,23 172:5 172:13 173:23 174:13 175:6,12,15 176:1,5,19 176:21 177:9 205:12 221:18,20,24 268:25 270:1 296:23 297:17 303:1 311:13 321:5 355:13 356:24 pick [6] 138:6 143:16,17 145:5 256:8 324:14 picked [6] 138:4 142:9,9 145:3 223:6 369:10 picture [1] 199:9 piece [9] 13:5 62:14 71:16 93:23 110:17 142:5 184:16 264:17 273:7 pieces [1] 273:19 Pike [3] 1:14 266:15,16 Pilgrim [12] 81:21 87:22 88:18,20 100:12 103:8 104:11,19 105:6 239:8 240:17 243:3 Pilgrim's [1] 240:21 Pittsburg [1] 259:10 place [17] 10:9 12:9 13:11,25 16:8 20:6 35:19 63:9 73:1 91:13 108:10 108:20 116:11 272:7 273:19 283:18 305:2 places [2] 30:3 258:20 placing [1] 358:11 plan [2] 112:20 160:17 planning [2] 59:17 111:25 plans [2] 98:20,25 play [3] 133:15 246:21 305:4 players [2] 53:7 343:12 pleural [1] 229:9 plus [4] 89:19 213:8</p>	<p>305:11 358:6 point [122] 5:3 13:21 23:8 23:15,18 24:3 26:18 27:16 31:21 41:12 52:19 53:1 56:13 57:8,21 62:19 65:19 66:3 67:8 71:14 72:4 74:17 79:23 84:4 90:20 92:20 105:21 106:18 108:25 118:3 128:23 134:7 136:10,25 142:21 143:20 145:25 146:4 149:1,13 151:3 153:2 163:21 164:5 169:25 175:20,24 178:25 179:18 180:12 181:19,22 181:23 182:8 184:21 193:24 194:10 201:4 209:6,24,25 217:24 219:1 228:16 230:9 234:22 251:23 252:9,24 253:13 253:17 255:23 282:9 294:5,6 300:3 301:7,25 302:9,14 306:17 310:5 315:8,25 316:1 323:21 324:6 326:8,12 327:3 328:3 329:6,8,10 332:15 336:10 340:3,4 342:13 343:17 344:11,11,24 346:15 351:1 353:1 354:19 357:18 360:10 368:12,13 370:2,5,12,16 370:25 371:15 372:13 374:23 375:15 376:5 377:11 pointed [1] 48:15 points [5] 30:12 34:24 36:1 183:12 371:5 policies [4] 16:7 253:17 254:7 278:18 policy [5] 16:10,16 36:17 250:19 254:11 pool [1] 120:17 poor [1] 335:20 population [2] 60:2 339:7 Port [3] 7:7 102:9,10 Port-aux-Basques [1] 7:5 portion [2] 62:25 225:5 pose [1] 269:11 posed [3] 68:5 125:18 227:19 poses [1] 137:3 position [15] 5:9 8:8 11:14,17 14:7 15:2,13 45:2 86:9 165:14,15 276:19 278:7 339:23 342:20 positioning [1] 142:16 positions [3] 19:21 80:12 80:13 positive [55] 65:14,21 104:7 162:20,25 163:7 163:23 171:19 176:16 203:25 204:11 205:1,18 216:7 217:5,22 218:22 219:2 221:25 222:15 229:11 287:17 290:25</p>	<p>291:20 293:5 297:25 299:8,9,21 300:9,21 303:19 311:10 315:19 319:10,18 322:17,20,22 322:24 323:1,10,15,18 323:22 324:20 325:16,16 325:23 326:16 327:2 337:18,23,24 369:4 positives [11] 150:8 170:1 171:6,18 173:24 174:13 176:10,11 186:20 204:24 241:5 positivities [1] 324:8 positivity [4] 151:12 152:12 153:4,16 possibility [4] 74:10,23 115:2 258:17 possible [11] 39:1 121:3 129:22 155:25 209:22 226:9 237:18 249:4 317:21,25 375:14 possibly [5] 97:17 115:1 189:16 316:9 377:2 post [1] 179:20 posted [1] 79:20 posting [2] 5:11 15:6 potential [6] 117:8 121:20 122:4 199:5 289:21 357:18 potentially [5] 292:7 335:25 349:7 356:18 364:17 Powell [1] 9:11 Power [10] 321:25 322:4 322:6 360:23 361:5,19 361:20 368:19 373:19 376:8 PR [12] 62:13 101:17 110:25 115:4,8 178:3 309:2 337:17,18,23,24 338:2 practical [1] 353:7 practicalities [1] 334:24 practice [5] 83:1 192:18 258:9,21 276:8 practitioner [3] 276:9 372:15,19 practitioners [2] 371:9 372:9 predated [1] 247:16 predates [1] 196:16 predating [1] 247:22 predecessor [2] 6:20 277:3 predecessors [1] 19:24 Predham [33] 43:12 45:9 48:15 64:25 87:23 100:14 104:21 110:11 112:17 116:25 162:17 167:7 168:18 185:25 188:7 189:11 195:1 196:4 197:3 197:4 212:11 347:10 348:4,9 349:22,23 351:5 351:18 352:13 357:3 358:3 359:15 360:12 Predham's [2] 348:23</p>	<p>349:6 predict [1] 154:9 predicted [1] 368:23 prefer [1] 195:13 preliminary [1] 261:9 premise [2] 296:9 319:8 preparation [2] 338:20 346:23 prepare [4] 50:8 338:6 340:22 361:21 prepared [11] 22:18 46:12 67:6 79:14 198:7 240:24 269:17 271:7,8 332:19 361:10 preparing [1] 349:1 prescribed [1] 239:21 present [8] 20:19 292:5 298:19 315:13 322:22 343:23 363:9 367:5 presentation [1] 33:19 presentations [1] 144:13 presented [1] 369:22 president [7] 6:6 27:8,9 27:9,10,15 131:18 Presidents [1] 135:7 press [3] 243:17 318:4,6 pressing [1] 349:8 presumably [3] 101:17 110:6 299:7 presume [1] 301:16 pretty [3] 7:3 11:19 128:15 previous [8] 138:2,5,10 145:4 172:14 186:14 195:14 260:14 previously [11] 63:9 79:7 184:24 186:9 187:10 187:18 189:22 191:5 236:9 242:11 376:10 primarily [2] 133:9 260:12 primary [7] 54:19 101:24 258:18 309:1,11 311:9,13 principally [5] 54:22 139:14 194:2 203:3 224:17 principle [1] 177:13 principles [1] 271:10 print [2] 82:18 111:25 priorize [1] 307:1 Pritchard [2] 265:19,20 Pritchard/Jackie [1] 1:8 privy [1] 23:22 PRN [1] 89:5 problem [15] 133:9,10 197:13,16 281:8 285:20 285:23 287:5,10,12 288:24 290:24 291:19 301:9 334:9 problems [4] 22:3 64:5 158:10 332:8</p>	<p>procedure [6] 36:17 132:15 203:10 254:11 332:22 338:10 procedures [8] 16:7 39:8 108:23 143:23 253:17 254:8 278:18 331:9 proceed [4] 15:7 23:20 156:20 161:8 proceeding [1] 235:10 proceeds [1] 262:23 process [56] 12:20 17:8 63:8,8 64:6 68:17 69:2,8 69:15 74:24 116:6 120:1 121:7 138:2 140:17 142:13,14 144:15,17 165:13 175:16 181:19 187:16,17 193:12 210:20 216:4 225:19 227:1 240:2 240:3,4 241:20 243:13 243:15 244:11,13 245:5 245:22 254:17,19 255:22 256:1,4,5 260:4 261:15 272:3 290:24 291:4 302:23 307:6 323:6 345:22 356:22 376:15 processed [3] 181:15 352:2 354:11 processes [2] 13:7 302:12 processing [11] 13:4,9 63:21 68:22 133:3 144:5 246:21 272:8 273:4,7 333:3 producing [1] 105:17 product [1] 35:17 professional [3] 4:22 192:18 275:17 professionals [1] 38:21 proficiency [3] 13:14 284:13,16 progesterone [4] 79:5 196:5 284:25 294:8 program [12] 12:23 13:21 14:10 79:16 102:3 194:12,14 254:9 268:19 279:15 281:14 283:2 programs [8] 8:6 193:3 193:6 194:23 267:25 284:20,21 374:8 progress [1] 187:3 progressed [1] 14:3 project [1] 219:23 promising [1] 113:24 promoted [2] 35:6,15 promptly [1] 115:22 proper [4] 13:7 187:9 216:9 246:4 properly [3] 245:22,24 339:16 proposal [1] 240:16 propose [1] 261:15 proposed [3] 194:6 243:13 244:11 proposing [1] 240:3 proposition [1] 344:25</p>
---	--	---	---	--

Inquiry on Hormone Receptor Testing

<p>pros [1] 127:21 prostate [1] 40:15 protocols [1] 248:11 proved [1] 19:17 provide [42] 34:7,19 58:14 66:25 71:23 75:12 75:18 79:17 86:15,16,22 87:12,19 91:14 95:20 98:11 102:5,14 103:12 103:16 121:13 125:16,19 125:22 162:23 165:8 170:4 171:12 189:12,16 190:10 197:11 222:8 227:17,18 243:24 262:21 268:17 273:2 278:22 296:18 299:5</p>	<p>pulling [1] 305:23 purpose [4] 29:5 30:19 95:14 221:8 purposes [2] 212:6 277:24 put [15] 13:25 21:1 37:8 77:23 91:13 181:7 218:23 228:24 236:18 273:18 307:18 308:2 312:24 362:4 370:10 puts [1] 325:15 putting [1] 109:5</p>	<p>134:5,18 136:9,18 137:1 137:12 139:7,16,23 140:6 140:12,20 141:2,11,17 141:21 142:22 145:23 146:8,13 148:1,8,13,21 148:25 149:14,22 150:3 150:7,11,16,22 151:2,9 151:16 152:5,10,17,22 153:1,8,15,20,25 154:13 155:5,15,20,24 156:17 156:24 157:21 158:8 159:5,13 160:3,25 162:9 163:18 164:6,15,22 165:3 165:19 166:2,10,15,24 167:5,12,18 168:1,6,16 169:9,15 170:13,24 171:5 171:9,16,22 172:2,9,15 172:19,23 173:7,13,18 173:25 174:4,14,20,24 175:5,10,17 176:4,17,24 177:4,8,15,19 178:1.6 179:5,12,21 180:1 181:1 181:24 182:4,14,18,22 183:1,14 184:8,25 185:8 185:13,20 188:5 189:6 190:6,13 191:12,22 192:7 192:23 193:17,22 194:17 194:24 196:1,9,22 197:8 198:2,11,16,20 199:13 200:1,6,10,16 201:3,9 202:8,12,16 203:14,19 203:24 204:4,8,17,23 205:5,9,16,22 206:6,14 207:8,22 208:1,9,18,22 209:3,12,16,21 210:4,9 210:17 211:10,16,21,25 212:4,10,16,23 213:13 213:25 214:7 215:7,12 215:16,22 216:16,22 217:3,9,13,19 218:20 219:7 220:11,15,21 221:11,15 222:6,13,18 223:25 224:10,23 225:14 225:23 226:13,18,22 228:4,13,21 229:2,14 230:7,15,21 231:1,7,15 231:20 232:2,6,13,17,21 233:9,20,24 234:4,9,13 234:25 235:18,25 236:14 236:21 237:1,5,11 238:3 238:7,19,24 239:4 240:7 242:14,25 243:7,12 244:10 245:1,6 246:12 246:25 247:9,24 248:5,9 248:16,24 249:8 250:4 250:11,20 251:2,6,11,15 251:22 252:5,13,22 253:3 253:9,16,23 254:3,13,20 254:25 255:4,11,16 256:13,20 257:1,6,10,15 257:21,25 258:4,8,13 259:3,16,22 260:9 261:5 261:20 262:2,15 263:2 263:21 264:3,8,18,22 265:4,10,16 266:22 267:10,14 268:21 269:16 271:23 274:12,15,24 275:5,14 276:7,12,18,25 277:9,13,18,22 278:2,6 279:13,18,23 280:2,8,12 280:17 281:12,18,22 282:3,7,12,19,24 283:5 283:10 284:12,23 285:5</p>	<p>285:11,21 286:9,14,19 287:6,24 288:7,14 289:5 289:13,17 290:4,11,17 291:11,16 292:1,12,17 292:24 293:4,10,22 294:2 294:12,17 295:20 297:6 297:20 298:10,17,23 299:2,6,14 300:20 301:11 301:21 302:16 303:8,23 304:2,12,17 305:6,18,24 306:16 307:8,13,17,25 308:7,14,22 309:14,22 310:13,20 311:2,20,25 312:6 313:4,19 314:3,9 314:14,20 315:9,17 316:7 316:24 317:6,20 318:3,9 318:20 319:1,6,23 320:3 320:8,19 321:15,21 322:3 322:8,16 324:4,12,18,23 325:3 326:18,22 329:1,9 329:14,18 330:1,5,10,18 330:24 331:7,20 332:1,6 332:11 333:9 334:4,22 335:4,14,18 336:16,21 337:7,15 338:4,14,21 339:1 340:14,21 341:12 341:17,22 342:5,11,17 343:1,25 344:8,14,18,23 345:10,14 346:5 347:4 347:17,22 348:2 349:17 351:2,16 352:17,25 353:6 353:14,18 355:7,17,22 356:4,9,13,25 357:7 358:19,23 359:12 360:21 361:4,8 362:10,17 363:11 363:18,24 364:3,10 365:1 365:18,22 366:8,14 367:13 368:6,16 369:18 369:23 370:13 371:6,14 371:22 373:4,8,17,22 374:14 375:2,10 376:6 377:5,10,17,23 378:9,24</p>	<p>227:4,19 264:21 265:21 266:1,5,9,13,21 269:12 319:15 325:8 quick [2] 38:12 80:10 quickly [3] 71:4 72:14 121:2 quite [4] 77:1 143:2 351:24 354:8</p>
<p>-Q-</p>				
<p>provided [31] 12:15 55:8 62:24 66:23 68:18 69:23 90:9 101:1 111:7 115:25 134:11 142:20 157:19 160:14 161:25 163:2,4 175:15 178:7 185:25 186:11 189:17 190:16 199:25 211:4 212:11 216:13 219:18 298:3 354:18,25 provider [1] 162:24 providers [4] 67:5 75:21 77:14 218:8 provides [2] 118:18 189:17 providing [4] 77:14 215:8 301:25 330:12 province [27] 20:11 32:4 40:21 57:24 59:13 98:13 99:9 125:5 181:6 182:23 192:2 218:14 289:1 291:7 333:7 338:10,22,25 339:5 339:7,10 340:9 343:12 344:15 346:6,13,17 province-wide [2] 22:4 261:15 provinces [1] 40:18 provincial [12] 35:9 37:24 38:6,25 41:13 62:13 79:15 84:22 155:8 155:12 194:6 202:5 provincially [3] 128:17 345:25 346:21 provision [3] 7:21 19:1 267:23 PRs [1] 309:6 PSLC [4] 21:5 23:1,14 30:14 public [21] 44:16 52:22 58:7 60:1 79:14 95:21 96:22 97:1,5 115:8 132:16 138:19 167:1,2 218:12 271:6 292:2 348:17 349:7,9,9 publicly [1] 58:8 publish [1] 109:18 published [2] 56:15 68:2 publishing [1] 69:25 pull [3] 71:12,21 305:15 pulled [3] 73:3 303:16 305:21</p>	<p>Q.C [878] 1:6,7,16 2:3,4 2:6 4:1,6,15,19 5:7,15 5:20 6:8,17,24 7:12,17 7:23 8:18,22 9:6,12,16 10:3,10,17,22 11:1,6,11 11:25 12:7 13:13,17 14:12,18,25 15:9,15,20 15:25 16:6,13,17,24 17:3 17:16,22 18:5,13,17 19:11 20:12 21:25 22:9 22:13,22 23:3,7 24:2,9 24:14,20 25:1,15,24 26:6 26:11,17,23 27:4,11,17 27:22 28:3,8,13,18 31:3 31:9,20 32:2,7,15,21 33:4,8,18,23 34:3,14,22 35:4,13,25 36:5,11 37:3 37:7,12,18 38:3,11 39:5 39:14,21 40:2,7,13 41:11 41:25 42:8,14,19,23 43:3 43:10,15,19,23 44:2,22 45:3,8,13,21 46:8 47:10 48:10,14,24 49:4 50:1 51:7,11,16,22 52:3,18 52:25 53:15 54:13,23 55:15,25 56:6,19 57:2 57:22 58:2,6,20,25 59:5 59:11,19 60:6,11,15,20 61:18,24 62:3,9,18 64:23 65:17 66:7,11,18 67:7 67:13,20 68:4,23 69:7 70:5,18 71:24 72:15,21 73:10,14 74:7 75:3,22 76:4,10,14,18 77:18 78:2 78:7,16,24 80:1,22 81:18 82:8,15,23 83:5,9,14,25 84:11,17,21 85:1,6,13 86:3,24 87:20 88:1,5,10 88:16,21,25 89:6,12,16 90:1,5,25 91:19 92:1,6 92:11,19,25 93:7,12 94:2 95:3,8,13,22 96:3,11 97:4,9,15,21,25 100:1,7 100:17 101:3,10,15 102:21 103:2,22 104:8 104:18 105:1,5,11 106:6 106:17 107:7,12,18 108:4 108:15,19 109:2,9,13,20 109:25 110:5,10,15,20 111:9,20 112:24 113:5 113:19 114:10,16 115:11 116:17,21 117:11,20 118:2 119:11 120:5,19 122:3,19 123:23 125:2 126:23 127:3,11,18 128:6 128:12,19 129:1,10,23 130:12,19 131:6 133:22</p>	<p>134:5,18 136:9,18 137:1 137:12 139:7,16,23 140:6 140:12,20 141:2,11,17 141:21 142:22 145:23 146:8,13 148:1,8,13,21 148:25 149:14,22 150:3 150:7,11,16,22 151:2,9 151:16 152:5,10,17,22 153:1,8,15,20,25 154:13 155:5,15,20,24 156:17 156:24 157:21 158:8 159:5,13 160:3,25 162:9 163:18 164:6,15,22 165:3 165:19 166:2,10,15,24 167:5,12,18 168:1,6,16 169:9,15 170:13,24 171:5 171:9,16,22 172:2,9,15 172:19,23 173:7,13,18 173:25 174:4,14,20,24 175:5,10,17 176:4,17,24 177:4,8,15,19 178:1.6 179:5,12,21 180:1 181:1 181:24 182:4,14,18,22 183:1,14 184:8,25 185:8 185:13,20 188:5 189:6 190:6,13 191:12,22 192:7 192:23 193:17,22 194:17 194:24 196:1,9,22 197:8 198:2,11,16,20 199:13 200:1,6,10,16 201:3,9 202:8,12,16 203:14,19 203:24 204:4,8,17,23 205:5,9,16,22 206:6,14 207:8,22 208:1,9,18,22 209:3,12,16,21 210:4,9 210:17 211:10,16,21,25 212:4,10,16,23 213:13 213:25 214:7 215:7,12 215:16,22 216:16,22 217:3,9,13,19 218:20 219:7 220:11,15,21 221:11,15 222:6,13,18 223:25 224:10,23 225:14 225:23 226:13,18,22 228:4,13,21 229:2,14 230:7,15,21 231:1,7,15 231:20 232:2,6,13,17,21 233:9,20,24 234:4,9,13 234:25 235:18,25 236:14 236:21 237:1,5,11 238:3 238:7,19,24 239:4 240:7 242:14,25 243:7,12 244:10 245:1,6 246:12 246:25 247:9,24 248:5,9 248:16,24 249:8 250:4 250:11,20 251:2,6,11,15 251:22 252:5,13,22 253:3 253:9,16,23 254:3,13,20 254:25 255:4,11,16 256:13,20 257:1,6,10,15 257:21,25 258:4,8,13 259:3,16,22 260:9 261:5 261:20 262:2,15 263:2 263:21 264:3,8,18,22 265:4,10,16 266:22 267:10,14 268:21 269:16 271:23 274:12,15,24 275:5,14 276:7,12,18,25 277:9,13,18,22 278:2,6 279:13,18,23 280:2,8,12 280:17 281:12,18,22 282:3,7,12,19,24 283:5 283:10 284:12,23 285:5</p>	<p>285:11,21 286:9,14,19 287:6,24 288:7,14 289:5 289:13,17 290:4,11,17 291:11,16 292:1,12,17 292:24 293:4,10,22 294:2 294:12,17 295:20 297:6 297:20 298:10,17,23 299:2,6,14 300:20 301:11 301:21 302:16 303:8,23 304:2,12,17 305:6,18,24 306:16 307:8,13,17,25 308:7,14,22 309:14,22 310:13,20 311:2,20,25 312:6 313:4,19 314:3,9 314:14,20 315:9,17 316:7 316:24 317:6,20 318:3,9 318:20 319:1,6,23 320:3 320:8,19 321:15,21 322:3 322:8,16 324:4,12,18,23 325:3 326:18,22 329:1,9 329:14,18 330:1,5,10,18 330:24 331:7,20 332:1,6 332:11 333:9 334:4,22 335:4,14,18 336:16,21 337:7,15 338:4,14,21 339:1 340:14,21 341:12 341:17,22 342:5,11,17 343:1,25 344:8,14,18,23 345:10,14 346:5 347:4 347:17,22 348:2 349:17 351:2,16 352:17,25 353:6 353:14,18 355:7,17,22 356:4,9,13,25 357:7 358:19,23 359:12 360:21 361:4,8 362:10,17 363:11 363:18,24 364:3,10 365:1 365:18,22 366:8,14 367:13 368:6,16 369:18 369:23 370:13 371:6,14 371:22 373:4,8,17,22 374:14 375:2,10 376:6 377:5,10,17,23 378:9,24</p> <p>QA [4] 13:20 257:11 258:25 260:4 QI [2] 89:2 98:16 qualified [1] 194:19 qualities [1] 285:17 quality [52] 12:8,8,20,23 13:12 14:3,6,10 37:15 37:23 38:5,6,6,7,14,19 39:15 41:2,7,17,18,24 42:3,6,12 45:20 55:8 107:24 201:20 210:7 244:3 256:9 257:11 270:17,19 271:15,17 273:20 283:11,11,12,18 283:20,23,24 284:6,11 285:18 331:10,22 332:8 336:13 quarterly [1] 296:14 query [1] 216:24 querying [1] 230:10 questioned [1] 155:25 questions [37] 56:11 60:22 67:3,6 86:15 87:14 87:16 90:14 102:16 115:23 118:19 124:16,22 125:12,18,20 141:3 168:23 215:4 218:7,17 221:2,2 222:3 225:5</p>	<p style="text-align: center;">-R-</p> <p>radar [1] 144:7 radiation [5] 75:15,17 103:10 296:3,16 raise [2] 40:3 128:2 raised [8] 92:14,15 129:6 158:13 191:25 248:20 343:14 372:16 raising [1] 235:3 ramp [1] 14:9 ran [1] 351:6 range [3] 19:8 149:18 301:6 rate [8] 151:12,13 153:16 193:6 292:6 298:20 368:24 376:14 rates [4] 152:13 153:4,17 299:9 rather [7] 38:22 178:13 227:11 236:8 333:6 362:6 370:4 rational [2] 228:7 229:16 re [12] 45:25 99:11 154:6 161:3 183:19 186:25 209:24 214:8 233:2 237:22 262:5 323:7 re-analysis [1] 202:4 re-sending [1] 226:5 reach [5] 50:17 119:14 186:16 191:3 246:1 reached [5] 113:23 170:7 184:2 187:20,21 reacting [1] 203:4 reaction [1] 47:2 read [7] 159:10,17 272:18 290:25 331:11 332:13 333:5 readers [1] 334:1 readily [2] 208:11 251:24 reading [11] 158:19,25 159:19 272:8 332:16 333:1,4,20,24 337:22 358:8 reads [5] 44:12 62:11 158:9 188:12 200:20 ready [4] 255:25 256:6 260:5 268:5 real [2] 91:18 255:10 realize [2] 46:13 137:7 realized [2] 38:13 71:3 really [48] 14:9 18:1 23:16 25:11 34:12 41:12 47:21 49:24 57:9 59:16 63:11 68:24 69:6 71:21</p>

75:9 86:12 105:22 113:15 119:21 120:10 124:9 127:6 129:16 135:11,17 135:25 137:16 138:16 164:3 165:6 181:16 192:19 194:13 197:17 207:10 219:4 238:4 242:20 252:3 263:17 266:24 269:13 270:5 286:15 294:22 301:7 355:13 374:2 reason [8] 17:6,15 64:7 119:8 157:12 159:14 239:17 376:17 reasonable [3] 35:20 271:17 363:9 reasonably [2] 48:7 180:21 reasons [3] 17:13 44:18 348:19 reassured [2] 216:9 217:16 recalled [4] 160:15 210:24 211:3 311:23 recalling [7] 36:22 85:22 136:23 149:20 150:15 174:11 255:8 recalls [8] 154:15,17,18 154:19 157:2 160:10,18 189:21 receive [6] 21:4 79:13 81:13 134:22 185:4 245:19 received [14] 14:5 36:18 76:23 83:16 115:14 124:6 167:15 201:13 216:1 239:23 240:15 303:4 355:23 373:14 receiving [3] 124:18 126:9 287:22 recent [1] 270:24 recently [6] 14:5 216:11 219:18 239:14 259:8 352:6 receptor [6] 1:2 196:5 294:8,8 362:13 380:4 receptors [9] 59:24 60:25 79:5,5 137:19 178:3 284:25 285:1 365:9 rechecked [1] 131:15 recognition [1] 41:6 recognize [2] 290:7 355:19 recognized [1] 119:23 recognizing [4] 312:15 320:25 323:16 326:11 recollect [1] 159:1 recollection [28] 23:9 40:12 64:2 85:17 91:17 94:13 107:5 108:24 149:19 150:2 155:14 174:9 196:19 206:1 232:12 244:24 285:8 287:4 289:10 300:14 302:1 306:24,24 310:6 333:15 350:7 372:6 375:23	recommend [4] 117:5 331:11 332:13 334:16 recommendation [2] 197:12 334:20 recommendations [7] 13:24 21:3 30:22 65:7 158:17 159:8 270:4 recommended [2] 334:17,23 recommending [2] 333:1,2 recontact [1] 242:15 record [5] 121:17 126:13 266:19 313:22 351:21 recorded [1] 107:14 recording [1] 357:21 records [4] 107:15 172:4 270:6 321:3 recruiting [1] 15:2 recruitment [12] 19:15 20:4,16 22:4 30:22 37:14 191:17,18 192:16,21 278:14 296:15 rectified [1] 364:25 recycled [1] 252:17 redacted [7] 36:12 85:8 167:14 186:6,12 222:24 226:14 refer [11] 12:3 25:12 30:13 32:12 55:18 84:3 86:4 203:1 229:7 253:10 308:16 reference [23] 40:14 72:9 73:25 94:3 100:19 105:25 106:10 122:4 127:4 144:20 147:19 178:3 214:15 244:11 293:6 298:18 299:7,10 309:5 337:8 338:5 340:15 365:24 referenced [3] 73:19 119:7 173:5 references [1] 168:11 referencing [3] 74:3 305:22 306:11 referral [1] 38:21 referrals [2] 38:24 39:8 referred [12] 24:23 65:19 144:12 179:23 184:19 214:4 235:20 239:14 259:8 309:8 335:11 348:8 referring [12] 39:17 87:3 112:3 115:22 119:3 128:25 159:7 184:24 191:8 241:18 244:25 251:21 refers [9] 31:10 34:15 55:19 70:10 162:2 214:16 301:2 310:14 335:19 reflect [6] 48:7 77:8 113:7 117:2 368:8,8 reflected [1] 214:24 reflecting [1] 12:14 reflective [1] 187:24 regard [8] 16:11 54:20 55:14 120:16 158:20	259:5 273:1 303:12 regarding [38] 30:22 61:3 71:10 76:24 77:1 81:10 86:1 98:9 108:23 122:12 140:16 154:4 161:3 166:5 170:18 173:23 174:13 180:9 186:24 187:19,22,23 190:2,19 194:6 195:4 196:5 199:23 210:20 214:14 221:19 223:2 225:1,19 244:16 272:2 351:20 352:7 regards [3] 46:3 193:10 213:14 Regina [1] 33:12 region [34] 7:11,22 45:7 61:22 82:20 85:19 90:10 91:4 105:17,18 113:17 133:5 146:23 162:18 169:4 195:15,19,20 207:18 208:4 225:3,9 240:12,22 244:6 267:20 269:3 272:24 273:6 289:3 353:24 356:7,10 358:7 regional [37] 1:10,17 9:23 14:17 15:5 39:6 51:4 55:20 59:21 71:9 72:25 73:5,8,11 76:3 77:4 84:6 117:18 192:14 214:13 225:17 246:17 249:17,25 253:6 255:24 267:2,2,7,16 268:25 276:6 321:23 338:8 339:13 340:7 347:23 regions [9] 20:10 112:14 168:25 240:15 244:2,4 339:24 359:25 360:2 Registrar [8] 4:7,13 17:24 206:16 261:22 274:16,22 347:6 registry [4] 90:12 99:1 102:12 308:10 regrets [1] 269:23 regular [12] 55:13 89:8 90:9,22 99:17 100:13 119:17,19 135:18 252:15 346:17 367:2 regulations [1] 278:19 relate [4] 50:19 233:15 235:6 244:14 related [21] 25:5 52:14 63:12 64:14 133:15 143:21 144:16 158:22 189:18 214:12,19 215:25 233:23 262:7 288:25 295:18 319:2 334:10 335:25 336:12 350:16 relates [8] 52:9 137:16 140:19 142:11 192:11 234:20 235:4 285:16 relating [4] 63:17,20 239:11 335:20 relation [26] 12:2 16:1,8 16:18 20:1 22:4 54:25 54:25 67:21 77:3 81:23 82:24 90:14 91:1 93:9 128:20 134:20 141:3 167:19 178:25 179:1	188:18 204:10 209:7 247:11 255:18 relations [3] 115:8,24 167:1 relationship [5] 49:16 57:12 75:20 94:19 270:13 relatively [3] 12:19 54:12 339:6 relatives [1] 121:18 release [6] 111:24 243:16 244:4,7 318:5,6 released [1] 132:15 relevance [2] 78:14 142:6 relevancy [1] 141:9 relevant [2] 142:18 273:14 reliability [1] 140:19 reliable [3] 378:7,8,8 reliance [1] 87:17 relied [2] 86:13 133:18 relieving [1] 119:17 relook [1] 227:11 rely [3] 250:3 272:25 366:18 relying [1] 132:22 remain [1] 159:23 remained [3] 7:3 185:14 328:24 remaining [6] 154:9 156:20 189:12 190:19,20 222:1 remains [1] 184:17 remark [3] 90:6 301:2 317:23 remember [13] 85:25 101:9 176:8 256:18 283:19 285:14,25 286:7 296:23 335:2 336:5 343:16 375:20 remembered [2] 378:3 378:5 removed [1] 245:20 remuneration [1] 23:11 rep [1] 99:6 repeat [4] 101:21 114:20 189:14 325:12 repeated [2] 115:6 324:24 repetitively [1] 302:14 replicates [1] 365:3 replies [1] 233:14 reply [3] 183:18 349:11 358:14 report [39] 9:24 10:6 11:7 16:21 17:13,15 22:17,18 24:1 29:6 31:13 37:13 40:15 55:6 70:1 76:11 159:17 168:3,8,22 178:16 214:15 220:5 237:19 251:16 278:11,23 279:9 283:4,6,25 335:6 335:7,9,19 341:23 352:3 354:12 368:13	reported [21] 9:20 10:23 29:15 109:22 156:3 201:23 252:11 253:24 278:9,24 279:5,15 280:20 280:21,24 282:15 284:1 287:15 337:3,6 342:7 reporting [16] 10:1,8,13 54:24 57:19 98:22 107:9 110:25 174:10,12 181:4 278:13 279:1,11 281:7 283:21 reports [20] 16:2 23:14 34:19 65:6 67:24 68:8 68:10 69:1,15 102:12 109:21 141:14 178:8 214:11 220:8,19,20 261:13 335:15 366:1 repository [1] 100:20 reposts [1] 367:10 representation [3] 20:24 21:21 30:16 representations [1] 139:13 representative [5] 27:7 28:6 90:11 223:9,18 representatives [4] 21:17 29:10,20 56:8 reprocessing [1] 179:17 request [20] 44:17 49:24 50:15 58:13 85:18,21 86:1 162:3 175:21 176:1 200:22 207:5 227:10 302:3 348:18 351:20,22 351:23 357:13 364:13 requested [19] 44:10 48:20 71:8 114:22 147:4 189:11 191:24 210:25 211:1,5,5 212:20 214:12 214:20 215:9 231:2 236:17 286:3 348:11 requesting [2] 50:12 308:25 requests [8] 108:1 130:23 203:4 213:17,21 286:5 302:4 352:10 require [11] 102:3,22 160:17 170:2 171:10 186:6 195:7 226:10 261:12 339:23 378:17 required [20] 65:25 90:15 101:23 104:6 132:3 154:10,14,15,18 160:10 162:19 163:8 186:2 187:1 199:24 226:7 228:8 229:17 254:8 270:10 requirement [3] 216:21 248:22 260:7 requirements [2] 98:22 202:3 Rescreening [2] 124:4 124:5 research [9] 42:4 55:9 74:1 75:11 107:24 201:21 210:8 296:7,11 residents [1] 270:21 resigned [1] 281:24 resource [2] 87:14
--	---	---	--	--

Inquiry on Hormone Receptor Testing

<p>118:20 resources [7] 13:25 75:1 86:14 87:18 121:1 132:8 194:2 respect [12] 12:9 13:6 34:10 109:1 132:2 159:22 161:15 170:18 202:6 231:8 242:21 336:22 respected [1] 247:21 respective [1] 246:22 respiratory [1] 8:15 respond [13] 77:10 84:1 125:3 131:2,4,22 132:19 132:24 134:7 207:4 271:9 351:19 378:18 responded [23] 44:17 115:20 121:9 137:13 161:9 164:8 166:16 184:9 190:8,14 197:12 206:25 233:10 236:15 262:11,16 348:18 350:25 351:21 357:8,12 359:1,16 responding [3] 17:9 50:15 203:4 responds [3] 99:9 146:21 166:4 response [8] 21:6 46:12 61:13 147:2 325:13 351:20 353:8 358:2 responses [1] 87:12 responsibilities [8] 8:10 41:19 55:11 203:7 279:2 280:25 281:6,11 responsibility [24] 8:13 11:22 41:24 42:6 73:8 111:5 169:24 174:9,12 192:12 221:18 250:15,18 258:18 281:13 284:4,6 284:10 310:1 339:15 340:12 346:8 370:24 373:1 responsible [21] 8:23 9:2,25 11:3 38:14 43:2 45:19 46:2 53:16 54:15 123:10 132:25 138:18 166:25 176:12 278:9,10 280:21 283:14 345:4 346:7 rest [3] 125:5 133:17 241:4 resting [2] 60:25 62:22 resubmit [1] 79:7 resubmitted [2] 134:11 231:18 result [20] 48:1 64:20 69:25 112:13 189:17 190:2 193:5 195:8 204:11 206:23 208:4 227:5 270:1 297:22 325:14 327:9,23 328:23 369:2 376:14 resulting [1] 362:14 results [122] 12:18 57:12 61:10 62:5,15 63:14 65:10,21 66:1,2 68:6,9 68:11 74:22 103:12 105:17 108:18 110:2,23 112:12 121:10 130:7 131:10,15,22 132:3,18</p>	<p>133:24 134:14,20 135:12 135:14 136:12,17,20 137:8 138:5 140:19 145:3 149:10 151:21 152:2,6 152:19 158:10,20 159:10 159:17 162:15,18,20,21 162:23,25 163:14,20,22 163:24 165:10 167:8,9 169:21 170:10 171:19 174:6,17 175:7 176:20 177:10 179:18 180:6,14 187:22 201:12,14,23 202:3,7,19,20 203:12,21 203:25 211:17 216:5 219:20 221:21 222:10,14 225:2,7,10,16 237:6 239:9,22 240:8,10,13 241:21,22 243:24 244:2 270:3 272:12 297:24 298:5 300:3 314:23 315:5 342:1 355:4 366:11 368:20 373:10 374:18 375:6,12,17 376:2,3 377:3 resuming [2] 179:22 343:4 retention [8] 19:15 20:4 20:16 22:5 30:23 192:22 278:15 296:15 retest [21] 70:13 150:12 157:13 163:24 164:11 171:19 174:17 176:20 177:10 203:12 221:21 222:10,14 225:19 228:7 229:16 293:15 299:23 324:19 325:21 342:1 retested [35] 44:11 48:21 56:13 65:20 110:1,7 112:10,15 114:5,12 116:4 121:25 147:1 148:18 207:19 211:13 217:5 218:24 220:1 236:7 260:22 287:21 292:13,25 301:15 307:7 315:4 318:15 319:9 323:9 326:6 326:14 348:13 371:25 377:4 retesting [70] 50:9 58:15 60:25 79:9,10 108:23 112:12 113:14,18 114:22 124:9,13,15 134:21 140:3 140:24 146:25 147:1,6 147:11,12 148:16 151:4 152:23 154:5,7 156:15 179:6 195:8 202:7 203:9 210:20 211:18 222:2,24 225:25 226:4,6,7 228:9 228:16 229:7,10,18,19 229:21,22,24,25 231:24 232:10 239:12,15 285:19 289:23 304:13 306:25 307:1 309:8,17 323:16 328:17 343:4,10 373:10 376:12,16 377:13 378:12 378:15 retesting/results [1] 219:25 retests [7] 150:19 156:13 157:11 236:22 239:22 297:22 368:22 retired [4] 5:16 45:1 51:6</p>	<p>51:10 retirement [1] 19:19 retirements [1] 19:21 retreat [1] 72:8 retrieval [1] 102:13 retrieve [1] 101:25 retrieving [1] 101:20 retroconverters [5] 195:19 196:6,12 198:22 199:17 returned [2] 178:8 354:21 returning [1] 368:17 revealed [1] 69:16 review [44] 35:7 38:12 90:2 94:25 98:18 103:12 103:19,24 104:4,23 118:5 151:22 162:23 195:5,7 195:11,14,16 197:15,21 197:21 199:10 205:2 207:13 214:19 216:4,5 222:9 225:4,7,7 227:5 233:6 251:16 257:17 259:19 261:13 262:20 263:14 366:24 367:5,11 367:16 368:1 reviewed [10] 56:10 154:8 163:3 197:18,24 221:20 233:3 303:16 328:6 331:9 reviewers [3] 67:9,16 334:7 reviewing [6] 168:24 198:12 199:2 293:13 313:5 358:6 reviews [7] 65:3 365:25 366:4,11,11 367:23 368:7 rid [1] 378:2 right [152] 1:8 4:4,18 12:6,12 24:8,19,25 29:8 32:1 35:12 37:11 39:11 43:18 44:1,21 49:3 58:5 58:24 65:7 81:17 82:14 82:22 83:24 84:4,10 85:12 92:24 95:7,9,12 97:14 101:14 105:4 107:11 114:15 115:10 117:12 123:15 129:9 130:13 141:16 145:7,13 145:22 147:25 151:8 152:9,16,25 153:14,19 164:21 165:12 167:17 171:8,15 173:3,21 174:19 182:25 185:18 190:12 193:21 196:8 197:7 198:1 198:15,19 202:15 204:7 205:4,21 206:9 208:10 209:11,15 211:24 212:9 212:15,22 213:12 215:11 215:15 217:8,12 222:5 222:12,17 224:11 226:17 228:12 230:6 231:6 234:8 234:16 236:20 238:2,6 241:24 242:5 243:6 258:3 258:7,12 259:21 264:2,7 267:9 275:4 277:7 278:1 278:5 282:23 288:6 291:25 292:14 299:13 300:25 301:20 303:18,19</p>	<p>303:20 304:16 307:12 308:21 309:13 310:4 312:5 314:2,8 317:19,25 319:5 324:17,22 325:7 344:7 345:19 346:4 347:24 353:5 356:18 357:6 360:18 362:8,9 370:12 372:22 373:21 374:21 379:6 ring [1] 142:3 risk [11] 44:25 45:10 94:20 121:21 122:5,17 160:19 165:14 184:4 347:23 357:15 riveting [1] 286:10 road [1] 260:7 Robert [10] 33:10 208:25 209:23 213:17 224:4 236:3,16 260:16 262:6 262:20 Roddick [5] 168:3,9,11 168:12,14 role [13] 8:12 20:14,15 34:16 54:20 57:11 123:3 127:2 133:14 198:13 209:7 249:12 279:5 roles [2] 5:6 284:3 Rolf [1] 1:8 room [1] 317:13 rotating [2] 5:1 275:23 rounded [1] 147:23 routine [1] 216:11 rows [1] 167:23 rule [1] 323:23 rules [1] 278:18 Rumboldt [1] 50:23 run [6] 63:13 194:3 252:19 296:10 297:11 374:8 rural [1] 372:20 Ryan [2] 101:5,6</p> <hr/> <p style="text-align: center;">-S-</p> <hr/> <p>S [2] 101:5,6 safe [2] 270:19 273:20 safer [1] 189:19 safety [2] 184:5 271:18 sake [1] 118:15 sample [12] 99:2 117:4 154:4,6 189:18 223:18 228:23 229:8,25 230:3 310:16 360:4 samples [36] 12:21 13:4 13:10 63:21 68:22 70:12 70:21 71:7,14 72:20 74:23 79:8 116:4 118:5 133:1 134:10 135:1 146:25 147:14,20 148:3 151:4 213:2 214:19 226:5 231:18 246:5,23 257:16 258:5 268:7 288:4 309:17 310:8 359:24 371:24 sampling [1] 199:6 Sandra [1] 1:7 sat [1] 362:1</p>	<p>satisfied [2] 216:12 217:15 Saunders [9] 7:7 102:10 115:13 124:3,23,25 127:5 222:22 223:19 saw [6] 67:24 68:25 100:19 136:24 242:20 316:21 says [31] 19:13,15 37:19 46:10 81:8 111:15 117:1 119:13 126:1 131:23 132:13 156:2 160:8 168:3 168:8 169:21 185:23 187:2 188:9 197:2,17 210:18 228:8 239:13 243:13 250:22 260:13,17 308:24 359:16 365:6 Scarlet [1] 33:12 scheduled [2] 19:22 245:25 school [4] 4:25 5:4 275:21,22 Science [1] 275:19 Sciences [4] 62:12 114:21 290:23 368:20 scientific [1] 327:7 scope [1] 8:9 scores [1] 70:11 Scotia [3] 158:14,15,22 screening [4] 60:3 79:15 158:2,5 scribble [1] 330:4 scribbled [1] 337:12 script [6] 114:13 116:11 117:1 121:6 125:5 157:18 Script.doc [1] 117:8 scroll [1] 237:20 scrub [4] 201:25 227:2 227:15,21 se [1] 341:7 search [5] 161:20 261:7 262:10,18 264:12 searchable [1] 102:3 searches [1] 261:1 searching [1] 262:7 seated [3] 123:22 206:13 274:11 Seattle [2] 90:2 98:18 second [12] 31:5 34:23 65:1 105:21 126:18 136:5 170:25 209:4 219:23 238:9 280:13 310:14 secondary [3] 52:1 268:13,15 secret [1] 22:6 secretaries [1] 71:18 secretary [2] 209:7 361:3 section [2] 39:7 80:8 securing [1] 155:11 see [30] 13:23 81:8 87:25 91:6 97:10 99:1 100:21 107:8 136:19 137:8 142:10 152:16 161:2</p>
---	--	--	---	---

162:6 169:17 196:25 197:2 198:4 204:19 213:8 213:14 263:10 295:12 314:11,13,15 321:5 351:3 362:24 371:11 seeing [4] 68:7,10 136:16 311:23 seek [1] 218:9 seemingly [1] 171:17 selection [3] 193:1,2,11 self-identified [1] 263:25 semi [2] 137:22 139:19 semi-automated [6] 63:8 139:20 140:1 142:13 144:16 323:5 semi-technical [1] 86:6 send [24] 12:21 44:11 48:20 49:7 78:9 80:16 80:21 83:11 101:23 105:22 147:18 178:14 180:14,20 184:16 226:8 247:5 289:25 293:12 295:3 342:6 348:12 351:10 372:14 sending [14] 45:9 70:9 96:13 127:12 128:21 135:23 170:14 182:9 238:12 288:3 292:3,4 352:22 378:1 sends [2] 81:19 207:9 senior [34] 20:21,22,24 21:17,19,21 23:4 24:15 28:6 41:19,23 43:1 45:18 46:2 54:6 57:3 72:8 99:7 103:4 117:17 118:9 119:4 120:15 122:23 123:10 162:12 223:20 278:21 279:19 283:22,24 284:7 371:9 372:1 sense [15] 10:18 97:2 110:24 126:12 133:11 163:23 165:5 208:5 283:15,17 304:22 316:8 316:16 366:21,25 sensitive [3] 46:23 138:4 145:3 sensitivity [1] 143:22 sent [54] 46:4 50:9,13 66:4 81:21,21 82:16 83:18 104:19 105:7 114:2 114:21,24 115:13,16 117:4,13,14 129:5 134:1 146:15 147:5,9 148:16 197:19 198:3 213:2 219:11 220:7 225:6 229:19,24 239:17 246:6 247:2 286:4 287:19 289:3 291:6 302:2 303:20 308:2 309:17,24 310:8 332:23 349:2,3 350:22 354:21 359:6,24 360:3 365:11 sentence [3] 62:11 171:1 352:4 sentiment [1] 106:15 separate [1] 40:11 September [51] 1:4 22:17 24:5 25:2,20 26:2	26:20 28:20 31:5,22 32:11 33:1 41:5 43:6,6 43:11,24 45:14 47:14 48:18 50:3 52:20 54:19 65:1 68:24 72:2,5 132:6 156:18 220:6 285:9 286:5 286:7,11,13 288:9,11 289:7 290:20 298:19 301:16 308:17 310:6,12 347:11 349:10,21 351:23 365:7 380:5,12 series [23] 17:25 43:5 76:19 80:23 81:1 97:11 98:2 111:10 116:23 146:14 160:4 162:10 183:16 189:7 196:24 203:18 206:16,18 232:23 237:12 349:19 357:2 359:15 serious [1] 182:8 seriousness [1] 358:4 serve [4] 6:5 8:8 12:24 118:3 served [1] 5:6 serves [1] 165:16 service [21] 7:4 18:9,20 19:2,3,8 20:13 26:1 35:17 65:5 75:13,18 98:13 103:16 118:17 267:24 268:4 270:20 271:15,19 273:20 services [81] 5:25 6:3,6 7:22 8:3,4,6,11,16,25 9:4 9:20,23 10:7,12 12:3 14:6,16 15:5 18:25 19:9 20:20,24 21:6,10,18 22:16,17 23:2,17 24:4 31:6 32:22,23 34:25 36:19 38:16,17 40:17 41:6 50:22 51:5 52:2,5 59:23 71:9 72:25 88:24 89:1 90:8 91:2 131:18 135:8 139:14 146:17 149:7 157:24 177:21 180:9 191:15 192:13 193:9 209:5 214:13 250:16 253:7 254:9 262:5 268:17 270:23,25 271:1 271:13 276:14 278:8,23 279:3 281:4,25 336:25 345:1 servicing [2] 5:12 127:2 set [4] 179:20 207:13 221:4 246:24 sets [1] 240:4 setting [3] 39:7 221:7 349:12 settled [1] 199:16 seven [4] 50:13 220:4 221:3 291:22 several [5] 18:22 20:8 183:25 361:14 376:9 shaking [1] 291:12 shape [1] 218:7 share [7] 55:11 70:20 86:20 96:25 112:19 122:18 135:16 shared [6] 64:17 71:4	74:14 86:18 96:22 306:13 sharing [3] 48:8 99:4 360:19 Sharon [12] 117:17,21 121:8 125:15 126:4,16 154:5 156:25 243:21,24 244:1 247:3 shear [1] 378:15 sheet [2] 84:14 243:25 sheets [1] 186:11 Sheila [3] 33:12 35:18 37:20 shifts [1] 119:17 shipped [2] 151:5 272:7 short [3] 135:15,25 221:21 shortly [4] 17:17 32:9 53:1 72:11 show [4] 48:17 197:21 197:22 375:13 showed [2] 65:21 261:10 shows [1] 58:22 side [12] 65:4,5 201:21 302:21,21 304:10,11,23 307:18 344:5 358:7 370:23 sides [5] 11:3 289:3 353:24 356:8,10 signed [20] 44:19 47:7 61:5 83:22 103:17 106:3 111:17 114:1 115:19 117:7 121:8 125:24 126:16 147:17 169:6 170:8 184:4 190:10 216:13 223:5 significance [2] 128:4 333:10 significant [20] 14:11 71:5,15,22 133:18 135:3 144:10 151:19 187:4 192:16,18 196:14,20 201:20 261:12 268:20 269:25 273:13 285:20 358:10 similar [10] 20:9 99:3 123:3,7 125:20 259:25 297:10 351:11 358:16 376:14 similarly [3] 27:15 54:5 123:2 Simmons [13] 1:10 56:4 78:19 111:12,22 117:1 117:12 130:1 146:15 147:2 206:19 265:24,25 simple [1] 358:15 simply [5] 78:10 91:5 163:20 167:8 215:18 Sinai [47] 44:12 48:21 61:2 110:24 118:6 134:9 134:13 135:4 140:2,23 147:10,11 151:6 158:11 162:16 168:19,22 178:9 178:14 180:14,20 181:25 197:17 199:6 202:19,20 220:2 225:18 239:15 287:20 309:8 329:21 331:8,16 341:24 342:14	342:20,25 343:2 348:13 352:2 354:11,14 373:11 374:6 377:13,25 Sinai's [3] 170:9 342:1 378:17 sincere [2] 70:21 116:8 sincerely [2] 102:15 115:3 single [1] 302:7 sinks [1] 255:9 sit [3] 42:22 333:23 366:23 site [6] 33:5 258:10 259:14 309:4 332:24 339:13 sites [3] 343:19 347:3 372:20 sitting [4] 30:12 303:1 345:6 366:23 situation [12] 19:25 77:15 98:19 125:15 132:17 179:1 180:17,23 195:10 297:7 352:19 357:17 situations [4] 39:10,23 216:20 218:19 six [3] 312:3 373:12 375:7 Sixty [1] 341:13 sixty-odd [1] 65:22 slide [4] 178:17 197:18 197:20 333:24 slides [13] 181:14 195:14 272:23 331:11 332:13,16 332:18,23 333:2,20 341:13 346:23 359:6 Sloan-Kettering [1] 323:7 slowing [2] 25:21 374:10 small [6] 159:8 257:16 258:5 269:3 339:6 340:9 smaller [4] 158:18 159:9 159:15,16 SME [2] 89:25 98:18 Smith [3] 81:2,19 82:11 Smith's [1] 243:21 Society [1] 1:15 solely [1] 309:18 someone [14] 85:10 115:2,6 116:12 117:6 118:16 120:6 124:8,12 169:11 283:7 334:16 340:6 359:7 sometime [2] 11:15 281:23 sometimes [5] 53:25 154:15 218:11 250:7 280:13 somewhat [1] 86:21 somewhere [4] 82:5,7 304:7,11 soon [6] 103:15 169:2 226:8 237:17 256:15 292:2 sophisticated [1] 271:13 Sopp's [1] 7:9	sorry [14] 16:14 21:9 51:14 69:12 79:3 87:2 114:6 126:4 232:16 277:14 325:12 337:18 348:23 360:5 sort [37] 10:8 19:8 23:24 25:11 28:19 34:9,12 53:7 54:11 57:20 72:12 74:4 80:12 83:10 97:1 99:25 100:13,15 106:14 108:2 122:12 124:8 135:5 151:24 164:1 218:5 223:9 248:4 249:9 250:12 264:13 278:19 303:5 311:12 353:21 358:12 362:21 sorted [1] 190:9 sorts [2] 86:16 188:25 sound [2] 113:23 380:10 sources [1] 100:11 South [1] 7:9 southern [1] 7:4 space [1] 296:8 Sparkes [7] 60:18 77:21 78:10 82:17 103:6 187:19 232:25 speak [11] 12:12 41:24 42:6 89:2 101:2 170:6 183:6 236:10 249:14 256:9 363:14 speaking [4] 133:8 312:7 344:25 363:19 special [3] 91:12,20 93:9 specialized [2] 267:4 378:11 specialty [1] 267:24 specific [28] 13:5 56:10 64:3,7,14 85:18 86:1,15 125:17 144:20,23 152:3 188:21 203:11 223:15 227:9,18 254:9 255:22 281:5,10,10 284:20 289:10 316:1 332:24 336:6 360:11 specifically [43] 8:11 13:2,16 16:23 36:23 52:10 94:18 106:25 107:4 119:6 142:12 162:2 170:5 171:12 205:15 220:2 241:4 244:25 266:25 270:21 273:5 285:14 286:1,6 288:19 297:16 310:10 311:5 313:9 316:19 317:16 331:5 334:15,21 350:6 366:7 369:13,17 370:19 371:2 375:20 376:20,22 specificity [1] 143:22 specifics [7] 284:19 317:19 332:4,5 350:13 350:14 352:21 specimen [6] 229:17,20 229:22 231:12 246:1 355:4 specimens [25] 132:11 229:19,23 239:15,19 245:20 272:19,23 289:2 289:24 292:5 293:11
---	--	---	--	---

302:2 307:21 308:1 335:21 337:9 338:6 340:23 352:2,23 354:11 354:20 365:11 376:13 spectre [1] 137:16 spell [2] 4:8 274:17 spelling [1] 56:3 spend [1] 90:16 Split [1] 300:25 spoke [8] 45:22 50:6,20 50:24 68:25 105:15 217:14 317:7 spoken [5] 49:11 71:8 267:5 349:23 363:22 sponsored [1] 5:3 spot [3] 116:20 206:4 378:23 spread [1] 249:23 spreadsheet [16] 167:13 172:18,20,24 173:1 187:16 205:17 210:19,21 211:4 212:11,19,24 213:5 213:9,14 spreadsheets [10] 100:25 105:18 106:19,20 107:9,19 108:3 167:15 226:15 306:4 spring [3] 18:1 22:1 25:19 spun [1] 72:12 squarely [1] 286:16 St [53] 18:8 72:3 88:6 91:4,4,9 93:2,21 101:12 104:21 115:24 121:12 140:23 144:6 151:5 162:22,22 170:3 171:11 199:22 208:13 268:14 285:16 286:4 287:2,19 289:3 290:24 291:6 293:13 295:7 297:19 298:5 302:3 303:20 306:11 308:3 309:17 331:12 332:14,20 333:3 340:18 341:13,24 343:5 343:9,20 346:24 349:2 378:16 380:7,11 Staeben [1] 56:3 Staeben-Simmons [1] 56:1 staff [24] 13:9 70:20 71:13,23 75:12 89:2 107:22 133:6 165:8 224:16 269:25 270:12 278:15,16,17,18 279:6,7 281:2,9 296:4 338:7 340:16 354:3 staffed [3] 89:2 98:16 103:9 staffing [3] 32:3 163:5 270:25 stage [3] 56:23 143:25 189:24 stages [2] 58:7 99:21 staining [2] 332:21 335:23 stakeholders [1] 361:12	stand [3] 87:10 213:22 304:25 standard [7] 178:22 182:19,23 256:8 338:10 339:20 367:8 standardization [1] 333:17 standardize [1] 339:5 standardizing [2] 338:11 340:10 standards [7] 36:14 38:21 39:8 246:24 293:16 323:19 343:14 stands [1] 255:8 staple [1] 353:25 Star [1] 206:20 start [14] 67:2 77:22 96:17,23 98:20 112:9 135:22 164:17 170:6 178:12 180:11 255:25 256:11,15 started [21] 66:2 72:1,3 72:4 113:15 120:2,24 135:12 136:16 137:18 149:9 158:15 183:21 216:7 256:15 276:13 283:20 285:15 304:22 305:14 323:4 starting [6] 63:13 65:10 108:9 227:2,21,22 starts [1] 7:5 state [4] 4:8 31:24 274:17 287:8 statement [5] 36:13 44:16 265:8 348:17 349:10 statements [1] 122:15 states [1] 261:7 statistical [3] 151:19,24 152:3 statistics [3] 152:12 155:16 308:9 status [21] 146:23 147:1 147:9 204:10 223:4 264:9 298:1 301:12,22 309:2 315:6,12,13 337:17 338:1 338:2 348:25 349:12 362:18 365:23 370:7 stay [1] 301:5 stayed [3] 293:6 299:10 299:21 staying [1] 300:16 step [3] 134:15 140:17 261:16 Stephanie [5] 321:25 322:4,6 360:23 369:10 Stephen [2] 40:20,24 Stephenville [4] 102:9 168:15 249:21 267:22 steps [8] 64:5 68:17 138:1 259:13 261:17 273:10 371:25 372:3 Steve [1] 28:16 still [34] 13:20 51:8 113:1 113:6 121:23 154:18 160:10,13,17 161:4	164:11 186:10,20 189:15 190:25 191:2 194:15 239:16 261:12 264:13 281:14,19 282:15 305:16 312:23 316:11 323:25 325:1,22 326:3,16 327:2 328:2 342:24 stood [1] 19:3 stop [1] 39:11 stopped [1] 65:8 stops [1] 71:12 story [9] 56:16 131:8 145:16,17 146:1 318:22 319:14 351:6,7 straight [1] 374:4 straighten [1] 325:8 strategies [2] 261:7 264:12 strategy [4] 175:4 219:5 261:10 262:10 strict [1] 54:11 strictly [2] 7:21 327:7 strike [3] 66:12 313:10 373:23 striving [1] 83:21 struck [1] 374:24 structure [11] 9:17 10:2 10:8 80:9 120:14 269:10 279:1,7 283:21 295:24 296:2 structured [1] 75:6 structures [1] 250:3 stuck [1] 346:3 students [1] 193:3 studio [1] 131:19 stuff [1] 350:21 style [4] 98:14 362:21,25 365:5 subject [26] 31:15 59:24 70:13 84:18 89:25 92:12 93:13 95:2,4 104:3 111:13 124:3 125:9 141:23 159:25 169:21 210:12 235:20 239:8 243:8 244:17 247:11 259:11 294:8 360:25 368:1 submission [4] 23:25 71:7 239:19 246:23 submissions [1] 25:14 submit [1] 237:19 submitted [8] 71:15 118:5 133:2 194:5 214:18 214:20 220:18 229:25 subsequent [10] 11:16 23:25 108:1 139:15 162:1 162:8 170:22 213:22 231:24 232:9 subsequently [4] 6:4 100:24 108:3 201:19 substituted [2] 61:19,21 success [1] 161:23 successful [3] 154:16 175:25 191:4 such [19] 12:24 13:16	15:17 16:7 26:14 38:5 46:3 99:13 100:24 128:3 128:4 139:3 198:24 199:15 270:12 272:22 338:17 359:25 373:13 Sue [5] 27:7 46:3 76:24 77:2 94:11 suggest [9] 46:25 243:25 246:8 248:12 274:7 292:5 298:19 301:9 333:25 suggested [3] 39:6 41:1 159:16 suggesting [5] 193:13 224:5 298:11 334:8 350:11 suggestion [1] 359:1 suggestions [1] 21:7 suggests [5] 148:15,22 171:17 246:8 359:7 suit [2] 109:4,5 Sullivan [9] 43:16 44:23 44:25 70:8 76:24 94:11 347:11,15,16 summaries [1] 187:3 summary [4] 213:5 214:15,23,24 summer [6] 18:6 22:2 25:21 44:6 131:25 348:6 Sunday [2] 56:16 351:6 supplied [1] 102:11 support [11] 73:4 75:13 87:19 120:17 180:22 199:24 243:15 244:13,21 268:18 314:21 supported [1] 315:2 supports [5] 14:4 71:18 91:14 163:5 268:12 supposed [1] 329:24 surgeon [3] 27:14,25 295:4 surgeons [8] 36:8 81:12 103:11 245:9 249:17 268:24 351:9 356:7 surgeries [1] 249:21 surgery [7] 81:13 245:13 246:2 249:3,15 295:4 315:12 surgical [4] 147:18 247:15 267:25 268:18 surmising [1] 52:17 surprised [2] 217:24 254:10 surprising [1] 218:10 surrounding [4] 53:12 219:16 277:17,19 surveys [1] 260:8 Susan [22] 43:16 44:25 46:4,10 47:6 50:5 98:9 101:18 110:12 112:7 130:3 166:3,11 184:12 208:24 209:22 236:4 237:18 317:2 347:11,15 347:16 suspect [2] 80:6 115:5 suspicion [1] 138:22	switching [1] 165:14 SWORN [4] 2:2,5 4:5 274:14 system [37] 34:8 39:17 41:3 62:15 63:18,21 65:20 73:23,24 80:19 102:1 137:17,21,21,23 139:20,24,25 140:1,22 261:8 270:9,12,16 271:11 271:14 272:4 291:5 304:3 305:12,13 309:6 323:6 341:10 376:11 377:7,14 systems [5] 74:20 140:1 188:25 267:2 321:11 <hr/> -T- <hr/> t [1] 342:21 table [8] 2:1 21:2 38:12 57:21 135:4 214:16,25 263:9 tabled [1] 262:8 tabulated [1] 208:8 takes [1] 246:7 taking [11] 16:19 17:17 99:4 132:23 138:20 270:3 345:4,5 346:12 354:24 355:3 talks [3] 31:12 260:20 335:21 Tamoxifen [10] 89:18 139:4 156:2,7 216:7 217:10,23 229:11 312:24 322:25 Tansy [1] 146:16 task [3] 125:7 209:25 233:4 tasked [1] 120:7 TC [1] 84:25 team [3] 186:21 221:1 278:22 teams [4] 283:18,20,25 284:1 tech [1] 331:8 technical [12] 47:23 63:6 63:11 64:3,7 65:5 68:21 86:6,15 365:24 366:4,11 technological [1] 34:10 technologies [4] 35:5,7 138:9,10 technologist [7] 13:4 279:19 284:8 331:16 335:11 336:23 341:7 technologists [11] 10:11 11:7 71:17 73:3 191:19 192:2,17 253:20 259:11 279:14 282:25 technology [20] 34:6 35:15 62:14 63:3 68:16 137:17 138:3,5 142:5,7 142:11 143:8,16,21 144:20,24 145:2,4 270:11 273:11 tele [7] 84:25,25 85:2 88:12 321:22 330:15 331:5 teleconference [7]
--	---	--	---	---

28:24 29:1 98:10 262:3 264:16 336:6 343:9 teleconferences [7] 100:2 135:7 139:15 149:8 362:2 369:12 376:24 Telegram [1] 319:8 telephone [11] 47:4 84:22 100:3 101:18 104:13 117:22 187:10,13 214:10 243:2 262:23 telling [11] 44:8 121:24 175:6 299:15 313:24 314:6 315:13 319:2,19 331:14 348:10 tells [2] 185:3 219:22 temperature [1] 252:14 template [1] 109:16 ten [27] 139:2,10 149:23 150:4 167:22,23 186:13 187:23 200:25 291:2 300:23,23 313:16,17,25 315:19 316:3,13,23 318:10,14,18 322:25 323:22 327:1 333:23 337:11 tended [1] 54:10 term [1] 227:15 terminology [1] 277:6 terms [104] 8:7 9:19 13:3 13:9 19:23 23:9 32:3 48:11 53:12 54:17 57:17 57:18 63:2,5 64:5,12 69:6 72:1,20 75:20 86:22 95:1 97:20 110:21 121:24 131:22 135:10 136:5 138:15 142:16 144:13 152:1 153:4 159:3,24 179:4 185:19 188:24 194:12,14,18,22 196:17 198:6,21 199:2,14 202:3 203:8,9 204:24 219:5 223:12,23 227:17 231:24 235:22 241:11 248:22 250:5,15,16 254:16 260:3 264:12 267:19 278:16,23 284:10 286:10 287:10,12 288:22 294:21 295:3,11 303:9 304:7 307:6 309:23 328:25 332:19 338:1,19 339:11,19 340:10 343:14 345:23 346:12,20 349:1 350:8 353:1 354:20 355:3 360:18,19 363:3,7 364:8 370:8 376:23 377:3 tertiary [1] 38:8 test [44] 38:22 39:8 61:10 62:5 63:14 66:2 68:6,9 68:11 70:11 106:1 109:21 115:5,15 130:7 131:10 132:18 135:12 137:8 140:19 141:5 158:19 159:10 162:15 178:14 179:18 225:16 230:11 239:9 261:9 273:21 300:3 307:10 324:3 326:1,9,15 328:23,24 347:1 360:4 369:2 375:12 376:1 tested [9] 65:13 85:9 225:10,18 239:20 302:8	365:8 369:3 376:1 testified [1] 288:8 testimony [4] 12:14 73:22 151:22 272:21 testing [50] 1:2,13 13:1 44:4 58:10,15 62:13 63:5 65:9 79:4 81:11 101:22 112:11 114:20 121:5,8 137:19 138:20 142:12 143:23 146:23 158:16 178:12 179:22 180:11 182:1 196:6 214:8 219:16 231:19 239:21 246:4 252:7 273:10 285:2,4,16 285:18 287:23 289:23 290:23 302:4 319:11 322:11,18 342:25 343:4 346:23 348:5 380:4 tests [8] 38:23 105:24 131:15 133:1 134:9 149:24 309:19 362:13 text [2] 44:7 183:5 textbook/internet/resource [1] 253:11 thank [35] 4:14,20 6:18 21:24 31:2 70:4 116:18 122:20 123:15,24 124:22 145:22 206:15 228:3 264:19 265:14,17,17,21 265:22 266:17 271:22 272:1 273:23,23 274:5 274:23 275:15 291:13 355:6 361:17 368:5 379:2 379:4,6 thanking [1] 99:10 thanks [31] 46:15 50:25 70:22 77:9,24 82:24 99:13 114:7 115:20 116:8 118:21 121:21 126:1,5 139:8 160:22 161:13 163:11 166:4,11 170:8 185:3,4 197:24 210:1 219:20 223:5 237:19 350:2 352:11 359:17 themselves [7] 12:16 13:10 63:22 68:22 71:17 131:23 205:13 theoretical [1] 327:23 theory [1] 353:3 therapy [2] 8:15 75:14 there'd [1] 93:2 thereafter [1] 72:11 therefore [6] 189:23 197:22 228:22 229:20,24 292:7 thereof [1] 77:20 they've [3] 124:20 208:19 220:4 thinking [8] 57:20 97:5 98:20 113:11 173:16 202:17 211:8 375:5 thinks [2] 47:7 105:25 third [7] 19:12 26:8 62:11 65:18 136:5 171:1 318:21 Thomas [6] 130:4 168:3 168:9,11,12,14	Thompson [10] 208:25 213:17 224:4,24 236:3,4 236:16 260:16 262:4 263:12 Thompson's [1] 227:12 thorough [2] 74:25 114:25 thought [23] 58:9 104:2 105:18 148:17 155:6 156:4 163:19 174:25 175:11 182:8 184:10 218:4 219:1 240:25 311:23 313:9 318:22 340:25 358:25 367:4,9 368:11 372:13 thoughts [2] 115:19 360:7 three [29] 19:21 26:20 81:6 103:9 119:20 154:10 154:15 178:17 181:5 186:8,12,12 188:14 191:4 238:20 240:11 252:15 260:25 261:16,17 262:16 317:1 331:11 332:13 333:6,18 334:17 351:23 375:6 through [98] 3:2,3 5:3 6:12,15 11:12 16:19 18:6 20:5 32:10 34:24 61:1 68:2 70:2 71:19 73:20 78:20 80:8 87:5 94:10 110:21 112:16 120:13 130:24 134:12 135:17,19 155:10 157:8,19 158:25 161:13,20 162:5 168:10 188:23,24 190:22 191:6 191:11,24 196:24 203:15 203:18 204:13,19 227:9 227:12,12 229:4 231:19 235:16 237:20,24 239:21 246:3,6 249:15,18,24,24 249:25 260:2,24 261:1 263:18 269:9 275:2,10 279:9,12,19 283:22,25 284:2,7 286:2 296:10 302:9 303:2,7,15,22 304:18 305:8,16 312:15 312:19 313:21 316:21 336:18 342:2 343:11 354:23 357:4 359:21 365:2 367:6 throughout [8] 69:23 80:13 181:6 187:15,17 254:8,12 273:9 thrust [1] 42:5 Thursday [3] 33:1 114:23 246:6 Tilley [3] 45:24 88:7,9 timeframe [2] 58:17 102:7 timeframes [1] 296:12 timeline [1] 297:15 timelines [1] 247:21 timeliness [1] 271:4 timely [3] 245:21 246:2 352:11 times [20] 12:21 75:14 160:12 180:22 201:25 216:17 249:5 295:5	296:13 306:10 311:9,12 312:18,19 316:16 317:12 340:8 342:12 346:14 348:8 timing [1] 376:20 timing-wise [1] 360:10 timings [1] 374:4 tip [1] 377:1 tissue [14] 68:22 70:12 71:7 79:7 115:17 116:3 189:18 214:17,19 228:23 288:3 310:16 322:23 335:21 title [1] 322:7 titles [1] 341:5 today [20] 45:24 46:13 46:22 83:18 98:10 99:8 113:22 115:16 119:14 120:23 126:3,7 135:14 162:17 183:19 206:20 223:1 350:1 351:9 368:22 today's [1] 293:16 together [10] 57:11 71:21 73:2,6 184:17 259:10 339:11 340:9 354:3 362:5 tomorrow [5] 83:19 108:10 135:15 207:2 351:9 tone [1] 246:9 tonight [1] 351:7 too [6] 89:22 91:1 92:16 113:23 233:13 337:12 took [9] 8:11,13 11:13 54:19 106:15 137:7 297:17 346:21 357:4 top [11] 25:10 36:24 58:17 61:22,25 76:8 136:15,23 189:1 256:6 336:5 Toronto [2] 61:2 341:14 total [22] 134:1 146:25 148:18 149:24 150:13,17 154:20,23 160:20 199:19 213:1 214:22,23 215:1 241:11 292:18 300:19,19 318:13,19 320:9 344:10 totally [1] 359:19 touch [4] 18:7 99:10 218:16 266:23 toward [7] 5:8 121:23 132:12 137:2 343:5 347:9 368:18 towards [5] 98:3 181:9 230:10 367:23 374:18 town [1] 50:17 track [8] 78:18 99:6,25 306:2,2,5 313:8 320:21 tracking [3] 107:25 270:7 293:14 traffic [1] 162:1 training [6] 38:20 194:11 313:15 315:21,21 316:4 transcribed [1] 380:9 transcript [8] 130:5 131:7 132:13 143:12 146:22 147:4,18 380:3	transferring [1] 350:17 transition [1] 165:18 translate [1] 291:10 translates [2] 147:15,21 transparency [1] 271:4 travel [2] 295:7 298:3 treat [1] 311:15 treated [16] 91:8 229:11 311:15 312:21 313:3,12 313:18,25 316:10,22 320:11,23 321:6,14 337:19 372:24 treating [7] 162:24 221:20,24 222:9 313:15 316:2 337:24 treatment [39] 74:1 75:10 79:13 89:18 90:8 91:3,9 98:25 101:6,11 102:24 131:17 138:16 139:3 147:17 206:23 207:12 208:4,6 216:10 287:23 295:9,11 296:11 296:20 297:4 303:5 315:10,18,22 319:12 320:18 321:2,8 325:5 327:10 328:16,25 369:6 treatments [1] 66:14 tried [2] 50:16,23 tries [1] 35:5 triggered [1] 64:21 Trish [3] 67:23 141:13 335:9 trouleshoot [1] 161:12 true [3] 142:4 305:19 380:3 truncated [1] 80:7 trust [1] 271:6 trusted [1] 185:18 try [13] 49:24 67:4 74:3 107:2 127:25 129:21 130:13 227:8 256:5 306:5 350:18 352:10 374:3 trying [28] 116:11 159:1 165:17 174:8 227:17,22 256:18 264:13 291:18 296:23 301:7 302:6 306:7 320:25 321:6 325:13 326:9,10,13 328:13 345:17 352:5 357:20 358:12 363:4 374:8,9 375:20 Tucker [4] 33:12,24 34:15 37:20 Tuesday [1] 120:2 tumour [6] 93:23 102:12 139:1 230:1,3,4 turn [1] 372:19 turnaround [6] 136:6 180:21 342:12 351:25 354:9,13 turned [3] 30:3 329:11 364:12 twice [1] 360:16 two [61] 5:14 14:22 19:20 33:14 44:9,10 48:20 56:20 61:5 64:24 67:8
--	---	---	---	--

<p>72:11 87:21 101:4 103:10 104:11 113:20 114:17 124:5,6 125:18 127:5 143:7 154:9 160:12 172:25 178:17 181:5 186:7,15 190:17 195:6 206:10 207:1 225:16 226:19 229:6,10 238:14 238:25 240:9 245:8 252:14 253:8 261:17,23 267:22 293:11 302:12 320:9 327:5 331:11 332:13 333:5,18 334:17 337:3 348:12 351:22 357:15 360:13</p> <p>type [9] 79:12 80:21 122:16 124:15 138:15 139:1 178:20 182:5 249:3</p> <p>typed [2] 55:17 321:17</p> <p>types [4] 141:12 250:19 268:17 302:12</p> <p>typical [1] 122:13</p> <p>typically [1] 53:23</p> <hr/> <p style="text-align: center;">-U-</p> <hr/> <p>uh-hm [89] 22:21 26:5 26:10,16,22 29:18 32:20 33:3,7,22 35:3,24 36:10 37:17 38:2,10 39:4 40:1 41:10 43:9,14,22 47:9 48:13,23 52:24 55:24 56:18 59:10 60:5,10 62:8 62:17 65:16 66:6,10 103:1 104:25 106:5 110:4 110:9,14 111:19 130:11 134:4,17 137:11 139:6 139:22 141:1,20 145:7 148:20 150:21 152:21 153:6,6 154:12 155:19 156:23 159:12 165:2 166:1,23 167:11 168:5 169:8 224:9 225:13,22 226:12 229:13 233:8 248:15 249:7 251:5,10 252:21 253:15,22 257:14 257:20 261:4,19 265:3 272:10 300:12 351:15 362:16</p> <p>ultimate [1] 273:21</p> <p>ultimately [5] 54:15 120:16 133:11 152:2 329:11</p> <p>um-hm [43] 18:16 20:3 21:12 67:12 70:17 77:17 78:1 84:20 90:4 113:4 117:10 120:4 127:10 170:12,17 172:1 175:9 177:25 178:5 180:8 182:13,17,21 184:7 185:7 190:5 195:25 201:2 204:22 207:7 209:2 215:6 216:15 217:18 236:13 238:18,23 240:6 241:9 243:11 244:9 246:11 247:8</p> <p>umbrella [2] 8:4 75:10</p> <p>Umm [1] 160:24</p> <p>unable [7] 50:16 119:14 161:4,13 230:2 243:14</p>	<p>244:12</p> <p>unavailable [1] 187:8</p> <p>uncertain [1] 214:17</p> <p>uncertainty [1] 175:23</p> <p>unchanged [2] 7:3 160:14</p> <p>unclear [1] 197:16</p> <p>uncovered [1] 70:13</p> <p>undated [1] 219:9</p> <p>under [31] 8:3 9:4 14:16 36:7,7 41:21 49:12 62:4 63:10 75:9,23 76:1 87:21 113:18 121:6 167:20 168:2 188:10 279:1 282:2 282:4,8 283:23 322:11 365:7,23 371:7 373:9 375:4,11 376:7</p> <p>undergoing [1] 175:16</p> <p>undergone [1] 370:6</p> <p>underlined [1] 245:18</p> <p>underlines [1] 245:17</p> <p>underlying [2] 142:17 324:7</p> <p>understand [16] 29:3 124:10 127:7 141:9 143:2 179:7 189:21 204:14 217:21 273:17 312:12 326:10,11 328:14 357:9 377:12</p> <p>understood [18] 110:22 111:1 135:1,25 139:17 158:4,15 170:15 180:15 193:2 213:4 216:4 231:3 236:9 324:6 340:18 341:25 378:16</p> <p>undertakings [4] 233:14,17,19,25</p> <p>underway [1] 112:11</p> <p>underwent [1] 369:5</p> <p>uneasy [1] 106:8</p> <p>unfair [1] 358:25</p> <p>unfold [1] 201:16</p> <p>unfolded [1] 91:7</p> <p>unique [4] 89:20 216:20 218:19 223:15</p> <p>unit [1] 75:13</p> <p>University [1] 275:20</p> <p>University's [1] 4:25</p> <p>unnecessarily [1] 369:7</p> <p>unreachable [1] 183:24</p> <p>unredacted [1] 37:1</p> <p>unrelated [1] 235:10</p> <p>unsuccessful [3] 187:12 213:6,7</p> <p>unsure [4] 147:8 184:1 187:18,23</p> <p>up [109] 7:6 11:8 14:9 19:3 25:2,19,25 30:3 38:23 41:12 46:3,11 59:1 65:11 72:13 73:18 79:23 84:4 85:14 87:11 93:13 119:6 121:1 126:15 128:23 135:6 136:10 138:4,6,11 139:2 140:16 142:9,9 143:17,17 145:3</p>	<p>145:5 148:11 149:1 151:3 154:8 161:16,25 165:17 174:25 175:18 180:11 183:6 184:21 188:17 193:18 205:15 207:13 213:22 216:11 219:6 223:2,4,12,24 224:25 235:15,22 251:23 252:8 256:8 266:25 279:9,11 279:19 283:4,21,25 287:2 288:11 289:7 294:5,6 295:13 296:18,25 297:13 297:18 298:15 300:3 301:10 305:19 308:16 313:7 321:16 332:14 336:8,9 339:24 340:3 342:19 343:13,24 348:14 349:6 357:11 362:23 363:19 367:8 369:10 370:16 371:3 373:5</p> <p>up-to-date [1] 184:1</p> <p>update [13] 33:20 103:6 115:21 120:22 126:8 154:6 158:2,9 178:8 186:3 188:9 215:25 252:24</p> <p>updated [3] 99:7 154:21 160:13</p> <p>updates [2] 90:9 346:18</p> <p>updating [1] 254:7</p> <p>ups [1] 201:23</p> <p>upset [6] 77:1 124:7,9,18 125:13 127:6</p> <p>urgency [2] 71:10 102:13</p> <p>urgent [1] 200:20</p> <p>usage [3] 304:4 336:1 377:6</p> <p>used [13] 74:2,21 109:16 122:24 125:4 129:20 230:24 258:22 305:8 323:4,24 370:25 376:11</p> <p>using [11] 14:7 111:16 127:19,21,22 140:24 157:20 164:3 259:18 325:1 378:1</p> <p>usual [1] 53:22</p> <p>usually [5] 100:6 130:23 317:11 350:15,18</p> <p>utilization [4] 270:6 347:20,23 350:17</p> <p>utilize [1] 308:9</p> <p>utilized [9] 83:10 140:2 140:22 149:16 155:12 177:14 310:15 325:4 335:22</p> <p>utilizing [5] 103:24 180:5 182:19 309:11 377:14</p> <hr/> <p style="text-align: center;">-V-</p> <hr/> <p>vacant [1] 19:21</p> <p>vague [1] 350:6</p> <p>validate [1] 138:21</p> <p>valuable [4] 104:2 142:16 219:22 269:14</p> <p>value [1] 270:13</p>	<p>values [1] 212:18</p> <p>variability [1] 334:1</p> <p>variable [2] 194:11 255:10</p> <p>variance [1] 375:13</p> <p>variation [1] 214:22</p> <p>variety [4] 5:6 89:20 98:24 100:11</p> <p>various [18] 29:10 35:15 41:16 55:10 135:19 223:23 225:15 269:11 279:8,8 295:17 306:4,13 319:12 343:12,19 344:15 356:23</p> <p>vary [3] 53:20 296:13 315:10</p> <p>varying [1] 41:18</p> <p>vent [1] 35:19</p> <p>Ventana [5] 65:4,20 309:6 365:25 366:5</p> <p>verbal [1] 351:22</p> <p>verbally [2] 105:7 127:24</p> <p>verification [4] 13:8 221:19 222:8 343:11</p> <p>verify [1] 12:17</p> <p>versa [1] 269:7</p> <p>verses [1] 375:22</p> <p>version [8] 37:1 55:17 101:1 112:7 167:14 219:9 226:14 321:17</p> <p>versus [2] 214:23 358:12</p> <p>vice [4] 6:5 131:17 135:7 269:7</p> <p>vice-president [2] 6:2 8:10</p> <p>view [10] 56:21,25 59:12 172:3 240:16 327:23 351:25 354:10 357:18 370:12</p> <p>views [1] 352:13</p> <p>vis [2] 30:21,21</p> <p>visit [5] 256:1 258:10 295:6 296:3,12</p> <p>visited [2] 190:15 331:10</p> <p>visiting [3] 75:15,18 93:21</p> <p>visits [1] 259:15</p> <p>Vital [2] 155:16 308:9</p> <p>voice [1] 77:2</p> <p>volume [1] 291:19</p> <p>volumes [1] 159:22</p> <p>VP [41] 10:7 11:13,13 26:25 27:1,20 32:22 38:15 41:21 42:3 54:22 59:23 81:6 133:9 134:19 139:14 146:17 149:7 157:23 177:20 180:9 181:3 182:9 191:15 194:2 201:15 209:5 210:7 262:4 276:13 278:7 281:24 284:2 295:24 336:24,25 340:24 342:19 343:3 345:1 362:20</p> <p>VPs [7] 32:23 34:25</p>	<p>36:19 38:17 40:16 41:5 370:22</p> <hr/> <p style="text-align: center;">-W-</p> <hr/> <p>W-A [1] 274:20</p> <p>wait [2] 134:13 241:7</p> <p>waiting [1] 378:13</p> <p>waking [1] 359:18</p> <p>Walker [25] 127:1 154:3 154:3 155:1 156:2 160:8 160:22 161:17,23 163:9 164:19 165:12 169:11,18 170:14 174:16 179:7 183:17 184:4 185:22 189:10 190:8 207:3 210:11 221:12</p> <p>wall [1] 230:4</p> <p>Walter [1] 274:20</p> <p>wanting [5] 13:22 57:15 106:9 164:1 203:6</p> <p>wants [4] 44:15 85:10 262:9 348:16</p> <p>waters [1] 324:2</p> <p>ways [4] 39:1 73:20 218:10,10</p> <p>website [6] 79:21,23 89:21 98:17 112:5 319:15</p> <p>Wednesday [3] 120:2 164:17 246:3</p> <p>weeded [1] 228:23</p> <p>week [20] 72:5,7,12 118:8 118:9,24 119:9 120:24 121:4 126:7,8,17,18 160:20 164:25 165:4 186:23 244:4,6 361:15</p> <p>week's [1] 83:22</p> <p>weekend [3] 111:25 350:1,4</p> <p>weekly [5] 99:7,13,14 99:19 102:11</p> <p>weeks [6] 169:6 190:17 207:1 351:22,24 375:6</p> <p>Wegrynowski's [3] 67:24 141:14 335:9</p> <p>Weisemier [2] 51:25 52:12</p> <p>welcome [2] 123:17 274:1</p> <p>west [13] 45:6 131:11 141:25 276:2 277:5,12 277:14 278:8 294:20 341:16,18 347:12 358:7</p> <p>western [133] 1:16 5:25 6:1,6,19,23 7:13,22 8:12 8:24 9:9,18 12:3 16:8 19:23,25 26:25 42:1,16 43:24 46:18 52:15,20 53:3 54:6,14 55:21 56:21 58:8 59:21 61:6,21,22 66:4 70:25 71:25 72:17 75:5,8 76:2 82:25 84:6 86:8 90:11,16 92:21 98:21 99:6 101:17,20 102:8 103:23 105:24 107:14,20 109:3,5,14 111:13 113:17 117:18</p>
---	---	--	--	--

<p>121:23 123:9 125:1 126:19 128:11 130:2 131:18 133:5,16 134:2 136:12 146:19,23 147:15 147:22 148:17 151:5,11 153:21 155:7 156:6 162:18 163:13 172:8,10 172:12 173:22 176:19,21 176:23 179:2 180:5,13 184:20 188:1,12 194:3 197:15 198:22 199:16 200:2 202:24 204:9,25 205:6 206:20 207:17,18 208:3 210:19 212:12,17 213:2 214:9 219:18 220:7 221:5,17,23 222:8 225:3 225:6,9,17 228:15 245:14 249:9 267:20 268:25 269:22 270:21 271:9</p> <p>Western's [8] 45:10 49:7 59:6 103:23 133:8 181:8 201:16 240:16</p> <p>whatnot [4] 54:5 74:22 93:22 180:18</p> <p>whereby [4] 19:2 218:15 227:2 269:12</p> <p>wherever [3] 116:20 378:14,23</p> <p>wherewithal [1] 340:6</p> <p>White [1] 7:9</p> <p>whole [12] 13:23 16:18 52:7 97:10 98:2 137:16 273:6 323:13 346:13 349:4 350:18 356:22</p> <p>wide [4] 57:24 59:13 80:8 283:15</p> <p>wider [3] 30:20 146:10 281:1</p> <p>Williams [60] 18:14,16 19:14 24:22 25:6 26:8 27:1 33:11 39:9,22 47:17 48:8 55:18 56:10 62:24 63:24 67:14 68:14,25 69:19 85:5,7 87:23 89:3 89:17 94:17,20 95:24 98:19 100:12 104:22 108:8 109:4 111:23 112:8 112:13 114:2 139:13 144:14 149:8 158:9 159:7 162:15 165:24 178:7,11 195:4,23 196:15 319:7 321:18 331:3 346:18 349:25 350:3 352:6 354:25 367:6 376:22 377:25</p> <p>willing [2] 119:18 120:1</p> <p>window [1] 139:2</p> <p>Windsor [1] 277:15</p> <p>wing [2] 5:12,13</p> <p>wise [4] 127:24 166:18 336:3 376:20</p> <p>wish [5] 46:14 61:3 125:22 161:8 185:16</p> <p>wished [1] 34:25</p> <p>within [71] 8:24 13:1 14:16,22 17:12 19:16 21:20 23:21 41:2,19 42:1 42:7 46:9,18 53:22 54:4</p>	<p>54:7,8,14,16 55:3,5 56:21 57:3,3 70:25 72:17 73:4 75:5 76:2 80:9 83:1 91:21 98:8 122:14 130:2 135:15 139:2 144:5,7 151:11 153:12 163:13 180:13 188:8 196:3 223:11,20 239:23 240:11 249:2,9 250:12 267:6 272:3 283:12,13 293:6 296:9 299:10,21 300:16 301:5 314:16 339:24 345:15,17 346:6 351:22 351:23 367:25</p> <p>without [4] 52:16 154:21 161:5 322:18</p> <p>witness [3] 4:2 265:22 274:8</p> <p>woman [1] 218:24</p> <p>women [5] 131:16 132:17 147:7,15,22</p> <p>wonder [2] 115:18 116:4</p> <p>wondering [3] 115:15 206:20 216:3</p> <p>Woolgar [2] 197:1 198:3</p> <p>word [3] 227:25 245:18 370:11</p> <p>worded [1] 369:17</p> <p>words [3] 208:5 316:13 341:25</p> <p>worked [12] 5:24 50:10 50:11 183:6 237:17 275:24 277:10,12 296:24 339:11 340:8 360:8</p> <p>workload [1] 180:15</p> <p>works [3] 194:15 236:18 267:16</p> <p>workshop [1] 35:21</p> <p>world [1] 22:10</p> <p>worth [1] 50:10</p> <p>write [15] 36:16 46:17 60:21 77:22 82:18 98:9 103:7 117:21 171:1 209:22 214:9 215:24 220:25 222:25 317:13</p> <p>writer [1] 52:17</p> <p>writes [23] 44:3 45:22 50:5 76:23 78:25 79:1 81:4 101:18 104:12 105:14 114:20 124:6 167:8 168:20 189:11 195:3 206:19 209:4 219:13 224:24 233:1 236:5 361:9</p> <p>writing [9] 19:14 96:14 97:18 127:12 175:1 209:23 219:2,6 248:1</p> <p>written [20] 108:9 109:3 111:21 128:8,21 129:5 221:16 237:15 256:14 262:6 290:21 291:17 316:5 320:10 322:17 336:4 344:1 351:23 364:21 376:8</p> <p>wrong [8] 56:3 69:13 131:11,21 143:14 160:16 234:24 327:8</p>	<p>wrote [5] 113:21 154:3 162:12 288:2 351:18</p> <hr/> <p style="text-align: center;">-X-</p> <hr/> <p>X [1] 300:7</p> <p>x-ray [2] 192:2 193:3</p> <hr/> <p style="text-align: center;">-Y-</p> <hr/> <p>year [17] 5:17,24 19:22 48:25,25 49:1 69:16,17 261:9 272:19 291:20,22 292:21 300:21 344:2,10 378:2</p> <p>year's [1] 50:10</p> <p>years [19] 5:14 19:19 20:8 50:13 89:19 102:2 102:4 139:2,10 140:23 143:15 192:3 279:4 283:21 291:22 294:19 296:14,22 344:15</p> <p>yesterday [7] 46:20 114:23 146:20 147:6 342:24 359:22,23</p> <p>yet [13] 15:10 44:17 110:2 112:2 154:19 223:1 256:15 259:7,15 264:16 266:25 319:14 348:18</p> <p>Young [1] 36:16</p> <p>yourself [64] 15:1 18:9 22:18 46:9,16 48:11 50:4 55:21 59:22 61:5 70:9 76:22 78:4 81:5,7 84:8 98:6 101:16 103:4 104:10 105:13 114:19 119:13 124:3 130:2,16 157:24 161:2 167:8 168:19 169:20 177:23 185:22 189:10 195:2 197:1 200:19 206:19 209:18 210:11 214:2 215:23 219:10 220:24 222:22 224:5 232:25 236:4 237:22 239:7 245:10 251:8 302:18 312:9 321:25 342:6 349:5,24 357:3 358:2 360:24 361:21 364:4,15</p> <hr/> <p style="text-align: center;">-Z-</p> <hr/> <p>zero [7] 110:25,25 164:11 291:3 322:19 323:9,9</p>		
--	---	--	--	--