

COMMISSION OF INQUIRY  
ON HORMONE RECEPTOR TESTING

BEFORE THE HONOURABLE JUSTICE CAMERON - COMMISSIONER

July 4, 2008

Appearances:

Bernard Coffey, Q.C. . . . . Commission Co-counsel  
Sandra Chaytor, Q.C./Mandy Woodland . . . . Commission Co-counsel

Rolf Pritchard/Jackie Brazil . . . . Her Majesty in Right of NL

Peter Browne/Jane Hennebury . . . . . Doctors Kara Laing et al

Daniel Simmons . . . . . Eastern Regional Integrated  
. . . . . Health Authority

Ches Crosbie, Q.C. . . . . Members of the Breast Cancer  
. . . . . Testing Class Action

Mark Pike . . . . . NL Medical Association  
Jennifer Newbury . . . . . Canadian Cancer Society (NL Division)  
Blair Pritchett. . . . . Central, Western and Labrador-Grenfell  
Regional Integrated Health Authorities

LIST OF EXHIBITS

EXHIBIT P-2137 . . . . . Pg. 5

EXHIBIT P-2148 . . . . . Pg. 287

TABLE OF CONTENTS

DR. DONALD COOK - RESUMES THE STAND

Examination by Bernard Coffey, Q.C. . . . . Pgs. 4 - 356

Certificate

Page 4

1 COMMISSIONER:  
2 Q. Please be seated. Mr. Coffey.  
3 COFFEY, Q.C.:  
4 Q. Thank you, Commissioner. A couple of  
5 administrative items, Commissioner. Please,  
6 one Exhibit P-2135, that's 2135.  
7 COMMISSIONER:  
8 Q. 2135, yes.  
9 COFFEY, Q.C.:  
10 Q. That actually, I gather from the Registrar,  
11 did not go up on the site, although I referred  
12 to it a couple of days ago, it didn't go up on  
13 the web site. It was indicated to be under  
14 review.  
15 COMMISSIONER:  
16 Q. Yes.  
17 COFFEY, Q.C.:  
18 Q. And it's not going to be used, so I'd ask that  
19 it be cancelled.  
20 COMMISSIONER:  
21 Q. So that's 2135?  
22 COFFEY, Q.C.:  
23 Q. Yes.  
24 COMMISSIONER:  
25 Q. Cancelled as an exhibit.

Page 5

1 COFFEY, Q.C.:

2 Q. And, as well, Commissioner, there is another

3 exhibit I would ask to be entered, it's

4 Exhibit P-2137.

5 COMMISSIONER:

6 Q. And that one you had listed as being--yes, all

7 right, that's entered.

8 EXHIBIT P-2137 ENTERED INTO EVIDENCE.

9 COFFEY, Q.C.:

10 Q. Thank you, Commissioner.

11 DR. DONALD COOK, EXAMINATION BY BERNARD COFFEY, Q.C.

12 (CONTINUED)

13 COFFEY, Q.C.:

14 Q. Good morning, Dr. Cook. Registrar, please,

15 Exhibit P-0935? Doctor, yesterday we referred

16 to a template, as it were, for a survey of

17 various centres across Canada at the end of

18 July, 2005?

19 DR. COOK:

20 A. Correct.

21 COFFEY, Q.C.:

22 Q. Okay. Now, this is an e-mail from Janet

23 Laidley who you indicated worked in Q1 at the

24 time, Thursday, July 28th, 2005, forwarding to

25 yourself and Dr. Williams and Ms. Predham, an

Page 6

1 e-mail and attachment, saying, "Attached are

2 the surveys completed as of today, July 28th,

3 from hospitals, labs from across Canada with

4 our survey questions about PR, ER testing."

5 And she notes that there were three that were

6 not available, would not be available until

7 next week. Doctor, did you at the time you

8 received the e-mail with the attachments

9 review these?

10 DR. COOK:

11 A. You mean the survey results?

12 COFFEY, Q.C.:

13 Q. The survey results.

14 DR. COOK:

15 A. Yes.

16 COFFEY, Q.C.:

17 Q. Okay. And without going to each individual

18 one, the overall impression you had or

19 conclusions you reached were what?

20 DR. COOK:

21 A. No standardization, you had different centres

22 basically using different types of equipment.

23 There was some variability in positivity

24 rates, but not very much from what I can

25 glean. But basically, you know, variation in

Page 7

1 equipment from site to site.

2 COFFEY, Q.C.:

3 Q. I take it that that was, in effect,

4 confirmation of what the impression you had

5 already reached?

6 DR. COOK:

7 A. Yes.

8 COFFEY, Q.C.:

9 Q. Exhibit P-0535, please? Now, Doctor, this is

10 a four-page letter, it's dated July 29th, 2005

11 from Dr. Joy McCarthy. It's drafted for both

12 Dr. Carter and your own signature. And this

13 appears to be the third in a series of

14 reporting letters to Dr. McCarthy about repeat

15 estrogen receptor and progesterone receptor

16 results on retesting with the Ventana?

17 DR. COOK:

18 A. Correct.

19 COFFEY, Q.C.:

20 Q. And, Doctor, when we look down through this,

21 the first page seven results are all 2002 and

22 then the next page ten results or ten

23 different, yes, retest results are all 2002.

24 The third page, the first two are 2002 and

25 then after that there's retest results for an

Page 8

1 '05 patient, 2000, seven, 2003 patients. And

2 on the fourth page there are four 2003

3 patients at the top of the page and then five

4 2004 patients. See those?

5 DR. COOK:

6 A. Yes.

7 COFFEY, Q.C.:

8 Q. Doctor, what then had happened in the last two

9 weeks of July in terms of retesting?

10 Obviously some more 2002s were done?

11 DR. COOK:

12 A. Yes, that was the primary year we were centred

13 on.

14 COFFEY, Q.C.:

15 Q. Sure. But I'm sure we would have had a

16 discussion on what was happening over other

17 years and whether we could rule out conversion

18 in other years and come to the conclusion that

19 we couldn't be absolutely certain of ruling

20 out conversions over the years. I guess at

21 some point in time, I don't know exactly when,

22 the oncologist would have brought to us a

23 paper supporting the benefit of Tamoxifen

24 therapy over a ten-year period, so that would

25 have, you know, leaned us to go towards

Page 9

1 retesting from the time we started  
 2 immunoperoxidase stains right up to the  
 3 present day, around 2005.  
 4 DR. COOK:  
 5 A. And here, Doctor, on the third page of the  
 6 exhibit, when we look at the--well, there's  
 7 one there for 2005, it's the third--I  
 8 apologize, that's not right, it's the fourth  
 9 page--third page. The third entry on that  
 10 page is for a 2005 patient. Here on retest on  
 11 the Ventana the results were negative and  
 12 negative, which is confirming, I take it,  
 13 probably the original result?  
 14 DR. COOK:  
 15 A. Correct.  
 16 COFFEY, Q.C.:  
 17 Q. And then there's one from 2000, which if it  
 18 was originally negative is certainly a  
 19 conversion, there's a 90 and an 80 in terms of  
 20 ER and PR results. Then in '03, when one  
 21 looks down through it, there are some--  
 22 assuming that the original tests, these were  
 23 only being retested if they were originally  
 24 called negative, some of the '03s have here  
 25 then converted, but a number are confirmations

Page 10

1 of original negatives. You see that here?  
 2 DR. COOK:  
 3 A. Yes.  
 4 COFFEY, Q.C.:  
 5 Q. Okay, so we go into the next page, as well,  
 6 the fourth page of the exhibit, one at the top  
 7 of the page, they're assuming that it wouldn't  
 8 have been retested unless it was originally a  
 9 negative for ER, here we have strong nuclear  
 10 positivity in 100 percent of cells in this '03  
 11 case, but then the next three are  
 12 confirmations of negative results?  
 13 DR. COOK:  
 14 A. Correct.  
 15 COFFEY, Q.C.:  
 16 Q. And I take it the same thing then when you  
 17 look through 2004 cases, toward the bottom of  
 18 the fourth page of the exhibit, some of them  
 19 are confirmed negatives and if the original  
 20 tests were, the results in '04 were negative,  
 21 these would be conversions, these two here?  
 22 DR. COOK:  
 23 A. Um-hm.  
 24 COFFEY, Q.C.:  
 25 Q. So I take it then that for 2003 and 2004, as

Page 11

1 of the end of July on the Ventana retest some  
 2 of the results were confirming the original  
 3 results and some were--there were, though,  
 4 some conversions?  
 5 DR. COOK:  
 6 A. Yes.  
 7 COFFEY, Q.C.:  
 8 Q. Okay. The Exhibit P-0536, please?  
 9 COMMISSIONER:  
 10 Q. Mr. Coffey, before you move on.  
 11 COFFEY, Q.C.:  
 12 Q. Yes.  
 13 COMMISSIONER:  
 14 Q. There's a point that Dr. Cook mentioned that I  
 15 wanted to explore. You said something about  
 16 the oncologist having brought you a paper  
 17 regarding the benefits of Tamoxifen?  
 18 DR. COOK:  
 19 A. That's correct, Commissioner. I think that  
 20 was sometime earlier in the process when we  
 21 were making a decision to how far we go back  
 22 and do the retesting. We would have told the  
 23 oncologists that we started testing sometime  
 24 in '97, so the issue is, is there a value  
 25 going back that far and retesting the

Page 12

1 patients. And we got the information from  
 2 them that they produced a paper, and I can't  
 3 tell you exactly what that paper was, that  
 4 there was evidence of benefit of Tamoxifen up  
 5 to, I believe, ten years.  
 6 COMMISSIONER:  
 7 Q. Ten years from the point of the original -  
 8 DR. COOK:  
 9 A. Diagnosis.  
 10 COMMISSIONER:  
 11 Q. - diagnosis, okay. Thank you.  
 12 COFFEY, Q.C.:  
 13 Q. I anticipate in due course, Commissioner, that  
 14 you'll see that paper and -  
 15 COMMISSIONER:  
 16 Q. All right, thank you.  
 17 COFFEY, Q.C.:  
 18 Q. - the references to it. Exhibit, yes, P-0536,  
 19 Doctor. This is a letter from Dr. Williams to  
 20 yourself, July 29th, 2005. He writes to you,  
 21 "The following suggestions are made for Dr.  
 22 Carter's and your best advice on how to  
 23 proceed from here." And then there's some  
 24 suggestions from Dr. Williams. New testing  
 25 results, send out ER/Pr for staining at an

Page 13

1 outside lab for the next few months. Process  
 2 the same slides here, have both slides read by  
 3 the same pathologist. Check comparability  
 4 between stains and when we are satisfied,  
 5 revert to processing here." Paragraph 2,  
 6 "Retesting of the negative results reviewed by  
 7 pathology type and in consultation with  
 8 oncologist to see which cases should be re-  
 9 stained and reviewed. These cases should  
 10 follow the same procedures as outlined from  
 11 number one above." Number three, "Ask Ventana  
 12 to send out one of their technical experts  
 13 very soon to look at our staining technique."  
 14 Doctor, were these actual suggestions from Dr.  
 15 Williams to yourself and Dr. Carter or was  
 16 this advice yourself and Dr. Carter had given  
 17 Dr. Williams and he was just putting it in  
 18 written format?  
 19 DR. COOK:  
 20 A. No, there would have been various discussions  
 21 between myself and Dr. Williams over, you  
 22 know, how to proceed in the next few months  
 23 with the ER and PR issue, so some of the stuff  
 24 he's got there on paper, myself and Dr.  
 25 Williams would have discussed a few days

Page 14

1 before that. So I think he put some extra  
 2 items on the paper just for discussion  
 3 purposes only.  
 4 COFFEY, Q.C.:  
 5 Q. Okay. And look, please, at Exhibit P-0937?  
 6 This is the same letter, although it's got  
 7 some handwriting on it. Do you recognize the  
 8 handwriting?  
 9 DR. COOK:  
 10 A. That's Dr. Carter's.  
 11 COFFEY, Q.C.:  
 12 Q. Carter's, okay. And when you received this  
 13 letter from Dr. Williams, did you discuss the  
 14 matter with Dr. Carter?  
 15 DR. COOK:  
 16 A. I believe we would have had discussion, yes.  
 17 COFFEY, Q.C.:  
 18 Q. And then what resulted from the letter itself?  
 19 DR. COOK:  
 20 A. A plan of action, that we would send the cases  
 21 out for an outside review and -  
 22 COFFEY, Q.C.:  
 23 Q. So that would be the retrospective, I take it?  
 24 DR. COOK:  
 25 A. That's the retrospective study. And I'm not

Page 15

1 sure by that time--the date of that letter  
 2 again?  
 3 COFFEY, Q.C.:  
 4 Q. It's July 29th, I apologize, Doctor, it's  
 5 right there.  
 6 DR. COOK:  
 7 A. We would have been looking around for a  
 8 hospital to take that. And as you recollect  
 9 from my testimony yesterday, I was speaking to  
 10 the Mayo Clinic and Sloan Kettering and would  
 11 have been considering Mount Sinai, so that's  
 12 in regard to her reference there regarding  
 13 Mount Sinai. So items one and two that were  
 14 ticked, again, that suggested that the course  
 15 of action we were going down, down the road.  
 16 COFFEY, Q.C.:  
 17 Q. So the idea was was that you'd have the '97 to  
 18 2005 results retested elsewhere?  
 19 DR. COOK:  
 20 A. I believe so.  
 21 COFFEY, Q.C.:  
 22 Q. Or at least contemplating it at this point in  
 23 time?  
 24 DR. COOK:  
 25 A. Certainly contemplating it.

Page 16

1 COFFEY, Q.C.:  
 2 Q. If you could find someone to do it, as it  
 3 were?  
 4 DR. COOK:  
 5 A. Yes.  
 6 COFFEY, Q.C.:  
 7 Q. If you were comfortable with doing it, you  
 8 would have that done?  
 9 DR. COOK:  
 10 A. Yes.  
 11 COFFEY, Q.C.:  
 12 Q. And on a go-forward basis would have the  
 13 slides, at least in the immediate future--I'm  
 14 sorry, the blocks sent out for testing,  
 15 initial testing elsewhere, but you would also  
 16 perform the same test in house?  
 17 DR. COOK:  
 18 A. Yeah, we were thinking at the same time of  
 19 performing that in house.  
 20 COMMISSIONER:  
 21 Q. Sorry, just doing a double or sending out -  
 22 DR. COOK:  
 23 A. Yeah.  
 24 COMMISSIONER:  
 25 Q. - or retaining the new cases in house at that

Page 17

1 time?  
 2 DR. COOK:  
 3 A. Well, what we were thinking of is, say, we  
 4 would send out a particular block for  
 5 retesting. Prior to sending out that  
 6 particular block for retesting, we would re-  
 7 stain it--stain it with our own ER/PR here,  
 8 you'd have your original slides. And those  
 9 original slides would then be forwarded to the  
 10 original pathologist for interpretation, not  
 11 for sign out in the system, for  
 12 interpretation, and the idea being that they  
 13 would forward the results back to Dr. Carter.  
 14 Now, this is coming up later on, but this is  
 15 getting into the idea of this particular item.  
 16 Then we would take that block and then forward  
 17 that block to Mount Sinai for retesting and  
 18 compare the results of Mount Sinai's  
 19 interpretation with our interpretation. The  
 20 reason for that being, at that particular time  
 21 I was thinking that when we were starting up,  
 22 we would still be going back for a general  
 23 list sign out, so I wanted to see the  
 24 correlations between our pathologists'  
 25 interpretations and the Mount Sinai

Page 18

1 interpretations. So that was the thinking at  
 2 that particular time.  
 3 COMMISSIONER:  
 4 Q. Now, this was on the retest or on the go-  
 5 forward people?  
 6 DR. COOK:  
 7 A. This was on mainly the go-forward people.  
 8 These are the current cases or prospective,  
 9 the new cases.  
 10 COMMISSIONER:  
 11 Q. Okay, so you would do your blocks, you would  
 12 have them forwarded to Mount Sinai for  
 13 preparation of slides and reading and at the  
 14 same time you would be forwarding those slides  
 15 from the same blocks to people in house?  
 16 DR. COOK:  
 17 A. In house. So the same block, you would have  
 18 our in house staining, the same block then  
 19 after that was done was then forwarded to  
 20 Mount Sinai for their staining and  
 21 interpretation. So the idea is wanted to  
 22 create a correlation between our original--our  
 23 own pathologists and the Mount Sinai results  
 24 with a view to start up with a general list  
 25 sign out.

Page 19

1 COMMISSIONER:  
 2 Q. Okay.  
 3 COFFEY, Q.C.:  
 4 Q. And on that point, I take it, Doctor, that was  
 5 at least the thought as of the end of--or a  
 6 thought, particular possibility as of the end  
 7 of July, 2005?  
 8 DR. COOK:  
 9 A. Yes.  
 10 COFFEY, Q.C.:  
 11 Q. I take it that that subsequently did not  
 12 happen?  
 13 DR. COOK:  
 14 A. Yes, that's right, and -  
 15 COFFEY, Q.C.:  
 16 Q. And do you recall why that was, why -  
 17 DR. COOK:  
 18 A. Well, there was a time period that went by, I  
 19 think the only results that Dr. Carter got  
 20 were from myself. But there was a time period  
 21 that went by, I think, up to early, mid  
 22 October. And you got to remember I was doing  
 23 a lot of other stuff -  
 24 COFFEY, Q.C.:  
 25 Q. Yes.

Page 20

1 DR. COOK:  
 2 A. - at the same time, that Dr. Carter came to me  
 3 and said "where are the slides for the  
 4 retest?" and to tell you the truth -  
 5 COFFEY, Q.C.:  
 6 Q. For the retest in the sense of the current  
 7 slides?  
 8 DR. COOK:  
 9 A. Current slides done in house.  
 10 COFFEY, Q.C.:  
 11 Q. Sure.  
 12 DR. COOK:  
 13 A. So I said "I really don't know. I can check  
 14 on it for you," because around August 8th, I  
 15 had sent out a memo to our technologists and I  
 16 went over there to speak to them individually  
 17 on what I wanted done.  
 18 COFFEY, Q.C.:  
 19 Q. Yes.  
 20 DR. COOK:  
 21 A. So I think it was sometime in October, I went  
 22 over there to find out what was happening with  
 23 the slides, and none had been sent out, as far  
 24 as I know. I remember speaking to--I think it  
 25 was -

Page 21

1 COFFEY, Q.C.:

2 Q. Sent out to individual pathologists?

3 DR. COOK:

4 A. Individual pathologists.

5 COFFEY, Q.C.:

6 Q. Who requisitioned the ER/PR test in the first

7 place?

8 DR. COOK:

9 A. Yes.

10 COFFEY, Q.C.:

11 Q. Okay.

12 DR. COOK:

13 A. And then they would then forward that to Dr.

14 Bev Carter. I found out at that time that the

15 slides were not being stained.

16 COFFEY, Q.C.:

17 Q. Were not being stained?

18 DR. COOK:

19 A. That's right.

20 COFFEY, Q.C.:

21 Q. Who told you that, do you recall?

22 DR. COOK:

23 A. I think it was either Mr. Les Simms or Mr. Ken

24 Green. That was the response that I got from

25 them, and the -

Page 22

1 COFFEY, Q.C.:

2 Q. Were the slides being done, do you know?

3 DR. COOK:

4 A. The slides were being done. There was a set

5 of slides, they told me that were in the

6 fridge and they were not processing those

7 slides, staining those slides.

8 COFFEY, Q.C.:

9 Q. So they had created, from the blocks, before

10 the blocks went off to Mount Sinai for the

11 current cases -

12 DR. COOK:

13 A. That's correct.

14 COFFEY, Q.C.:

15 Q. - your understanding from the technologists in

16 October was they had created slides, cut the

17 tissue?

18 DR. COOK:

19 A. Yes.

20 COFFEY, Q.C.:

21 Q. Created a slide on which staining could be

22 done?

23 DR. COOK:

24 A. Yes.

25 COFFEY, Q.C.:

Page 23

1 Q. And then had stored the slide in the

2 refrigerator?

3 DR. COOK:

4 A. Right, without staining or forwarding to the

5 reporting pathologist or the pathologist on

6 site.

7 COFFEY, Q.C.:

8 Q. Did you ask him why that was?

9 DR. COOK:

10 A. Well, he said they were under a lot of work

11 and that they were given instruction from Mr.

12 Dyer not to proceed.

13 COFFEY, Q.C.:

14 Q. And did--okay, so in October when you had that

15 discussion, what then happened?

16 DR. COOK:

17 A. Well, I was a little bit upset. I wasn't

18 overly upset. I had wished that Mr. Dyer had

19 called me about that, to let me know about

20 that, but the reason--and I didn't really

21 pursue it, and the reason I really didn't

22 pursue it was that at that time, I had in my

23 mind, if we were going back to sign out, we

24 would go back for subspecialty sign out and

25 limit it to a few pathologists. So it was an

Page 24

1 issue, but it wasn't a major issue to be

2 concerned about.

3 COFFEY, Q.C.:

4 Q. Doctor, did you make any inquiries afterward

5 about whether or not there was any staining of

6 those slides?

7 DR. COOK:

8 A. No, I did not.

9 COFFEY, Q.C.:

10 Q. So that if there are such slides at a short

11 period of time and they are stained, you

12 weren't aware of that?

13 DR. COOK:

14 A. I wasn't aware of that.

15 COFFEY, Q.C.:

16 Q. If we could, please, Exhibit P-0938? Doctor,

17 this is a letter of July 29th, 2005. It's

18 addressed to Dr. Ejeckam. It's from Dr.

19 Williams, but it's copied to yourself. I take

20 it--oh, I'm sorry. Here it is. And Ms.

21 Predham, and it's Dr. Ejeckam in his capacity

22 as chairperson of the Surgical Pathology

23 Review Committee. In the third paragraph, it

24 refers to--he says, "we had a chance to have a

25 detailed discussion of the issue of having

Page 25

1 adequate medical information on surgical  
 2 tissue specimens sent to pathology for review.  
 3 This was an issue that was raised by the  
 4 Surgical Pathology Review Committee in  
 5 September 2030. As Dr. Cook was not available  
 6 for the clinical chiefs meeting of October  
 7 2003, he addressed it as part of his report to  
 8 the November meeting of clinical chiefs and  
 9 this was then referred to the Medical Advisory  
 10 Committee. After discussions in both those  
 11 forms, it was decided the clinical chiefs  
 12 would support the thrust of your  
 13 recommendation and try to impress upon all  
 14 staff in their programs the need to have  
 15 adequate medical information transmitted with  
 16 surgical specimens. I know although there  
 17 were some improvements in the quality of  
 18 information received, especially from the area  
 19 of obstetrics and gynecology, further  
 20 discussion and follow up took place with the  
 21 co-clinical chief of the peri-operative  
 22 program, Dr. Alan Kwan. He subsequently  
 23 addressed this in a memo to all surgeons  
 24 within this organization in June 2004."  
 25 And then, Dr. Williams goes on to talk

Page 26

1 about the fact that "after further medical  
 2 leadership follow up, it was decided to modify  
 3 the requisition form for surgical pathology  
 4 specimens and outline in bold, red letters  
 5 that adequate medical information would need  
 6 to be provided before the specimens were  
 7 processed. I understand this new form has  
 8 been prepared and gone forward to the forms  
 9 committee for approval," and he then continues  
 10 and concludes with that topic by saying "it is  
 11 my understanding that Dr. Cook consulted with  
 12 all pathologists during the development of  
 13 this new form and the approach that is  
 14 proposed to improve clinical information."  
 15 And I take it that the proposal here was to  
 16 put in bold letters, bold print, on the form -  
 17 DR. COOK:  
 18 A. That's correct.  
 19 COFFEY, Q.C.:  
 20 Q. - that if it's not filled out properly, the  
 21 specimen is going to be sent back to the  
 22 submitter?  
 23 DR. COOK:  
 24 A. Submitter to the point of origin.  
 25 COFFEY, Q.C.:

Page 27

1 Q. Point of origin. Now Doctor, I just--the  
 2 Commissioner has seen references or heard  
 3 references to this before, but to put this in  
 4 context here, if we could bring up Exhibit P-  
 5 0910, please? This is a report of the  
 6 Laboratory Medical Program to clinical chiefs  
 7 and Medical Advisory Committee for November  
 8 and December 2003, and in paragraph 5.0 under  
 9 quality initiatives, there's a text reading  
 10 "the Surgical Pathology Review Committee has  
 11 recently completed a review of requisition  
 12 forms submitted to the division of pathology.  
 13 The Committee has found that approximately 80  
 14 percent of request forms were deficient,  
 15 particularly in regards to clinical history,  
 16 which can be very important in the  
 17 histological evaluation of tissue. A number  
 18 of options have been recommended by the  
 19 Surgical Pathology Review Committee, see  
 20 attached, for discussion at senior levels."  
 21 And we've seen other material, Doctor,  
 22 that suggests that this goes back certainly to  
 23 the time of the formation of the Surgical  
 24 Pathology Review Committee in April 2003 and  
 25 even before that, the issue about the forms.

Page 28

1 DR. COOK:  
 2 A. Um-hm.  
 3 COFFEY, Q.C.:  
 4 Q. Doctor, can you tell or explain to the  
 5 Commissioner why, from your perspective, as  
 6 the clinical chief of the Laboratory Medicine  
 7 Program, when it had been determined by  
 8 December of 2003 that up to 80 percent or  
 9 approximately 80 percent of the forms going to  
 10 pathology were deficient in one or more ways,  
 11 according to this, and this was now, when we  
 12 look back, please, at Exhibit P-0938, which is  
 13 the end of July 2005, it has only then reached  
 14 the stage of actually having a form printed to  
 15 try and have the problem fixed or addressed in  
 16 the sense of ensuring that the forms are  
 17 filled out properly.  
 18 DR. COOK:  
 19 A. Right.  
 20 COFFEY, Q.C.:  
 21 Q. I mean, within the milieu in which you work  
 22 and worked at the time, why would it take that  
 23 long, bearing in mind the potential negative  
 24 consequences of not filling out the forms  
 25 properly, to get people to fill out a form?

Page 29

1 DR. COOK:  
 2 A. That's the nature of the system. That's the  
 3 nature of the physicians. In regards to  
 4 filling out requisitions, it's been a long  
 5 chronic problem in health care for quite a  
 6 number of years, not just recently, but even  
 7 when I started as a resident. Trying to get  
 8 physicians to fill out forms and provide  
 9 adequate history for the lab, not only the  
 10 lab, we had the same problem in diagnostic  
 11 imaging as well. To get them to do that is a  
 12 significant challenge. I don't know if they  
 13 recognize the importance of having good  
 14 history and good correlation with histology so  
 15 that we can make a good interpretation. The  
 16 same goes for a radiologist. But it was an  
 17 issue that had been long standing for quite  
 18 some time and it's an issue that I thought,  
 19 and Dr. Ejeckam thought, needed to be  
 20 addressed. But it is a chronic issue in our  
 21 health care system in getting proper  
 22 information put on requisition forms.  
 23 COFFEY, Q.C.:  
 24 Q. And from the perspective of the recipient of  
 25 such a requisition form, you know, in your

Page 30

1 career, how at times problematic can that be?  
 2 DR. COOK:  
 3 A. It can be problematic, at times. Most of the  
 4 times it isn't because you're just dealing say  
 5 with a simple biopsy that you know it's either  
 6 benign or malignant, but it could be a case,  
 7 say, where you may have an undifferentiated  
 8 tumour of the lung given to you and you go  
 9 through quite a number of differential  
 10 diagnosis, quite a bit of work up in terms of  
 11 special stains, immunostains and histochemical  
 12 stains, only to find out that five or six  
 13 years ago, this undifferentiated tumour, the  
 14 patient had a melanoma that has now  
 15 metastasized to the lung. If you had that  
 16 information quickly, you would be able to zero  
 17 in on that particular diagnosis and save time  
 18 and utilization of scarce laboratory  
 19 resources.  
 20 COFFEY, Q.C.:  
 21 Q. So Doctor, and if I'm--you know, if I'm  
 22 mischaracterizing it, please tell me so, this--  
 23 the experience you've had with respect to the  
 24 difficulty in having physicians fill out  
 25 requisition forms adequately, is that a

Page 31

1 cultural thing, in the sense of related to  
 2 medicine and physicians?  
 3 DR. COOK:  
 4 A. Related to physicians only?  
 5 COFFEY, Q.C.:  
 6 Q. Well, I'm not saying necessarily physicians  
 7 only. These requisitions generally are filled  
 8 out by physicians.  
 9 DR. COOK:  
 10 A. They are generally filled out by physicians,  
 11 interns and residents. So it's--I don't know  
 12 if I'd say cultural thing, but certainly a  
 13 long standing problem that we've had over the  
 14 years.  
 15 COFFEY, Q.C.:  
 16 Q. And it has--I take it, it continued despite  
 17 efforts to remedy it?  
 18 DR. COOK:  
 19 A. Yes. There for a while, we were getting good  
 20 return, particularly in some areas such as  
 21 dermatology and obstetrics and gynecology, but  
 22 even today, there still remains some problems  
 23 with getting physicians to fill out these  
 24 requisition forms and put in adequate history.  
 25 THE COMMISSIONER:

Page 32

1 Q. Sorry to interrupt again, Mr. Coffey, but I  
 2 just wanted to raise something with Dr. Cook.  
 3 Dr. Cook, do you have any reason to believe  
 4 that this lack of cooperation is a lack of  
 5 understanding of what it is you do as  
 6 pathologists or is it just people are busy and  
 7 they're not taking the time?  
 8 DR. COOK:  
 9 A. Commissioner, I think it's a mixture of both.  
 10 I mean, our physicians are very busy. They're  
 11 going from one place to another, one operation  
 12 to another, with rounds and committees and  
 13 whatnot, and the service work. So I think  
 14 there's certainly a lack of understanding  
 15 amongst some of them that we can just look  
 16 down the scope and give an interpretation  
 17 without knowing the history. So trying to get  
 18 that point across, and we try to do so at the  
 19 various rounds that we have, the importance of  
 20 providing good history that enables us to make  
 21 the interpretation, because many times, we not  
 22 only just look at the slide, we also go into  
 23 the computer system, look at the blood work  
 24 for various things, correlate our diagnoses  
 25 with radiology findings and whatnot. So there



Page 33

1 is a lot of correlation that goes on between  
 2 the different disciplines. So you just cannot  
 3 look many times at a biopsy in isolation. You  
 4 have to compare it to the clinical picture,  
 5 the age of the patient, or distribution of  
 6 various lesions that the patient may have and  
 7 radiology. Those are your big areas, and  
 8 communication with your physicians.  
 9 THE COMMISSIONER:  
 10 Q. Thank you.  
 11 COFFEY, Q.C.:  
 12 Q. Exhibit P-0538, please? Doctor, is this your-  
 13 -are these your notes?  
 14 DR. COOK:  
 15 A. They look like mine, yeah.  
 16 COFFEY, Q.C.:  
 17 Q. Okay, yes. Yesterday, you did refer, Doctor,  
 18 to having short notes on a meeting of August  
 19 1st with pathologists.  
 20 DR. COOK:  
 21 A. Yes.  
 22 COFFEY, Q.C.:  
 23 Q. And I take it these would be them here,  
 24 meeting with pathologists, August 1, 2005, and  
 25 there are five of them.

Page 34

1 DR. COOK:  
 2 A. Yes.  
 3 COFFEY, Q.C.:  
 4 Q. Including yourself. I take it these notes  
 5 here are kind of reminders to yourself, "send  
 6 out memo regarding point person and site chief  
 7 for immunoperoxidase."  
 8 DR. COOK:  
 9 A. That's correct.  
 10 COFFEY, Q.C.:  
 11 Q. And memo for holding of ER/PR?  
 12 DR. COOK:  
 13 A. Yes.  
 14 COFFEY, Q.C.:  
 15 Q. And then the reference to the meeting with the  
 16 pathologists. Dr. Ken Pritzker's name and  
 17 phone number are here.  
 18 DR. COOK:  
 19 A. Right.  
 20 COFFEY, Q.C.:  
 21 Q. I take it this is around the time that you  
 22 would have been contacting Mount Sinai to see  
 23 if they could take on at least some work?  
 24 DR. COOK:  
 25 A. Correct.

Page 35

1 COFFEY, Q.C.:  
 2 Q. That would be correct, okay, and you got here  
 3 a list of things to do, "test and reconfirm  
 4 ten cases already ID'ed"?  
 5 DR. COOK:  
 6 A. Yes.  
 7 COFFEY, Q.C.:  
 8 Q. "Retest negative patient, ID to lab program  
 9 urgent cases. Compare test result with Mount  
 10 Sinai, get chief for Mount Sinai," chief tech  
 11 that's probably, is it, "from Mount Sinai to  
 12 look at techs. Get Allan Gown. Get our  
 13 system validated very, very"--I'm sorry,  
 14 "validated very quickly."  
 15 DR. COOK:  
 16 A. Right.  
 17 COFFEY, Q.C.:  
 18 Q. Doctor, this to-do list at the bottom of the  
 19 page here, you created that at that point as a  
 20 result of what? Is this after this larger  
 21 August 1st meeting?  
 22 DR. COOK:  
 23 A. Oh, no, I don't think so. The August 1st  
 24 meeting would be designed to give those  
 25 pathologists an update of what was going on.

Page 36

1 COFFEY, Q.C.:  
 2 Q. Not the pathologists meeting. I'm talking  
 3 about the large meeting with Mr. Tilley and  
 4 all that.  
 5 DR. COOK:  
 6 A. Oh, I get you now, yes. It's possible, Mr.  
 7 Coffey.  
 8 COFFEY, Q.C.:  
 9 Q. And the "ID to lab program urgent cases," I  
 10 take it this would be to have the oncologists  
 11 indicate if there were urgent cases, from  
 12 their perspective, to bring it to your  
 13 attention?  
 14 DR. COOK:  
 15 A. Yes, and I think that refers to the current or  
 16 the prospective cases where we had newly  
 17 diagnosed breast cancer and putting in a  
 18 mechanism whereby we can get a result very  
 19 quickly.  
 20 COFFEY, Q.C.:  
 21 Q. The reference to "get the chief tech from  
 22 Mount Sinai to look at techs," I take it that  
 23 ends up being Trish Wegrynowski?  
 24 DR. COOK:  
 25 A. Yes.

Page 37

1 COFFEY, Q.C.:

2 Q. Allan Gown, what's that about?

3 DR. COOK:

4 A. I was asked by HIROC if I could identify a

5 physician with a specialty in immunoperoxidase

6 training and evaluation so that they would

7 look at retaining such an individual for their

8 own purposes.

9 COFFEY, Q.C.:

10 Q. And you came up with Mr. Gown's--or Dr. Gown's

11 name?

12 DR. COOK:

13 A. That's correct.

14 COFFEY, Q.C.:

15 Q. Okay, and you say "get our system validated

16 very quickly", what was that about?

17 DR. COOK:

18 A. Oh that was talking about restarting the

19 Ventana system as quickly as possible.

20 COFFEY, Q.C.:

21 Q. Now, if we could, Exhibit P-0079 please?

22 Doctor, this is a letter of August 2, 2005.

23 It's to yourself, it's from Dr. Carter, he's

24 copied it to Dr. Williams and this is the

25 letter where she begins, "Regretfully I inform

Page 38

1 you that I wish to withdraw from my

2 organizational role in the investigation of

3 the problems with ER/PR testing at the Health

4 Care Corporation of St. John's from '97 to

5 2004 and the planning of solutions to the

6 current issues discovered with the Ventana

7 Automated System." And then she goes on to

8 speak of the meeting with George Tilley on

9 August 1st. And she, in the third paragraph,

10 says, "It also became clear to me during that

11 meeting that the current administrative

12 structure within Eastern Health and within the

13 laboratory allows decisions regarding the

14 development of a reliable and reproducible

15 system for assessing hormone receptor status

16 to remain in the hands of para-professional

17 staff within the laboratory." And she

18 concludes by saying, "I regret not being able

19 to participate fully in this process, but I am

20 very uncomfortable placing my professional

21 licensure in the forefront of this operation,

22 risking my reputation, locally, nationally and

23 internationally, as an expert in breast

24 pathology." And she has, and I did--at the

25 bottom of the first page she did say, "I am

Page 39

1 happy to provide my professional opinion, as a

2 fellowship trained breast pathologist and

3 Chair of the Quality Control Committee for

4 Surgical Pathology at Eastern Health, whenever

5 it is sought." And she emphasizes "it will be

6 an advisory role only". And she's not going

7 to accept or she doesn't want it "misconstrued

8 as accepting any responsibility for

9 procedures, protocols or ER/PR results

10 generated in our laboratory." Now, Doctor,

11 did you know this letter was coming?

12 DR. COOK:

13 A. No, I didn't.

14 COFFEY, Q.C.:

15 Q. And did you receive it on August 2nd or 3rd,

16 around that time?

17 DR. COOK:

18 A. Around that time in my office.

19 COFFEY, Q.C.:

20 Q. And you got it and read it, did you speak to

21 Dr. Carter about it?

22 DR. COOK:

23 A. I read it, I may have spoken to her probably a

24 day after, a day or two after I got the

25 letter.

Page 40

1 COFFEY, Q.C.:

2 Q. And coming out of the meeting of August 1st,

3 2005, before--between the time you left the

4 meeting and the time you got this letter, did

5 you speak to Dr. Carter about what had

6 happened at the meeting?

7 DR. COOK:

8 A. Not until a day or so later.

9 COFFEY, Q.C.:

10 Q. Okay, after you got the letter.

11 DR. COOK:

12 A. Yes.

13 COFFEY, Q.C.:

14 Q. Okay, and what do you recall about your

15 discussion with her?

16 DR. COOK:

17 A. Well she was very upset, as she stated there,

18 over the management structure, the fact that

19 we have two arms within the Laboratory

20 Medicine Program, the technical arm and the

21 medical arm. The medical arm reporting to me

22 and the technical arm reporting to Mr. Terry

23 Gulliver, Program Director. And she was

24 concerned over the fact that the medical

25 physicians didn't have that degree of control

Page 41

1 and authority over the technical arm as what  
 2 she had seen in other hospitals and she was  
 3 also worried about the, I suppose, the degree  
 4 of co-operation taking place between the  
 5 medical and technical aspects of the  
 6 Laboratory Medicine Program. So she was quite  
 7 concerned about the fact that the technical  
 8 aspect was fully under control of the Program  
 9 Director and Divisional Manager with, what she  
 10 thought, without significant advice and  
 11 guidance from the medical authority.  
 12 COFFEY, Q.C.:  
 13 Q. Okay, so yourself and her discussed the  
 14 matter. What, if anything, did you say to  
 15 her?  
 16 DR. COOK:  
 17 A. Well, I was distressed that she had removed  
 18 herself from the review process. I was  
 19 relying on her to conduct the review and  
 20 provide me with updates on what she found with  
 21 the review, but more so than that, I was  
 22 looking for an individual to see this whole  
 23 review process through. So, I didn't want to  
 24 pressure her, I mean, she was very upset at  
 25 that particular period of time and I felt that

Page 42

1 if she stayed on within Eastern Health that  
 2 she would help us with the, as a resource  
 3 person for breast pathology, continue on as a  
 4 role as a contributor to breast pathology, as  
 5 opposed to being involved in this process.  
 6 COFFEY, Q.C.:  
 7 Q. Now did you try to change her mind?  
 8 DR. COOK:  
 9 A. I tried to, but Dr. Carter has a--once she has  
 10 a very strong opinion about something, it's  
 11 quite difficult to change that opinion.  
 12 COFFEY, Q.C.:  
 13 Q. From your own perspective as the clinical  
 14 chief and by that point, you mean clinical  
 15 chief since 2002 and a year before that even,  
 16 '99 to 2000.  
 17 DR. COOK:  
 18 A. Yes.  
 19 COFFEY, Q.C.:  
 20 Q. What were your own views at that time as to  
 21 the structure of the Laboratory Medicine  
 22 Program?  
 23 DR. COOK:  
 24 A. It was a different -  
 25 COFFEY, Q.C.:

Page 43

1 Q. Bearing in mind her complaints about the  
 2 structure.  
 3 DR. COOK:  
 4 A. Yeah, it was a structure that was, at times,  
 5 difficult to work with. If I can, if I go  
 6 back prior to '95, '96, when you had hospitals  
 7 as being their own separate institutions, you  
 8 look at the lab at that particular time in  
 9 which we had one director of Laboratory  
 10 Medicine, in which we had both the laboratory,  
 11 the technical aspect and medical aspect  
 12 reporting to the Director of Labs, who was a  
 13 laboratory physician. That process seemed to  
 14 be much more streamlined, it was well  
 15 developed. Everybody within the organization  
 16 and in particular, the lab, knew exactly who  
 17 to report to and who the final authority  
 18 stopped with. So it seemed to be a much more  
 19 effective structure than what we were dealing  
 20 with in program base management with basically  
 21 two streams of thought in the Laboratory  
 22 Medicine Program. I would say that eventually  
 23 over a period of time the two arms became more  
 24 widely separated, in terms of where the  
 25 program was to go. There was more segregation

Page 44

1 of the two arms, I would say.  
 2 COFFEY, Q.C.:  
 3 Q. And as that segregation grew, developed and  
 4 grew, did you ever complain to anybody about  
 5 it?  
 6 DR. COOK:  
 7 A. Yes, I spoke to Dr. Williams on a number of  
 8 occasions. In 2003 when we had issues  
 9 concerning the centralization of laboratory  
 10 services and following this meeting that we  
 11 had on August 1st and the issues surrounding  
 12 the segregation of both the medical and  
 13 technical arms. My suggestion to him was that  
 14 I think we need to re-evaluate this type of  
 15 management structure and revert to a system  
 16 where we have both the medical and the  
 17 technical reporting under the laboratory  
 18 director, who is a laboratory physician.  
 19 COFFEY, Q.C.:  
 20 Q. And his response?  
 21 DR. COOK:  
 22 A. His response was at that particular time, I  
 23 think he was seeing what was happening, the  
 24 amount of activity that was going on in the  
 25 Laboratory Medicine Program, the issues of the

Page 45

1 two arms being segregated. I think he was  
 2 beginning to realize the need to have the  
 3 program under a single physician.  
 4 COFFEY, Q.C.:  
 5 Q. So when you raised it in 2003 with him, I take  
 6 it nothing had become of that?  
 7 DR. COOK:  
 8 A. No, my understanding was that he would be  
 9 meeting with the executive committee on that  
 10 and he may have met with them, but I don't  
 11 know what came out of that.  
 12 COFFEY, Q.C.:  
 13 Q. And when I say "nothing became of it", from  
 14 your perspective, nothing changed?  
 15 DR. COOK:  
 16 A. That's correct.  
 17 COFFEY, Q.C.:  
 18 Q. Exhibit P-0542 please? Doctor, this is a memo  
 19 from yourself to all pathologists and to Mr.  
 20 Gulliver and Mr. Dyer, August 2, 2005. It's  
 21 "Re: Resource Individual for  
 22 Immunohistochemistry." And you said, "Doctor  
 23 Gershon Ejeckam is currently our resource  
 24 person for immunohistochemistry, all inquiries  
 25 regarding immunohistochemistry should be

Page 46

1 referred to Dr. Ejeckam. In the event that  
 2 Dr. Ejeckam is not available, all inquiries  
 3 will be referred to the site chief, General  
 4 Hospital site, who is currently Dr. Dan  
 5 Fontaine." So in relation to Dr. Fontaine, I  
 6 take it that he was appointed site chief  
 7 effective August 1, does that sound about  
 8 right?  
 9 DR. COOK:  
 10 A. Dr. Dan Fontaine? No, he was site chief March  
 11 of '05, I believe.  
 12 COFFEY, Q.C.:  
 13 Q. Okay, but certainly by August 2nd, he was  
 14 certainly site chief.  
 15 DR. COOK:  
 16 A. Oh, he was site chief by August 2nd, yes.  
 17 COFFEY, Q.C.:  
 18 Q. And have there ever been written advisory, do  
 19 you recall, advising like the pathologists and  
 20 Mr. Gulliver, Mr. Dyer that Dr. Ejeckam was  
 21 the resource person for immunohistochemistry  
 22 before this?  
 23 DR. COOK:  
 24 A. No, there was never a written advisory, that  
 25 again, gets back to our ways, traditionally of

Page 47

1 historically doing things, that individuals  
 2 were taking over positions in the past without  
 3 the documentation and job descriptions and  
 4 whatnot, so this was trying to change the ways  
 5 we were doing things and get into a much more  
 6 of a documentation process.  
 7 COFFEY, Q.C.:  
 8 Q. And what sort of inquiries were you referring  
 9 to here? "All inquiries regarding  
 10 immunohistochemistry."  
 11 DR. COOK:  
 12 A. Well these, more likely would be referring to  
 13 the quality of the stains or having a resource  
 14 person available there to help in  
 15 interpretation of stains, but in that  
 16 particular regard, Dr. Dan Fontaine, it would  
 17 be more a request, if there was a problem with  
 18 turn-around times of slides, to investigate  
 19 into that and have Dr. Fontaine report back to  
 20 the original pathologist.  
 21 COFFEY, Q.C.:  
 22 Q. In terms of the quality of stains issue, I  
 23 take it that would be Dr. Ejeckam?  
 24 DR. COOK:  
 25 A. That would be, yes, in regards to the quality

Page 48

1 of the stain itself.  
 2 COFFEY, Q.C.:  
 3 Q. At the time you sent this out, had you told  
 4 Dr. Ejeckam you were doing this?  
 5 DR. COOK:  
 6 A. No, this was at a time that he was on vacation  
 7 and I may have sought him down to advise him  
 8 on the ER and PR issue, so I was aware that he  
 9 was out of town at that particular time and I  
 10 also wanted to shore up that in the event that  
 11 Dr. Ejeckam who was overseeing  
 12 immunohistochemistry was out of town, that we  
 13 would have someone cover his duty.  
 14 COFFEY, Q.C.:  
 15 Q. Now when Dr. Ejeckam returned from vacation,  
 16 did you speak to him about it?  
 17 DR. COOK:  
 18 A. In regards to this?  
 19 COFFEY, Q.C.:  
 20 Q. Yes.  
 21 DR. COOK:  
 22 A. I can't remember. I remember speaking to him  
 23 about the issue at hand with ER and PR. We  
 24 may have had discussion regarding this.  
 25 COFFEY, Q.C.:

Page 49

1 Q. And if you did, you can't recall?  
 2 DR. COOK:  
 3 A. Well I can recall a discussion, but not  
 4 particularly what was in the discussion.  
 5 COFFEY, Q.C.:  
 6 Q. And the idea that he would be the resource  
 7 person and what types of inquiries he should  
 8 respond to or what his role in this was, I  
 9 take it that was not detailed with him and if  
 10 it was, you can't recall it?  
 11 DR. COOK:  
 12 A. I can't recall, but it may have been, Mr.  
 13 Coffey, but I mean, I can't recall.  
 14 COFFEY, Q.C.:  
 15 Q. If I could, please, Exhibit P-0543? Now this  
 16 is a letter of August 2nd, 2005, it's  
 17 indicated to be faxed, this is your  
 18 handwriting on that day, to Dr. Pritzker at  
 19 Mount Sinai from yourself, and you indicate  
 20 "As discussed in our telephone conversation,  
 21 I'm currently putting a hold on the reporting  
 22 of all estrogen and progesterone receptors  
 23 from our Laboratory Medicine Program at  
 24 Eastern Health. For all urgent and newly  
 25 diagnosed patients with breast cancer, I

Page 50

1 certainly appreciate your laboratory's  
 2 assistance in performing immunohistochemical  
 3 staining, with interpretative results on these  
 4 cases. I anticipate that we may be dealing  
 5 with anywhere from 30 to 40 cases per month,  
 6 possibly over a three month period. We will  
 7 correlate Mount Sinai's results with our own  
 8 to further help us validate our Ventana  
 9 automated system. I will be in contact with  
 10 Maria Mendes at your laboratory regarding  
 11 this. We will, of course, reimburse Mount  
 12 Sinai for all costs incurred. Thank you for  
 13 your help at this difficult time." Doctor,  
 14 this discussion you had had with Dr. Pritzker,  
 15 do you recall that?  
 16 DR. COOK:  
 17 A. Yes.  
 18 COFFEY, Q.C.:  
 19 Q. And what do you recall about it?  
 20 DR. COOK:  
 21 A. Well there were some initial discussions, I  
 22 believe, I would have talked to Ken about the  
 23 fact that we've had our ERS and PRs on hold,  
 24 that we were looking for a laboratory to help  
 25 us with the review, but also we needed a

Page 51

1 mechanism in place to handle the newly  
 2 diagnosed current cases. So this would have  
 3 been a process that we would have set up to  
 4 ensure that this was carried out.  
 5 COFFEY, Q.C.:  
 6 Q. So he was agreeable for Mount Sinai doing the  
 7 current cases?  
 8 DR. COOK:  
 9 A. That's correct.  
 10 COFFEY, Q.C.:  
 11 Q. And the retrospective review?  
 12 DR. COOK:  
 13 A. As well, I don't know if we talked about the  
 14 retrospective in that particular discussion or  
 15 whether we had different discussions regarding  
 16 the currents or the retrospectives.  
 17 COFFEY, Q.C.:  
 18 Q. In terms of--by this point anyway, by August  
 19 2nd, in terms of the current cases, 30 to 40 a  
 20 month for the prospective or current cases,  
 21 possibly over a three month period, I take it  
 22 at that point you were envisaging that you  
 23 might start retesting in St. John's within  
 24 three to four months?  
 25 DR. COOK:

Page 52

1 A. That's correct.  
 2 COFFEY, Q.C.:  
 3 Q. And there's a reference to the correlation  
 4 with Mount Sinai's results. Was it he who  
 5 gave you Maria Mendes' name?  
 6 DR. COOK:  
 7 A. That's correct.  
 8 COFFEY, Q.C.:  
 9 Q. Exhibit P-0939 please? Doctor, this is an e-  
 10 mail of August 3rd, 2005 from yourself to Dr.  
 11 Banerjee, subject is "The St. John's Trip".  
 12 You write, "As discussed, I certainly  
 13 appreciate your coming to St. John's to review  
 14 our immunohistochemistry lab during the dates  
 15 of September 15th, 16th, 2005. We will, of  
 16 course, reimburse you for all costs incurred  
 17 your consult, including your consultation fee,  
 18 we'll keep in contact regarding information  
 19 that you will need. Regards, Don Cook." So  
 20 had you known Dr.--first of all I'll ask you,  
 21 had you known Dr. Pritzker before?  
 22 DR. COOK:  
 23 A. Dr. Pritzker, yes, I've known him a number of  
 24 years.  
 25 COFFEY, Q.C.:

Page 53

1 Q. Okay. And that would be in the context of the  
 2 CAP, I take it, and professionally otherwise.  
 3 DR. COOK:  
 4 A. Well, we meet at the annual meetings of the  
 5 Canadian Association of Pathologists.  
 6 COFFEY, Q.C.:  
 7 Q. How about Dr. Banerjee?  
 8 DR. COOK:  
 9 A. Dr. Banerjee I met through the CAP. He was on  
 10 the executive of the CAP the same time I was.  
 11 COFFEY, Q.C.:  
 12 Q. And you've indicated in this e-mail to Dr.  
 13 Banerjee, "as discussed", what do you recall  
 14 about your initial discussion with Dr.  
 15 Banerjee?  
 16 DR. COOK:  
 17 A. Well, very much as I said to other  
 18 individuals. I discussed with--you know, my  
 19 conversation within other individuals of the  
 20 Mayo Clinic and whatnot, I would have given  
 21 him a background, and I believe I had a  
 22 discussion with him back on August 2, the day  
 23 before of the index case, the number of  
 24 samples we retested, the conversion rates that  
 25 we have identified and information about us

Page 54

1 shutting down the ER and PR service and the  
 2 need for an individual to come in and do an  
 3 external review.  
 4 COFFEY, Q.C.:  
 5 Q. And Doctor, did you pass on to Dr. Banerjee at  
 6 the time, the observations you had made  
 7 yourself concerning the original ER and PR  
 8 slides you'd reviewed up to then?  
 9 DR. COOK:  
 10 A. In this conversation?  
 11 COFFEY, Q.C.:  
 12 Q. Yes.  
 13 DR. COOK:  
 14 A. I don't believe so.  
 15 COFFEY, Q.C.:  
 16 Q. Okay. And so what was his reaction? Was he  
 17 prepared to -  
 18 DR. COOK:  
 19 A. He was prepared to come down and do the  
 20 review.  
 21 COFFEY, Q.C.:  
 22 Q. And so from your perspective at the time, he  
 23 understood he was coming here to do what?  
 24 DR. COOK:  
 25 A. A review of the laboratory medicine program at

Page 55

1 the time.  
 2 COFFEY, Q.C.:  
 3 Q. So, that was the current situation.  
 4 DR. COOK:  
 5 A. Yes.  
 6 COFFEY, Q.C.:  
 7 Q. And how about the past results?  
 8 DR. COOK:  
 9 A. I don't know about--the current situation in  
 10 regards to the structure of the lab, what was  
 11 going on within the lab and a view to try to  
 12 identify what had happened with or what had  
 13 caused the conversions.  
 14 COFFEY, Q.C.:  
 15 Q. Okay. Which would require some little--  
 16 something that had gone on before.  
 17 DR. COOK:  
 18 A. Yes.  
 19 COFFEY, Q.C.:  
 20 Q. Exhibit P-0545, please. Doctor, these are  
 21 some notes of Dr. Williams, page two we have  
 22 the typed version and notes here, "met with  
 23 Dr. Don Cook and Ms. Heather Predham, times  
 24 two". And these are notes on PR, ER issues.  
 25 "QI follow-up and interviews were held with

Page 56

1 techs involved in the immunohistochemistry in  
 2 the a.m. Heather Predham gave me a debriefing  
 3 on the issue and the lack of communication  
 4 between techs and pathologists. Heather  
 5 Predham gave Dr. Cook and general site chief,  
 6 Dr. Dan Fontaine, a briefing on her interview  
 7 in the p.m. Met with Dr. Cook afterwards and  
 8 discussed the issue and the need for techs to  
 9 have a pathologist who they can go to for  
 10 advice and communication. Dr. Cook and I will  
 11 follow-up with Mr. Gulliver on broad and  
 12 specific communications issues identified.  
 13 Dr. Cook waiting to hear from Mount Sinai re:  
 14 completing all negative ER and PR testing on a  
 15 very expeditious basis".  
 16 So, Doctor, this meeting of August 3, the  
 17 issue related to communications between the  
 18 technologists and the pathologists that's  
 19 referred to that Heather Predham had, I won't  
 20 say uncovered so much as reported on.  
 21 DR. COOK:  
 22 A. Um-hm.  
 23 COFFEY, Q.C.:  
 24 Q. Was that new to you?  
 25 DR. COOK:

Page 57

1 A. Yeah, I was surprised by that briefing that  
 2 Heather had given us.  
 3 COFFEY, Q.C.:  
 4 Q. What do you recall she said to you?  
 5 DR. COOK:  
 6 A. Basically the lack of guidance, the lack of  
 7 coordination that was taking place between the  
 8 medical and--between our technologists and  
 9 pathologists. There wasn't a good flow of  
 10 information between the two groups and issue  
 11 of who basically was reporting to whom. The  
 12 fact that she outlined the problem of the two  
 13 arms being segregated, she believed, was  
 14 contributing to the issue at hand.  
 15 COFFEY, Q.C.:  
 16 Q. That's the ER/PR issue, I take it, and  
 17 immunohistochemistry?  
 18 DR. COOK:  
 19 A. No, into the issue of overall communications.  
 20 COFFEY, Q.C.:  
 21 Q. Communications, okay.  
 22 DR. COOK:  
 23 A. And dialogue within the program.  
 24 COFFEY, Q.C.:  
 25 Q. And you were asked to follow up with Mr.

Page 58

1 Gulliver. Did you do that?  
 2 DR. COOK:  
 3 A. That would have been between myself and Dr.  
 4 Williams.  
 5 COFFEY, Q.C.:  
 6 Q. Yes.  
 7 DR. COOK:  
 8 A. And I believe we did talk about the need or  
 9 what was happening within the program and I  
 10 think--and if I remember the conversation with  
 11 Dr. Gulliver--Mr. Gulliver, he also recognized  
 12 the issues, the problems of the segregation of  
 13 the two arms.  
 14 COFFEY, Q.C.:  
 15 Q. And were there any plans arrived at as to how  
 16 it might be addressed?  
 17 DR. COOK:  
 18 A. Well, again, closer cooperation with the site  
 19 chiefs. I mean, there had been--there is a  
 20 structure in place in there where we had a  
 21 site chief who was supposedly there to act as  
 22 liaison between the medical and technical  
 23 arms. Dr. Fontaine, being at that meeting,  
 24 was certainly aware of the need for smooth  
 25 communication and liaison with that. And

Page 59

1 what--this is probably around the time that I  
 2 would have been recommending or starting to  
 3 push for the medical and technical arms  
 4 reporting to the clinical chief and to try to  
 5 streamline this process. Now, Mr. Gulliver,  
 6 at that time, wasn't too receptive to that,  
 7 but this was something that I was beginning to  
 8 push harder and harder.  
 9 COFFEY, Q.C.:  
 10 Q. You were pushing with whom?  
 11 DR. COOK:  
 12 A. Dr. Williams.  
 13 COFFEY, Q.C.:  
 14 Q. Okay. The third last bullet here on this page  
 15 refers to the need for techs to have a  
 16 pathologist who they can go to for advice and  
 17 communication.  
 18 DR. COOK:  
 19 A. Um-hm.  
 20 COFFEY, Q.C.:  
 21 Q. In this context who was that?  
 22 DR. COOK:  
 23 A. I can't remember if we were actually talking  
 24 about Dr. Fontaine or Dr. Ejeckam, so I can't  
 25 recollect specifically who were talking to.

Page 60

1 If we were talking regarding to  
 2 immunohistochemical techs, it would have been  
 3 Dr. Ejeckam.  
 4 COFFEY, Q.C.:  
 5 Q. This, because the first--the second bullet  
 6 says, "Techs involved in the  
 7 immunohistochemistry" are the people who  
 8 apparently Ms. Predham had--techs involved in  
 9 the immunohistochemistry in the a.m. So in  
 10 that context, I take it, that would be Dr.  
 11 Ejeckam?  
 12 DR. COOK:  
 13 A. On the second bullet?  
 14 COFFEY, Q.C.:  
 15 Q. Second bullet.  
 16 DR. COOK:  
 17 A. Yes.  
 18 COFFEY, Q.C.:  
 19 Q. So the communications issues that you were  
 20 alerted to on August 3rd, were they limited to  
 21 the IHC techs or were they wider? Was the  
 22 communication in a wider sense involving  
 23 histology and other matters, as well, or was  
 24 it just the IHC?  
 25 DR. COOK:

Page 61	Page 63
<p>1 A. No, I think they were in a wider, wider sense 2 with the histology techs and our pathologists. 3 COFFEY, Q.C.: 4 Q. Exhibit P-0940, please? This is an e-mail 5 from Heather Predham August 4, 2005, to 6 yourself and Dr. Williams. This conversion or 7 66 percent conversion rate, is that your 8 handwriting? 9 DR. COOK: 10 A. Yes. 11 COFFEY, Q.C.: 12 Q. Do you recall what that was in relation to at 13 that time? 14 DR. COOK: 15 A. Oh, that's probably in relation to the first 16 two batches, the batch of 25 and the batch of 17 33. 18 COFFEY, Q.C.: 19 Q. An overall conversion rate of 66 - 20 DR. COOK: 21 A. Well, approximately. I mean, I was using 22 ranges for most of that period of anywhere 23 from 60 to 65 to 66 percent, so I was using 24 rough figures. So, you know, I don't know if 25 that's totally accurate, but, I mean, this was</p>	<p>1 between June 29 and November 1st to confirm 2 that all results in that period of time were 3 negative." What was that about? 4 DR. COOK: 5 A. This was an issue here, again, we're getting 6 into the issue of what you regard as cutoff, 7 clinical cutoff or technical cutoff. So Dr. 8 Carter would have pulled cases that were 9 regarded clinically as negative, that is, 10 cases less than ten percent, while our 11 technical staff were regarding anything as 12 less than or equal to one percent as being 13 negative. So this was an issue of what was 14 being defined as negative. 15 COFFEY, Q.C.: 16 Q. So, had there been some suggestion that there 17 were no positive cases during that timeframe? 18 DR. COOK: 19 A. After June? 20 COFFEY, Q.C.: 21 Q. Yes, between June 29 and November 1, 2002 22 because we've seen other references to that. 23 DR. COOK: 24 A. I believe somebody made a suggestion regarding 25 that.</p>
<p>1 sort of a conversion rate that I was quoting, 2 giving a range. 3 COFFEY, Q.C.: 4 Q. Doctor, here by conversion you meant what? 5 DR. COOK: 6 A. From a negative result to a positive. 7 COFFEY, Q.C.: 8 Q. And would that be a negative result in ER or a 9 negative result in PR? 10 DR. COOK: 11 A. At that time, ER. 12 COFFEY, Q.C.: 13 Q. Now, the e-mail itself says, "I just want to 14 let you know that I met the technical expert 15 from Ventana this a.m. with Terry and Barry. 16 We went over the issues and what we needed 17 from her. Terry told her that we would be 18 meeting with her tomorrow to hear her 19 assessment of our system." And then there's a 20 discussion about a reference to Terry having 21 raised the issue whether the 58 cases that we 22 retested were all negatives or did they 23 include weak positives, as well. And toward 24 the end of the e-mail there's a reference to, 25 "As well, Barry will pull the cases tested</p>	<p>1 COFFEY, Q.C.: 2 Q. Do you recall who that was? 3 DR. COOK: 4 A. I think that was Dr. Carter. I can't be 5 absolutely sure on that. 6 COFFEY, Q.C.: 7 Q. So, Mr. Dyer, at this point, I take it, was 8 going to see, to check - 9 DR. COOK: 10 A. Yes. 11 COFFEY, Q.C.: 12 Q. - the actual pathology reports. 13 DR. COOK: 14 A. Yes. 15 COFFEY, Q.C.: 16 Q. What then happened with respect to that? 17 DR. COOK: 18 A. I think he checked and found that we did have 19 positive cases after that time period. 20 COFFEY, Q.C.: 21 Q. Or during that time period? 22 DR. COOK: 23 A. Or during. 24 COMMISSIONER: 25 Q. Positive cases in whose definition?</p>



Page 65

1 COFFEY, Q.C.:

2 Q. Or either definition.

3 DR. COOK:

4 A. It could be either technical or clinical, but

5 I think more so in technical and that is

6 greater than one percent.

7 COFFEY, Q.C.:

8 Q. If we could, please, Exhibit P-0552. Now

9 Doctor, this is a report August 5, 2005, it's

10 addressed to Terry Gulliver, it's from Carole

11 Quevillon of Ventana and she advises Mr.

12 Gulliver here that I've checked the Ventana

13 benchmark instruments, the procedure and

14 protocols used for the ER and PGR stains, the

15 knowledge and capacity of the technicians to

16 troubleshoot and run the instruments". And I

17 take it that overall here, because the

18 Commissioner has seen this before, overall

19 here, her report was that the technicians, as

20 she describes them, know what they are doing;

21 they know how to use the instruments and she

22 says she feels confident that the benchmark

23 instruments are staining as they should be.

24 DR. COOK:

25 A. Yes.

Page 66

1 COFFEY, Q.C.:

2 Q. And her one recommendation was that

3 maintenance procedures, monthly and quarterly

4 had not been done and they should be done.

5 DR. COOK:

6 A. That's correct.

7 COFFEY, Q.C.:

8 Q. So, Doctor, you would have become aware of

9 this around that time.

10 DR. COOK:

11 A. Yes.

12 COFFEY, Q.C.:

13 Q. What, if any, significance did that have for

14 you?

15 DR. COOK:

16 A. Well, that had great significance. It gave me

17 a further comfort in that the Ventana system

18 was generally operating as it should. The

19 only issues regarding the maintenance

20 procedures which is something that our techs

21 needed to bone up on, but overall I felt a

22 good degree of comfort, particularly in

23 regards to the fact that we had not shut down

24 the entire immunohistochemical service. So,

25 there was a strong degree of comfort there.

Page 67

1 COFFEY, Q.C.:

2 Q. I take it, Doctor, that in fact the only two

3 tests that had been shut down were the ER and

4 the PR?

5 DR. COOK:

6 A. That's correct.

7 COFFEY, Q.C.:

8 Q. The IHC service at that time probably had more

9 than a hundred other stains being run.

10 DR. COOK:

11 A. That's right.

12 COFFEY, Q.C.:

13 Q. More depending upon how routinely each

14 particular one is run, but the machine was

15 going full bore anyway, wasn't it? I mean, it

16 was being used continuously.

17 DR. COOK:

18 A. That's correct.

19 COFFEY, Q.C.:

20 Q. And this gave you some comfort that the

21 machine is working properly, we can continue

22 to use it for all these other stains.

23 DR. COOK:

24 A. That's right.

25 COFFEY, Q.C.:

Page 68

1 Q. Exhibit P-0551, please, page two. Again,

2 these are Dr. Williams' notes of a meeting,

3 they list Dr. Laing, Pat Pilgrim, Heather

4 Predham, Dr. Gardiner, yourself and himself as

5 present, August 5, 2005. There's a note here,

6 says, "all patients seen in the clinic since

7 April 2003 that are negative are being

8 retested, patients with metastatic disease and

9 with lobular cancer".

10 DR. COOK:

11 A. Um-hm.

12 COFFEY, Q.C.:

13 Q. What was that about?

14 DR. COOK:

15 A. I can't remember, Mr. Coffey. I don't know

16 where that came from, that statement. I just

17 can't recollect that one.

18 COFFEY, Q.C.:

19 Q. Yes. And I'm not suggesting, in fact, you

20 should. That's his notes at the time he would

21 have made. The second bullet says, "all

22 negatives at ten or less since March 31, 2003

23 to be retested, plus infiltrating lobular and

24 tubular breast cancers". And it goes on,

25 "Heather Predham will identify all patients

Page 69

1 and blocks will be pulled to send out". At  
 2 that point in time, was there--had a firm  
 3 decision been made to retest all the Ventana  
 4 cases?  
 5 DR. COOK:  
 6 A. Yes, I think, Ventana ER and PR you mean?  
 7 COFFEY, Q.C.:  
 8 Q. Yes.  
 9 DR. COOK:  
 10 A. Yes.  
 11 COFFEY, Q.C.:  
 12 Q. There's a reference here to "10 to 11 patients  
 13 who have converted have been told", you see  
 14 that there?  
 15 DR. COOK:  
 16 A. Yes.  
 17 COFFEY, Q.C.:  
 18 Q. And you would have understood that by then, it  
 19 would to be 10 or 11 of the first 25?  
 20 DR. COOK:  
 21 A. That was the first 25.  
 22 COFFEY, Q.C.:  
 23 Q. Yes. Note here, "people's reaction has been  
 24 good to date. They have been told there was a  
 25 problem with the testing and we don't know why

Page 70

1 yet", do you see that?  
 2 DR. COOK:  
 3 A. Yes.  
 4 COFFEY, Q.C.:  
 5 Q. So, Doctor, was there discussion in these  
 6 group sessions up to and including this time  
 7 about what patients should be told?  
 8 DR. COOK:  
 9 A. Only those that had converted.  
 10 COFFEY, Q.C.:  
 11 Q. Yes, only those who had converted were being  
 12 told at that point, but what they were to be  
 13 told.  
 14 DR. COOK:  
 15 A. At that time, I'm not sure what was being told  
 16 to them.  
 17 COFFEY, Q.C.:  
 18 Q. And I understand because you wouldn't attend  
 19 those meetings.  
 20 DR. COOK:  
 21 A. No, and I didn't have a good idea myself what  
 22 was going on; whether this could be as a  
 23 result of new technology; whether there's a  
 24 problem with the technical aspect. I mean, I  
 25 know I was coming into issues regarding

Page 71

1 interpretations, but there didn't seem to be  
 2 one particular area that we could zero in on  
 3 as to where the problem lagged.  
 4 COFFEY, Q.C.:  
 5 Q. Wouldn't it, at the time, Doctor, though had  
 6 been fair to have characterized the then state  
 7 of knowledge that it involves technological  
 8 issues and interpretive issues?  
 9 DR. COOK:  
 10 A. Yes, I was looking towards those issues.  
 11 COFFEY, Q.C.:  
 12 Q. It was the only two possibilities, but it  
 13 wasn't limited to the technology, to your  
 14 knowledge, nor was it limited to  
 15 interpretation, to your knowledge?  
 16 DR. COOK:  
 17 A. No, it was involving both.  
 18 COFFEY, Q.C.:  
 19 Q. So, from a literal truth perspective, would it  
 20 be fair to say at that point, would it be  
 21 accurate to say that you didn't know why?  
 22 DR. COOK:  
 23 A. Well, we didn't know particularly where--I  
 24 mean, it wasn't one particular problem. I  
 25 mean, the issue where the test went wrong

Page 72

1 could vary from patient to patient, just  
 2 didn't know. I mean, you couldn't say looking  
 3 at the slides, say, where there was a  
 4 particular problem, a technical. You could  
 5 say if there was a problem with  
 6 interpretation, but that would vary from  
 7 individual to individual.  
 8 COFFEY, Q.C.:  
 9 Q. You say a problem with interpretation, does  
 10 that include cases where, from your  
 11 perspective, based upon what you were seeing  
 12 on the original slide, in your view, the slide  
 13 shouldn't have been reported at all?  
 14 DR. COOK:  
 15 A. It's regarded where you may have an over-  
 16 interpretation where a pathologist was, say,  
 17 interpreting cytoplasmic stain as being  
 18 positive, that sort of thing.  
 19 COFFEY, Q.C.:  
 20 Q. What category then, from your perspective  
 21 would cases where the original slide that  
 22 you'd looked at in late July, historic  
 23 original slide, you were telling the  
 24 Commissioner yesterday that in some instances,  
 25 based upon what you were seeing, you didn't

Page 73

1 think that the pathologist should have  
 2 reported because, for example, the internal  
 3 controls hadn't stained. What category would  
 4 they fall into?  
 5 DR. COOK:  
 6 A. Well, they would be invalid.  
 7 COFFEY, Q.C.:  
 8 Q. And would that fall into an interpretive  
 9 error?  
 10 DR. COOK:  
 11 A. It could, yes.  
 12 COFFEY, Q.C.:  
 13 Q. In the sense that there shouldn't have been an  
 14 interpretation of the slide at all except to  
 15 say, I can't report it.  
 16 DR. COOK:  
 17 A. That's correct.  
 18 COFFEY, Q.C.:  
 19 Q. Exhibit P-0556. Doctor, this is a letter and  
 20 I gather it's a draft of a letter of August 5,  
 21 2005, it's addressed to Dr. Williams and it's  
 22 prepared for your signature.  
 23 DR. COOK:  
 24 A. Yes.  
 25 COFFEY, Q.C.:

Page 74

1 Q. And there's some handwriting as well. It's  
 2 typed and then there's some handwriting on it,  
 3 some changes. This is your handwriting?  
 4 DR. COOK:  
 5 A. Yes.  
 6 COFFEY, Q.C.:  
 7 Q. And this relates to--and you begin by saying,  
 8 both Dr. Dan Fontaine and myself met with  
 9 Heather Predham today to discuss the issue of  
 10 technologists and their interaction with  
 11 pathologists in regards to immunoperoxidase  
 12 staining. Following that discussion I would  
 13 like to make the following recommendations",  
 14 and then you list out a number of them and  
 15 some of them, you've obviously been redrafting  
 16 this letter, the original text. Doctor, did  
 17 this or any version of this letter ever get  
 18 sent?  
 19 DR. COOK:  
 20 A. I can't remember, Mr. Coffey, probably not.  
 21 This must have been my thoughts at the time  
 22 and if I hadn't sent it, I would have  
 23 communicated those thoughts to Dr. Williams in  
 24 various discussions.  
 25 COFFEY, Q.C.:

Page 75

1 Q. I'm sorry, you would have communicated what is  
 2 here verbally to him anyway, at one time or  
 3 another -  
 4 DR. COOK:  
 5 A. Yes, because this was sort of the thought  
 6 process that was going on at the time.  
 7 COFFEY, Q.C.:  
 8 Q. And here then, you've noted the, suggesting,  
 9 making the recommendation, "the establishment  
 10 of a separate immunoperoxidase service of at  
 11 least three technologists solely dedicated to  
 12 immunoperoxidase staining. These  
 13 technologists must be trained in a major  
 14 immuno referral lab that has well established  
 15 quality control and troubleshooting program.  
 16 DR. COOK:  
 17 A. Um-hm.  
 18 COFFEY, Q.C.:  
 19 Q. So, the idea of three technologists solely  
 20 dedicated to this, that idea, in fact, dates  
 21 to May, doesn't it, if not before?  
 22 DR. COOK:  
 23 A. Yes.  
 24 COFFEY, Q.C.:  
 25 Q. May 24, your May 24th letter.

Page 76

1 DR. COOK:  
 2 A. I was thinking about that May 24th, yes.  
 3 COFFEY, Q.C.:  
 4 Q. And that idea, in fact, had surfaced at some  
 5 points in the past in terms of the idea of  
 6 dedicated technologists going back to Dr.  
 7 Ejeckam's memos.  
 8 DR. COOK:  
 9 A. Right.  
 10 COFFEY, Q.C.:  
 11 Q. And June memo of '03.  
 12 DR. COOK:  
 13 A. Um-hm.  
 14 COFFEY, Q.C.:  
 15 Q. The idea that the technologists or any such  
 16 technologists be trained at a major immuno  
 17 referral lab, to you knowledge, even to this  
 18 day, has that been done?  
 19 DR. COOK:  
 20 A. Yes.  
 21 COFFEY, Q.C.:  
 22 Q. The technologists that are working at Eastern  
 23 Health now in the IHC lab -  
 24 DR. COOK:  
 25 A. Yes.

Page 77

1 COFFEY, Q.C.:

2 Q. - have been trained at a major lab?

3 DR. COOK:

4 A. Well, they've been trained--if you're

5 referring to what we had referring those

6 individuals to Montreal Jewish General and

7 Mount Sinai, that's what I'm referring to.

8 COFFEY, Q.C.:

9 Q. So, the training you were thinking of here

10 was, at that point, were you contemplating,

11 like, several days or several weeks or months

12 or did you have any -

13 DR. COOK:

14 A. In the ballpark figure of about weeks to

15 months at a lab such as Mount Sinai or

16 Montreal Jewish General.

17 COFFEY, Q.C.:

18 Q. I take it, in your reference here, "that has

19 well established quality control and

20 troubleshooting program would involve such

21 technologists being exposed to those programs

22 on a continuous basis.

23 DR. COOK:

24 A. Yes, I was looking more for Mount Sinai to

25 that.

Page 78

1 COFFEY, Q.C.:

2 Q. Second paragraph, you say, "to identify highly

3 motivated, enthusiastic individuals preferably

4 currently training in the College of the North

5 Atlantic and secure these individuals full

6 time employment in the immunoperoxidase

7 service with job guarantee, appropriate

8 remuneration and further training". Doctor,

9 what were thinking of there?

10 DR. COOK:

11 A. I was thinking of looking ahead. In our

12 organization right now, individuals,

13 technologists, whoever, are put ahead on the

14 basis of seniority and I'm not too sure that

15 I--I'm not particularly happy with that. I

16 would like to see people put in positions who

17 have the appropriate qualifications and know

18 how to run, for instance, a highly complex

19 service such as immunoperoxidase. So, the

20 best individuals I was looking at were

21 individuals just coming out of the College of

22 the North Atlantic, young people whom you can

23 train and whom would be around for quite some

24 time within your organization.

25 COFFEY, Q.C.:

Page 79

1 Q. Now Doctor, you express that thought, I take

2 it, at one or more times to Dr. Williams?

3 DR. COOK:

4 A. Yes.

5 COFFEY, Q.C.:

6 Q. Has there been any movement in that regard?

7 DR. COOK:

8 A. I haven't seen much movement. That would

9 require major negotiations with the various

10 unions and their contracts to deal with that.

11 COFFEY, Q.C.:

12 Q. There's a paragraph here, "hiring of at least

13 three pathology assistants" and you refer to

14 these individuals can be identified from

15 College of North Atlantic and trained to

16 perform standardized grossing and cutting

17 techniques". The pathology assistants, we've

18 seen references to that going back over the

19 years and I think back to Dr. Robb's time

20 perhaps or -

21 DR. COOK:

22 A. Well, it went back to first of all, the Hay

23 Report of '02, my annual review of '03, Dr.

24 Robb's letter of '04.

25 COFFEY, Q.C.:

Page 80

1 Q. Yes. All of which were in favour of the idea

2 of pathology assistants.

3 DR. COOK:

4 A. That's correct.

5 COFFEY, Q.C.:

6 Q. And I take it that there has been some

7 movement in that regard since August of 2005?

8 DR. COOK:

9 A. Yes.

10 COFFEY, Q.C.:

11 Q. And they're in the process of doing that now?

12 DR. COOK:

13 A. Yes, we have pathology assistants.

14 COFFEY, Q.C.:

15 Q. Pathology assistants now. The pathology

16 assistants then positions were only

17 established after the ER/PR matter arose in

18 2005.

19 DR. COOK:

20 A. That's correct.

21 COFFEY, Q.C.:

22 Q. Doctor, do you have any reason to believe that

23 there would be--if the ER/PR matter hadn't

24 arisen in 2005, do you have any reason to

25 believe that there'd be pathology assistants

Page 81

1 today?  
 2 DR. COOK:  
 3 A. I don't think there would be pathology  
 4 assistants today.  
 5 COFFEY, Q.C.:  
 6 Q. You are referencing here or recommending  
 7 "establishment for quality assurance or  
 8 proficiency testing program for the  
 9 immunoperoxidase service".  
 10 DR. COOK:  
 11 A. Um-hm.  
 12 COFFEY, Q.C.:  
 13 Q. So, and I take it you also refer to that in  
 14 your May 24th letter?  
 15 DR. COOK:  
 16 A. Yes, some of this were my thoughts that I was  
 17 putting down in that letter just rehashing  
 18 some various things.  
 19 COFFEY, Q.C.:  
 20 Q. On the next page, I'm sorry, I'll take you to  
 21 is, paragraph six, you encourage recruitment  
 22 of young technologists into the program  
 23 because of the retirement -  
 24 DR. COOK:  
 25 A. That's what I was looking for, yes.

Page 82

1 COFFEY, Q.C.:  
 2 Q. And you're looking for appropriate CME funding  
 3 for our immunotechnologists.  
 4 DR. COOK:  
 5 A. Um-hm.  
 6 COFFEY, Q.C.:  
 7 Q. I take it, was there any, up to that point?  
 8 DR. COOK:  
 9 A. There was a small amount of funding Mr.  
 10 Gulliver had for technologists in general, a  
 11 very small amount, so he would decide each  
 12 year, select maybe two or three technologists  
 13 to go up on various CME activities, but  
 14 nothing, nothing significant for all our  
 15 technologists in general and nothing,  
 16 certainly, significant for immuno  
 17 technologists, in particular.  
 18 COFFEY, Q.C.:  
 19 Q. Do you know if that has changed?  
 20 DR. COOK:  
 21 A. I believe we have increased CME funding in  
 22 that area.  
 23 COFFEY, Q.C.:  
 24 Q. You conclude by, your draft of the letter by  
 25 saying how, "I'd like to end by saying that

Page 83

1 over the past--last five years there has been  
 2 a lot of emphasis placed on utilization  
 3 management and living with our budgets. The  
 4 emphasis now is to be placed on quality  
 5 assurance with the additional human and  
 6 financial resources this requires."  
 7 DR. COOK:  
 8 A. Yes.  
 9 COFFEY, Q.C.:  
 10 Q. Now, Doctor, at the time, I take it, in  
 11 August, 2005 that was your honestly held view  
 12 of the situation?  
 13 DR. COOK:  
 14 A. Yeah, it was.  
 15 COFFEY, Q.C.:  
 16 Q. Has anything since then happened to change  
 17 your view in that regard?  
 18 DR. COOK:  
 19 A. Yes, there is more emphasis now towards  
 20 quality assurance, certainly amongst many  
 21 people within Eastern Health and certainly  
 22 amongst our administrative individuals that  
 23 there is a greater focus on quality assurance.  
 24 COFFEY, Q.C.:  
 25 Q. Exhibit P-0081, please? And, Doctor, this is

Page 84

1 a letter to yourself and Dr. Williams, it's  
 2 dated August 8th, 2005, it's from Beverley  
 3 Carter, or Dr. Carter. And she writes,  
 4 "Following are, to the best of my current  
 5 knowledge, the figures I have compiled with  
 6 respect to estrogen receptor and progesterone  
 7 receptor testing for cases seen at the Health  
 8 Care Corporation of St. John's in 2002." And  
 9 then she lists out a number of numbers,  
 10 negative rates, conversion rates, and the  
 11 denominator she's using here is 87. I  
 12 apologize, the numerator. She says, "The  
 13 number of patients undergoing ER testing at  
 14 the Health Care Corporation of St. John's is  
 15 189 and the figure above," she says, "patients  
 16 identified as ER negative using a ten percent  
 17 cutoff or other surrogate markers" is 87. So  
 18 87 over 189 is a 46 percent negative rate, and  
 19 that's for 2002, the Health Care Corporation  
 20 cases. And "Of the 87 cases 18 have not been  
 21 retested. Of the 69 retested, 43 have  
 22 converted." Read by Dr. Carter and yourself  
 23 using the Ventana, which is a 62 percent  
 24 conversion rate. 43 over 69. And she then  
 25 calculates using a 62 percent conversion rate.

Page 85

1 Of all 87 negatives she calculates 17.5  
 2 percent true negative rate using the Ventana.  
 3 And she concludes by saying, "From these very  
 4 preliminary and very raw numbers I believe the  
 5 idea that the DAKO system, both its  
 6 performance and interpretation, greatly under  
 7 estimated the number of women who would  
 8 benefit from hormonal manipulation of their  
 9 breast cancer and should be investigated.  
 10 From these numbers it would also appear the  
 11 Ventana system is over estimating the number  
 12 of patients who are ER positive. Couple this  
 13 finding with the recent 60 percent  
 14 disagreement with Mount Sinai Hospital on  
 15 crude progesterone status, positive versus  
 16 negative and not percentile staining, and it  
 17 appears that we have another system that needs  
 18 investigating." So I take it the other system  
 19 is the Ventana system?  
 20 DR. COOK:  
 21 A. Yes.  
 22 COFFEY, Q.C.:  
 23 Q. Do you know if any further investigation was  
 24 done of the Ventana system?  
 25 DR. COOK:

Page 86

1 A. I can't recollect, Mr. Coffey.  
 2 COFFEY, Q.C.:  
 3 Q. And, Doctor, do you know how or why it was  
 4 that Dr. Carter came to write this letter?  
 5 DR. COOK:  
 6 A. Well, she had concerns over the sensitivity of  
 7 the Ventana, whether we were actually picking  
 8 up more, more positives on the Ventana than  
 9 the other system, in other words, were we  
 10 getting into the realm of false positives.  
 11 COFFEY, Q.C.:  
 12 Q. And that's why she wrote the letter?  
 13 DR. COOK:  
 14 A. Yes, that's my understanding why.  
 15 COFFEY, Q.C.:  
 16 Q. Was there anything further done after you  
 17 received this letter in relation to it?  
 18 DR. COOK:  
 19 A. I may have spoken to her regarding that and  
 20 this was--we still had the belief that if we  
 21 were going to retest, we were going to retest  
 22 all the Ventana system tests for the '04 and  
 23 '05 year.  
 24 COFFEY, Q.C.:  
 25 Q. And retest the negatives and the positives?

Page 87

1 DR. COOK:  
 2 A. Positives, that was the initial thinking.  
 3 COFFEY, Q.C.:  
 4 Q. Did the positives ever get retested?  
 5 DR. COOK:  
 6 A. The positives never got retested.  
 7 COFFEY, Q.C.:  
 8 Q. Why is that?  
 9 DR. COOK:  
 10 A. Well, at that particular period of time we  
 11 were--when we were sending the cases up to  
 12 Mount Sinai, Mount Sinai were having capacity  
 13 problems with trying to do all the retests,  
 14 and I believe we made a decision, primarily, I  
 15 think, Dr. Williams made a decision that for  
 16 now we would hold off the retesting on the  
 17 positive DAKO--correction, Ventana systems  
 18 mainly due to capacity problems that Mount  
 19 Sinai was experiencing at the time.  
 20 COFFEY, Q.C.:  
 21 Q. Did the subject matter ever arise again?  
 22 DR. COOK:  
 23 A. It may--I remember it may arose near the end  
 24 of the review process.  
 25 COFFEY, Q.C.:

Page 88

1 Q. And what happened then?  
 2 DR. COOK:  
 3 A. Well, the feeling was, when we looked at the  
 4 number of retro converters from the selected  
 5 cases, the negative cases that we had in the  
 6 review, the number of cases were actually very  
 7 small, but that was a selective group. What  
 8 was felt at the time when we reviewed the ER  
 9 and PR issue that the major problem with ER  
 10 and PR was the false negative rate as opposed  
 11 to a false positive rate. So the decision was  
 12 made, and I believe it may have been a  
 13 consensus manner, that at the time we would  
 14 not go ahead and retest all specimens, I mean,  
 15 from the Ventana system as well as the other  
 16 positives that we had from the DAKO.  
 17 COFFEY, Q.C.:  
 18 Q. And consensus amongst whom?  
 19 DR. COOK:  
 20 A. I think that would have been myself, Heather  
 21 Predham, Nash Denic was there at the time, I  
 22 believe Dr. Williams was there at the time. I  
 23 can't remember if there was anybody--oh, some  
 24 of their oncologists were there, Dr. Laing, I  
 25 believe. So we made that decision based on

Page 89

1 the, what we thought was the major problem  
 2 with the testing, the false negatives as  
 3 opposed to false positives.  
 4 COFFEY, Q.C.:  
 5 Q. And approximately when would that have been?  
 6 DR. COOK:  
 7 A. Oh, that would have been made sometime, I  
 8 believe, around the spring of '06.  
 9 COFFEY, Q.C.:  
 10 Q. Exhibit P-0560, please? Doctor, this is a  
 11 memo from yourself to all pathologists in  
 12 Eastern Health and Mr. Dyer, Gulliver and Dr.  
 13 Williams, August 8th, 2005. The subject is  
 14 "Estrogen receptor and progesterone receptors  
 15 on current cases." And I take it this is a  
 16 memo outlining what is to be done in relation  
 17 to henceforth there being a hold on the  
 18 reporting of ERS and PRs by pathologists in  
 19 Eastern Health? I take it that's -  
 20 DR. COOK:  
 21 A. Yes.  
 22 COFFEY, Q.C.:  
 23 Q. - this paragraph. And this proposal to have,  
 24 well, ERS and PRs to be forwarded to Mount  
 25 Sinai for IHC processing and reporting?

Page 90

1 DR. COOK:  
 2 A. Um-hm.  
 3 COFFEY, Q.C.:  
 4 Q. Reports would be returned to Dr. Carter and  
 5 released into the hospital information system.  
 6 I take it that means being entered, dictated  
 7 somehow into the -  
 8 DR. COOK:  
 9 A. That's the computer, Meditec system.  
 10 COFFEY, Q.C.:  
 11 Q. "Hard copies of these reports will be  
 12 forwarded to the appropriate physician. All  
 13 pathologists will continue to order ERS and  
 14 PRs on their respective cases, fill out the  
 15 IHC request form and forward this to the  
 16 technologist. The ER/PR IHC stain will  
 17 simultaneously be processed by our  
 18 technologists and sent back to the ordering  
 19 pathologist and once these stains are received  
 20 the ordering pathologist will give an  
 21 interpretation using the enclosed form and  
 22 forward that to Dr. Carter."  
 23 DR. COOK:  
 24 A. Um-hm.  
 25 COFFEY, Q.C.:

Page 91

1 Q. And that report or "This report is not to be  
 2 released within the hospital information  
 3 system." So that's the process you described  
 4 to the Commissioner earlier?  
 5 DR. COOK:  
 6 A. That's correct. We're looking at doing a  
 7 correlation between our interpretations and  
 8 Mount Sinai with the view when we restarted  
 9 the ER and PR, we were looking at general list  
 10 sign out.  
 11 COFFEY, Q.C.:  
 12 Q. And it went sofar as to actually be sent out  
 13 in a memo?  
 14 DR. COOK:  
 15 A. Yes.  
 16 COFFEY, Q.C.:  
 17 Q. Formalized. Exhibit P-0561, please? Doctor,  
 18 this is again a memo to all pathologists in  
 19 Eastern Health, Dr. Williams, Mr. Dyer and Mr.  
 20 Gulliver from yourself, August 8th, 2005. ER  
 21 and PR on cases from May, '97 to August 9th,  
 22 2005. And you write, "Cases from May, '97 to  
 23 March 31, 2004 that are ER negative except  
 24 those from patients who are deceased will be  
 25 referred to Mount Sinai."

Page 92

1 DR. COOK:  
 2 A. Um-hm.  
 3 COFFEY, Q.C.:  
 4 Q. "The paraffin block that the ER and PR was  
 5 originally performed on will be forwarded to  
 6 Mount Sinai for repeat testing. Once the  
 7 Mount Sinai report has been received at the  
 8 St. Clare's site an addendum will be issued by  
 9 Dr. Cook or Dr. Carter in the hospital  
 10 information system. This applies to all cases  
 11 that are ER negative on a primary breast  
 12 lesion independent of PR status, ER negative  
 13 being defined as ten percent or less." And  
 14 then "All ER and PRs performed on the Ventana  
 15 system from April 1, 2004 to August 9th, 2005  
 16 will be referred to Mount Sinai as above."  
 17 Now, Doctor, some questions on this. Well,  
 18 first of all, was this sent out, do you think?  
 19 DR. COOK:  
 20 A. I would assume that it was, yes.  
 21 COFFEY, Q.C.:  
 22 Q. Oh, yes. Now, I'm just--and it certainly does  
 23 have the vice president's -  
 24 DR. COOK:  
 25 A. Yes.

Page 93

1 COFFEY, Q.C.:

2 Q. - office's stamp. Now, here, Doctor, why May,

3 '97 to March 31, 2004?

4 DR. COOK:

5 A. That was information that was given to me from

6 Mr. Gulliver as to when we had the start up of

7 the ER and PR on the DAKO system.

8 COFFEY, Q.C.:

9 Q. That's the May, '97 date?

10 DR. COOK:

11 A. Yes.

12 COFFEY, Q.C.:

13 Q. March 31, 2004 date?

14 DR. COOK:

15 A. That was when we discontinued the DAKO

16 staining and started the Ventana operation.

17 And that, again, would have been information

18 given to me by Mr. Gulliver.

19 COFFEY, Q.C.:

20 Q. Now, in terms of what ER negative is, if we

21 look at paragraph 4 it says, "This applies to

22 all cases that are ER negative on the primary

23 breast lesion, independent of PR status. ER

24 negative being defined as ten percent or

25 less."

Page 94

1 DR. COOK:

2 A. Yes.

3 COFFEY, Q.C.:

4 Q. Where did the ten percent come from?

5 DR. COOK:

6 A. That was probably in relation to the study or

7 I was using at that time the ten percent

8 cutoff that study that Dr. Carter was doing.

9 I did realize or I may have realized at that

10 time that we were using a 30 percent cutoff

11 that the oncologists were interpreting. This

12 was more, this was more of a clinical

13 interpretation as opposed to a lab

14 interpretation as to the cutoff.

15 COFFEY, Q.C.:

16 Q. So, I'm sorry, which is the clinical

17 interpretation?

18 DR. COOK:

19 A. The ten percent.

20 COFFEY, Q.C.:

21 Q. Ten percent?

22 DR. COOK:

23 A. Yeah. And I probably at that point didn't

24 realize that we were using or the oncologists

25 were using the 30 percent.

Page 95

1 COFFEY, Q.C.:

2 Q. Were using -

3 DR. COOK:

4 A. So for all intents and purposes I should have

5 put in that 30 percent there.

6 COFFEY, Q.C.:

7 Q. Now, Doctor, you do say in paragraph 5 that

8 "All ERs and PRs performed on the Ventana

9 system from April 1, 2004 to August 9th, 2005

10 will be referred to Mount Sinai as above." So

11 the point was all ER and PRs, whether positive

12 or negative?

13 DR. COOK:

14 A. Yeah, that was -

15 COFFEY, Q.C.:

16 Q. At that point?

17 DR. COOK:

18 A. - the thinking at the time, yes.

19 COFFEY, Q.C.:

20 Q. The Ventana we're going to--done on the

21 Ventana system in St. John's were going to be

22 sent to Mount Sinai?

23 DR. COOK:

24 A. Um-hm.

25 COFFEY, Q.C.:

Page 96

1 Q. So, Doctor, did any of this then--well, we

2 know that the paragraph 5 changed, because

3 you've told us that.

4 DR. COOK:

5 A. Yeah.

6 COFFEY, Q.C.:

7 Q. It got limited to the ER negatives on the

8 Ventana system. But what about this ten

9 percent, how did that work itself out?

10 DR. COOK:

11 A. Well, that changed after I had a discussion

12 with Dr. Kara Laing in her office on August

13 the 10th where I was trying to or trying to

14 determine what oncologists were interpreting

15 as cutoff points, and in that discussion they

16 were using 30 percent or less up until, I

17 believe, the end of December of 2000. And

18 following that, starting in January of--up to

19 December of '99 and then from January of 2000,

20 I believe, they were using a cutoff of ten

21 percent or less, clinical cutoff.

22 COFFEY, Q.C.:

23 Q. If we could, Exhibit P-0942? Doctor, this is

24 an office copy, I take it, because you got

25 that little check mark there. That check mark



Page 97

1 in your practice means what?

2 DR. COOK:

3 A. That memo would have been signed and released.

4 COFFEY, Q.C.:

5 Q. Okay. So and this is your--this would be a

6 copy, your office copy?

7 DR. COOK:

8 A. Office copy.

9 COFFEY, Q.C.:

10 Q. Okay. And this is the August 8th, 2005 memo

11 to all pathologists on the--advising in St.

12 John's and Dr. Williams and Mr. Dyer and Mr.

13 Gulliver of the retrospective retesting?

14 DR. COOK:

15 A. Yes.

16 COFFEY, Q.C.:

17 Q. This is the one. If we look down here on the

18 right-hand side, that's your handwriting?

19 DR. COOK:

20 A. Yes.

21 COFFEY, Q.C.:

22 Q. Okay. So, Doctor, perhaps does that assist

23 you, then, here you've written "2001, ten

24 percent."

25 DR. COOK:

Page 98

1 A. Um-hm.

2 COFFEY, Q.C.:

3 Q. And then you've got "2000 and '99" with an

4 arrow to '97.

5 DR. COOK:

6 A. Right.

7 COFFEY, Q.C.:

8 Q. "Cutoff less than 30 percent"?

9 DR. COOK:

10 A. Yes.

11 COFFEY, Q.C.:

12 Q. And then you've written, "Spoke to Dr. Laing,

13 August 10th, 2005 regarding this."

14 DR. COOK:

15 A. Yes.

16 COFFEY, Q.C.:

17 Q. And then "January, 2001 onward, oncologist

18 decision to use ten percent as cutoff." And

19 "Patient treated by radiation oncologists in

20 '99, 2000 area."

21 DR. COOK:

22 A. Right.

23 COFFEY, Q.C.:

24 Q. So what was the last comment about, do you

25 recall that?

Page 99

1 DR. COOK:

2 A. Oh, that last comment, again, referred to the

3 oncology shortage that we had around 2000, and

4 there was a shortage of medical oncologists

5 and they were being treated with radiation

6 oncologists.

7 COFFEY, Q.C.:

8 Q. So these are your notes made of that August

9 10th meeting with Dr. Laing?

10 DR. COOK:

11 A. Yes.

12 COFFEY, Q.C.:

13 Q. So up to December 31, 2000, the day before

14 January 1, 2001?

15 DR. COOK:

16 A. Yes.

17 COFFEY, Q.C.:

18 Q. It would be less than 30 percent?

19 DR. COOK:

20 A. Yes.

21 COFFEY, Q.C.:

22 Q. And then beginning January, 2001, January 1st,

23 2001 onward, ten percent was used as the

24 cutoff here?

25 DR. COOK:

Page 100

1 A. That's correct. And these are, I mean, there

2 could be variation. I mean, you might have

3 variations in cutoffs by individual

4 oncologists, but this was sort of a cutoff

5 point that we were using.

6 COFFEY, Q.C.:

7 Q. And on that point, Doctor, I wanted to take

8 that up with you because, for example, if an

9 oncologist in, say, March of 2001, a

10 particular oncologist, March, 2001, was

11 utilizing, still utilizing a 30 percent

12 cutoff?

13 DR. COOK:

14 A. Um-hm.

15 COFFEY, Q.C.:

16 Q. And in this review if a patient had an ER of

17 20 percent in March, 2001, would that patient

18 have been retested?

19 DR. COOK:

20 A. No, that patient would have fell out of the

21 criteria.

22 COFFEY, Q.C.:

23 Q. Despite the fact that the individual

24 oncologist might have actually, back in March,

25 2001, treated the patient as being negative?

Page 101

1 DR. COOK:  
 2 A. Possible, yes.  
 3 COFFEY, Q.C.:  
 4 Q. And this January 1, 2001 date, how hard and  
 5 fast were you given to understand that was?  
 6 DR. COOK:  
 7 A. It wasn't hard and fast. I mean, it was a  
 8 point that we agreed upon that we would use as  
 9 criteria. When we got into the panelling  
 10 process there were oncologists who were  
 11 treating at five percent, 15 percent, 20  
 12 percent, so it was a cutoff that we had used  
 13 as criteria for the panelling process which  
 14 involved our oncologists and surgeons and  
 15 ourselves.  
 16 COFFEY, Q.C.:  
 17 Q. Was any thought give, Doctor, to just simply  
 18 using 30 percent as the cutoff for all  
 19 retesting?  
 20 DR. COOK:  
 21 A. No.  
 22 COFFEY, Q.C.:  
 23 Q. Okay. The idea of--because I take it there  
 24 was never any suggestion any oncologist was  
 25 using more than 30 percent -

Page 102

1 DR. COOK:  
 2 A. No, that I can remember.  
 3 COFFEY, Q.C.:  
 4 Q. Okay. So but by adopting some standard like  
 5 that, one would have picked up for retest then  
 6 anybody who conceivably could have been  
 7 characterized years ago as negative? Take in  
 8 2001, what I'm getting at is in 2001, the  
 9 spring of 2001, if there were straggles  
 10 amongst the oncologists still utilizing 30  
 11 percent, they would -  
 12 DR. COOK:  
 13 A. It's possible, yes.  
 14 COFFEY, Q.C.:  
 15 Q. They would have been picked up. But anyway,  
 16 there was no thought given to it?  
 17 DR. COOK:  
 18 A. No, it didn't come up for discussion.  
 19 COFFEY, Q.C.:  
 20 Q. Exhibit P-0559, please? Doctor, just before I  
 21 forget, having been so apprised on August 10th  
 22 of that by Dr. Carter, did you do anything  
 23 then to change the criteria?  
 24 DR. COOK:  
 25 A. You mean -

Page 103

1 COFFEY, Q.C.:  
 2 Q. To factor in this 30 percent?  
 3 DR. COOK:  
 4 A. Apprised by Dr. Carter -  
 5 COFFEY, Q.C.:  
 6 Q. See, well--and I apologise, Dr. Carter. Dr.  
 7 Laing, I apologise. On August 10th you met  
 8 with Dr. Laing -  
 9 DR. COOK:  
 10 A. Yes.  
 11 COFFEY, Q.C.:  
 12 Q. And you've told us about that, and she  
 13 mentioned the 30 percent back in '98 through -  
 14 DR. COOK:  
 15 A. Right.  
 16 COFFEY, Q.C.:  
 17 Q. - the end of 2000, and you, in your memo of  
 18 August 8th, initially had been thinking well,  
 19 ten percent.  
 20 DR. COOK:  
 21 A. Yes.  
 22 COFFEY, Q.C.:  
 23 Q. Going all the way back. Did you then  
 24 communicate this difference in utilizing 30  
 25 percent?

Page 104

1 DR. COOK:  
 2 A. Not to the pathologist. I would have  
 3 indicated that to our technologists who were  
 4 sequestering in the blocks of slides. That  
 5 would have been Mr. Gulliver and Mr. Dyer.  
 6 COFFEY, Q.C.:  
 7 Q. And now in terms of the technologists, this is  
 8 a signed copy of a memo of August 8th 2005 to  
 9 Mr. Gulliver and Mr. Dyer and Ms. Butler, Mary  
 10 Butler, Ken Green and Les Simms.  
 11 DR. COOK:  
 12 A. Um-hm.  
 13 COFFEY, Q.C.:  
 14 Q. I take it that Ms. Butler, Mr. Green and Mr.  
 15 Simms were mentioned here because they are the  
 16 three who were doing ER and PR staining?  
 17 DR. COOK:  
 18 A. That's correct.  
 19 COFFEY, Q.C.:  
 20 Q. And subject is "estrogen receptors,  
 21 progesterone receptors. There will be a hold  
 22 on reporting of all ERS and PRs by all  
 23 pathologists. The IHC form will continue to  
 24 be filled out by our pathologists. Upon  
 25 receipt of the immunohistochemical form, fax a

Page 105

1 copy to Dr. Carter at St. Clare's. We will  
 2 continue to proceed with requests and return  
 3 stained ER and PR slides using the Ventana  
 4 system to the ordering pathologist. Following  
 5 this, the same paraffin block will be  
 6 forwarded to Dr. Carter at St. Clare's. Dr.  
 7 Carter will forward the paraffin blocks to  
 8 Mount Sinai with the standardized request.  
 9 The Mount Sinai report with the slides and  
 10 paraffin block will be returned to the St.  
 11 Clare's site."  
 12 DR. COOK:  
 13 A. Um-hm.  
 14 COFFEY, Q.C.:  
 15 Q. So I take it this was your method of getting  
 16 the technologists in the loop, as it were, on  
 17 this parallel processing?  
 18 DR. COOK:  
 19 A. That's correct.  
 20 COFFEY, Q.C.:  
 21 Q. And the second page of this exhibit, I take it  
 22 this is your handwriting here next to  
 23 paragraph five?  
 24 DR. COOK:  
 25 A. Yes.

Page 106

1 COFFEY, Q.C.:  
 2 Q. You have written here "with a note requesting  
 3 what is ordered. If slides are also sent,  
 4 please attach a note stating what is ordered,"  
 5 and you got September 29th '05.  
 6 DR. COOK:  
 7 A. Um-hm.  
 8 COFFEY, Q.C.:  
 9 Q. See that? What was this note about? Who was  
 10 it to and why was it sent September--or why  
 11 did you make it September 29th?  
 12 DR. COOK:  
 13 A. "With a note requesting what is ordered. If  
 14 all slides are also sent, please attach a  
 15 note" I can't remember exactly what that  
 16 refers to, Mr. Coffey.  
 17 COFFEY, Q.C.:  
 18 Q. Because it's around the time that you've  
 19 indicated that you had the conversation in  
 20 October of '05 with someone about the fact  
 21 that the slides were not being stained. Like  
 22 this is September 29th -  
 23 DR. COOK:  
 24 A. Yes.  
 25 COFFEY, Q.C.:

Page 107

1 Q. - and you said it is October you recall that  
 2 you first found out the slides were not, in  
 3 fact, being stained.  
 4 DR. COOK:  
 5 A. I can't be absolutely sure on that.  
 6 COFFEY, Q.C.:  
 7 Q. Okay.  
 8 THE COMMISSIONER:  
 9 Q. Mr. Coffey, wherever you can find a point for  
 10 the break.  
 11 COFFEY, Q.C.:  
 12 Q. Thank you, Commissioner. If we could, please,  
 13 Exhibit P-0557? These are some notes, Doctor,  
 14 of again Dr. Williams of meetings, but first  
 15 of all, it's yourself, him and Mr. Gulliver,  
 16 and there's a note on the fourth or fifth  
 17 bullet that you are about to or you plan to  
 18 speak to Dr. Laing re: how cases were treated  
 19 based upon degree of positivity.  
 20 DR. COOK:  
 21 A. Right.  
 22 COFFEY, Q.C.:  
 23 Q. "Check list to see who is alive." Whose  
 24 responsibility was it to identify the deceased  
 25 patients?

Page 108

1 DR. COOK:  
 2 A. That was Heather Predham.  
 3 COFFEY, Q.C.:  
 4 Q. Next bullet says "all blocks will be pulled  
 5 and then Dr. Cook and Dr. Fontaine will review  
 6 blocks and will send in one big package."  
 7 What was--"it will be next week before blocks  
 8 sent off. Three to four weeks for retesting."  
 9 Now Doctor, the idea of yourself and Dr.  
 10 Fontaine, what were you going to be doing  
 11 here?  
 12 DR. COOK:  
 13 A. Well, I would be reviewing the blocks and  
 14 slides from the Grace and St. Clare's and Dr.  
 15 Fontaine would be reviewing the slides from  
 16 the General Hospital site, and this was to do--  
 17 we would look at the histology, confirm that  
 18 there's tumour there, verify that the original  
 19 ER and PR was ordered on a particular block,  
 20 and that block from which the initial order  
 21 request was made would be referred to Mount  
 22 Sinai.  
 23 COFFEY, Q.C.:  
 24 Q. So you'd be doing it for the blocks from two  
 25 original hospital sites and Dr. Fontaine was

Page 109

1 going to do the others?  
 2 DR. COOK:  
 3 A. Just the General.  
 4 COFFEY, Q.C.:  
 5 Q. Done at the General, and I take it that would  
 6 be with a view to making sure you had the  
 7 appropriate blocks to be sent?  
 8 DR. COOK:  
 9 A. Yes.  
 10 COFFEY, Q.C.:  
 11 Q. Okay. It says here "will be next week before  
 12 the blocks sent off," fine, and then it says  
 13 "three to four weeks for retesting."  
 14 DR. COOK:  
 15 A. Um-hm.  
 16 COFFEY, Q.C.:  
 17 Q. What was the basis for that?  
 18 DR. COOK:  
 19 A. That would be--I mean, that would have been my  
 20 discussions I had with Maria Mendes. I  
 21 probably would have had discussions with her  
 22 or with Ken Pritzker regarding the turnaround  
 23 times for the cases.  
 24 COFFEY, Q.C.:  
 25 Q. And for the retesting cases?

Page 110

1 DR. COOK:  
 2 A. I believe the retesting.  
 3 COFFEY, Q.C.:  
 4 Q. Now when you were discussing that with them,  
 5 what, if anything, did you tell them about the  
 6 sheer number of cases?  
 7 DR. COOK:  
 8 A. Well, when I spoke to Maria Mendes, the number  
 9 that I had was about 500-550. That was the  
 10 number given to me, an approximate from Mr.  
 11 Gulliver.  
 12 COFFEY, Q.C.:  
 13 Q. Did you pass that on to her?  
 14 DR. COOK:  
 15 A. Maria Mendes?  
 16 COFFEY, Q.C.:  
 17 Q. Yes.  
 18 DR. COOK:  
 19 A. Yes.  
 20 COFFEY, Q.C.:  
 21 Q. And when was that, do you recall?  
 22 DR. COOK:  
 23 A. Maybe sometime in August, maybe early  
 24 September. It's in my notes.  
 25 COFFEY, Q.C.:

Page 111

1 Q. Okay, and she told you what, that it would  
 2 take how long?  
 3 DR. COOK:  
 4 A. I think until the end of September, I believe.  
 5 That was approximate time period.  
 6 COFFEY, Q.C.:  
 7 Q. Now did that only include the St. John's cases  
 8 at that point?  
 9 DR. COOK:  
 10 A. I can't be sure, maybe, Mr.--I can't be  
 11 absolutely sure on that.  
 12 COFFEY, Q.C.:  
 13 Q. Because it's about 500, St. John's is about  
 14 half the province, so -  
 15 DR. COOK:  
 16 A. Yeah, I think at that time it may be an  
 17 estimate of the total Newfoundland population.  
 18 I mean, I can't be absolutely sure.  
 19 COFFEY, Q.C.:  
 20 Q. Okay, and the third last bullet notes that  
 21 "maybe one and a half to two months to get all  
 22 the reports done."  
 23 DR. COOK:  
 24 A. Um-hm.  
 25 COFFEY, Q.C.:

Page 112

1 Q. And one and a half to two months, what does  
 2 this mean, refer to?  
 3 DR. COOK:  
 4 A. That probably would have been the 500 or 550  
 5 we were talking about.  
 6 COFFEY, Q.C.:  
 7 Q. Get them ready to go?  
 8 DR. COOK:  
 9 A. Will have the stains done and reports back to  
 10 us.  
 11 COFFEY, Q.C.:  
 12 Q. And if I could, Commissioner, just before we  
 13 break, there's another note here of Dr.  
 14 Williams. It's undated, but it refers to "Dr.  
 15 Cook and myself," that would be Dr. Williams,  
 16 "talked with Dr. Laing," and I take it this is  
 17 referring to "prior to 2000, ER/PR negative,  
 18 post-menopausal women got Tamoxifen anyway.  
 19 This practice changed in 2002" and then "of  
 20 women who test positive, most are ER positive  
 21 and PR positive, less are ER positive and PR  
 22 negative. Five to ten percent are ER negative  
 23 plus PR positive. It was felt this number is  
 24 now less than five to ten percent."  
 25 So who was providing this information

Page 113

1 about what's to be expected, in terms of how  
 2 many would test ER negative and PR positive?  
 3 DR. COOK:  
 4 A. That was coming from Dr. Laing, I believe.  
 5 COFFEY, Q.C.:  
 6 Q. And as of that point, which would be--I gather  
 7 this is probably August, sometime in August  
 8 2005, was there any focus on the fact that in  
 9 the past, a number of patients had tested ER  
 10 negative and PR positive in St. John's?  
 11 DR. COOK:  
 12 A. I can't be absolutely sure on that. I mean,  
 13 there may have been.  
 14 COFFEY, Q.C.:  
 15 Q. Because it arises here.  
 16 DR. COOK:  
 17 A. Yes.  
 18 COFFEY, Q.C.:  
 19 Q. It's brought up at a meeting and Dr. Laing  
 20 provides this information, statistic,  
 21 suggesting that perhaps less than five to ten  
 22 percent of people would be ER negative and PR  
 23 positive.  
 24 DR. COOK:  
 25 A. ER negative and PR positive, yes.

Page 114

1 COFFEY, Q.C.:  
 2 Q. And yet, we now know that there are quite a  
 3 number.  
 4 DR. COOK:  
 5 A. Yes.  
 6 COFFEY, Q.C.:  
 7 Q. From this area that originally tested that  
 8 way.  
 9 DR. COOK:  
 10 A. Yes.  
 11 COFFEY, Q.C.:  
 12 Q. I'm wondering, did that arise at that time as  
 13 kind of an area of concern by the oncologists?  
 14 DR. COOK:  
 15 A. I can't be absolutely sure of how that figure  
 16 arose. I mean, I really can't, I can't say.  
 17 COFFEY, Q.C.:  
 18 Q. And before we leave this, the end of this note  
 19 says, second last bullet, "first list June  
 20 29th '04, 16 to 25 converted on Ventana. 10  
 21 of 16 were told. Of the six remaining, some  
 22 were dead and some were already treated." And  
 23 "the second list, July 18th, 2005, 25 of 32,  
 24 oncologists wish to have repeats from Mount  
 25 Sinai."

Page 115

1 DR. COOK:  
 2 A. Yes.  
 3 COFFEY, Q.C.:  
 4 Q. So I take it the oncologists wanted those in  
 5 the second grouping, the 25 to 32?  
 6 DR. COOK:  
 7 A. That's correct, and they -  
 8 COFFEY, Q.C.:  
 9 Q. Retested at Mount Sinai?  
 10 DR. COOK:  
 11 A. Yes.  
 12 COFFEY, Q.C.:  
 13 Q. Thank you, Commissioner.  
 14 THE COMMISSIONER:  
 15 Q. Take the morning break.  
 16 (RECESS)  
 17 THE COMMISSIONER:  
 18 Q. Please be seated. Mr. Coffey.  
 19 COFFEY, Q.C.:  
 20 Q. Thank you, Commissioner. Exhibit P-0941,  
 21 please? Now Doctor, this is an e-mail of  
 22 August 8th, 2005 from Heather Predham to Dr.  
 23 Williams, yourself and Mr. Gulliver and Ms.  
 24 Pilgrim and the subject is "overall database."  
 25 Doctor, during your involvement in this

Page 116

1 matter, did you ever have any concerns about  
 2 how complete the database was in terms of its  
 3 identifying all the people who were ER  
 4 negative?  
 5 DR. COOK:  
 6 A. Well, I think most of us or all of us had some  
 7 concerns whether we were going to capture all  
 8 the names. I mean, you're dealing with a  
 9 database that I would say is less than  
 10 perfect. I don't think there's 100 percent  
 11 guarantee that you're going to capture every  
 12 name. That was sort of the thinking that was  
 13 going around.  
 14 COFFEY, Q.C.:  
 15 Q. I take it at various points that was  
 16 discussed, the challenges were discussed?  
 17 DR. COOK:  
 18 A. Yes, there were significant challenges in  
 19 getting this together.  
 20 COFFEY, Q.C.:  
 21 Q. And from your perspective, I think earlier you  
 22 told us, Doctor, that in terms of the actual  
 23 identification of the patients, it was the  
 24 responsibility, from your perspective, of Ms.  
 25 Predham, combined with Mr. Gulliver and Mr.

Page 117

1 Dyer?  
 2 DR. COOK:  
 3 A. Yes.  
 4 COFFEY, Q.C.:  
 5 Q. That between them, they'd somehow accomplish  
 6 that?  
 7 DR. COOK:  
 8 A. Yes.  
 9 COFFEY, Q.C.:  
 10 Q. From your own perspective, Doctor, were you  
 11 ever actually personally satisfied or  
 12 comfortable that everybody had been  
 13 identified?  
 14 DR. COOK:  
 15 A. Pretty much, but always in the back of my  
 16 mind, I mean, as I said before, no system is  
 17 perfect and you can't absolutely guarantee  
 18 that 100 percent of those individuals will be  
 19 captured in the database.  
 20 COFFEY, Q.C.:  
 21 Q. And I take it, Doctor, that would be because  
 22 of your knowledge of the fact that this  
 23 involved numerous sites, at least three  
 24 different hospital sites originally?  
 25 DR. COOK:

Page 118

1 A. Yes.  
 2 COFFEY, Q.C.:  
 3 Q. Different computer systems.  
 4 DR. COOK:  
 5 A. That's correct, we were using -  
 6 COFFEY, Q.C.:  
 7 Q. You know, and just a whole bunch of different  
 8 criteria that it would be difficult to be  
 9 certain that you'd gotten everybody?  
 10 DR. COOK:  
 11 A. I would say that. I mean, this was an  
 12 unprecedented task that we had taken on, not  
 13 only here in St. John's but from across the  
 14 province as well.  
 15 COFFEY, Q.C.:  
 16 Q. Yes. And Doctor, here on this e-mail, there's  
 17 a reference to a hotline and it says "I'm  
 18 meeting with our staff re: the hotline and  
 19 what needs to be put in place. The biggest  
 20 thing from our perspective will be the answers  
 21 to the items identified in our script. We  
 22 will work on those today. Also, will be  
 23 informing GPs of this issue? I think Kara  
 24 Laing suggested that the letter use wording  
 25 like 'you will be notified by the physician

Page 119

1 following your cancer and an appointment made  
 2 to discuss results'" Now Doctor, I just refer  
 3 to this because I wanted to ask you about the  
 4 idea of notifying patients and what, if any,  
 5 input you had into that, notifying the public  
 6 or patients or physicians, and this happens to  
 7 be August 8th, and I gather the matter had  
 8 arisen before that?  
 9 DR. COOK:  
 10 A. Um-hm.  
 11 COFFEY, Q.C.:  
 12 Q. So looking back on it, from your perspective,  
 13 were you ever asked about your views on it,  
 14 for your own input?  
 15 DR. COOK:  
 16 A. Well, I was involved in some meetings and  
 17 committees regarding my view. My view at the  
 18 time was until we had all the information, we  
 19 had the scope and extent of the problem, and  
 20 we had the results back, that would be the  
 21 time to go public and disclose. So that was  
 22 my view that I put forward.  
 23 COFFEY, Q.C.:  
 24 Q. Now Doctor, did you envisage that you'd be  
 25 getting all the results back at one time?

Page 120

1 DR. COOK:  
 2 A. Well, it depended on how well we could send  
 3 the tissue off. I mean, if we sent the tissue  
 4 off at one time, I was envisioned that we  
 5 would get the results probably so many results  
 6 per week over a time period, as opposed to not  
 7 getting all the results at one time. So we  
 8 were sort of looking at, you know, 10 to 12--  
 9 you know, 10 to 20 cases per week and working  
 10 on those.  
 11 COFFEY, Q.C.:  
 12 Q. And what I'm getting at, Doctor, here is this,  
 13 and like now, certainly with the benefit of  
 14 hindsight, how realistic was it to think that  
 15 you could have 500 cases retested, get the  
 16 results back, notify the patients of the  
 17 results and then, and only then, tell the  
 18 public, without it becoming public in the  
 19 first place?  
 20 DR. COOK:  
 21 A. When I think in hindsight, we certainly had to  
 22 rethink that. I mean, that's hindsight, Mr.  
 23 Coffey.  
 24 COFFEY, Q.C.:  
 25 Q. And that's why I phrased it that way, Doctor,

Page 121

1 in terms of that. At the time that this was  
 2 discussed, I take it at some of the meetings  
 3 you attended, there was discussion of that  
 4 very issue?  
 5 DR. COOK:  
 6 A. Um-hm.  
 7 COFFEY, Q.C.:  
 8 Q. Whether to go public in the summer of 2005?  
 9 DR. COOK:  
 10 A. Yes.  
 11 COFFEY, Q.C.:  
 12 Q. And I understand that, we've heard evidence  
 13 that Dr. Laing certainly, on behalf of the  
 14 oncologists, voiced the view that it should  
 15 wait.  
 16 DR. COOK:  
 17 A. Yes.  
 18 COFFEY, Q.C.:  
 19 Q. Which is coinciding with what you just  
 20 expressed. Did anyone ever challenge--well,  
 21 first of all, I'll ask you, did you voice your  
 22 own view at those meetings?  
 23 DR. COOK:  
 24 A. I would voice my own view that until we knew  
 25 the scope and extent of the problem, and until

Page 122

1 we had the results back, we should wait.  
 2 COFFEY, Q.C.:  
 3 Q. Did anyone ever challenge you on--and say to  
 4 you, "Doctor, look, how realistic is that?  
 5 Because as soon as we begin to get results  
 6 back, we will tell patients, and as soon as we  
 7 tell the first 5, 10, 20, 30 patients, at some  
 8 point, it's going to go public and we're still  
 9 going to have hundreds more who don't have  
 10 results." So did anyone ever challenge you on  
 11 that?  
 12 DR. COOK:  
 13 A. I mean -  
 14 COFFEY, Q.C.:  
 15 Q. Or Dr. Laing, while you were there?  
 16 DR. COOK:  
 17 A. No. There was concerns from Dr. Williams. I  
 18 think he felt that we should go public  
 19 immediately. He voiced his concerns about  
 20 that. He was the only one that I can remember  
 21 expressing that. I mean, it was pretty well  
 22 consensus opinion from oncologists and  
 23 surgeons and administrative people, other  
 24 administrative people, to wait until we get  
 25 the results.

Page 123

1 COFFEY, Q.C.:  
 2 Q. They were administrative people within Eastern  
 3 Health?  
 4 DR. COOK:  
 5 A. Yes.  
 6 COFFEY, Q.C.:  
 7 Q. And Doctor, you recall Dr. Williams expressing  
 8 the view, go public. I take it he--was he  
 9 saying go public because it's going to go  
 10 public anyway?  
 11 DR. COOK:  
 12 A. I think he wanted to go as public as quickly  
 13 as possible.  
 14 COFFEY, Q.C.:  
 15 Q. Yes, and in other words, before, I take it,  
 16 the results were back?  
 17 DR. COOK:  
 18 A. Yes.  
 19 COFFEY, Q.C.:  
 20 Q. The idea of telling the physicians, what about  
 21 that? I mean, telling like GPs about the fact  
 22 that this is going on, telling the physicians  
 23 of Newfoundland. This is referred to here in  
 24 this, as of August 8th, 2005. The subject is  
 25 raised "also, will we be informing GPs of this

Page 124

1 issue?" So what was the view amongst the  
 2 physicians involved in this as to whether or  
 3 not GPs should be told?  
 4 DR. COOK:  
 5 A. I can't remember much discussion around that,  
 6 Mr. Coffey. I can't remember that being  
 7 discussed, if any, or to any detail.  
 8 COFFEY, Q.C.:  
 9 Q. If we could, please, Exhibit P-0562? Now this  
 10 is an e-mail of August 9th, 2005. It's to a  
 11 number of individuals, including yourself,  
 12 from Debbie Parsons. Who's Debbie Parsons?  
 13 DR. COOK:  
 14 A. I believe she's one of our--one of the  
 15 secretaries with QI.  
 16 COFFEY, Q.C.:  
 17 Q. And the subject is from Heather Predham re:  
 18 Dr. Carter's retesting results, and she says  
 19 "Hi, all. I have Dr. Carter's retesting  
 20 results entered in the database and have  
 21 summarized the results as attached" and she  
 22 makes reference to "I think I may be able to  
 23 get the Tamoxifen prescribed by MCP from  
 24 Pharmacy." Do you recall what this was about?  
 25 DR. COOK:

Page 125

1 A. I think there was an attempt to identify ER  
 2 and PR positive patients and trying to  
 3 determine how many got the Tamoxifen. It was  
 4 just a way of trying to determine how many  
 5 patients we have that were ER/PR positive. I  
 6 think that wasn't pursued further because she  
 7 couldn't really make that kind of correlation.  
 8 So I don't think that was pursued to any great  
 9 extent.  
 10 COFFEY, Q.C.:  
 11 Q. And the reference to Dr. Carter's retesting  
 12 results entered in the database, do you recall  
 13 which retesting results are we talking about  
 14 here and what database? And then she says--  
 15 I'll go to the next page, she says "I have  
 16 summarized the results as attached" and this  
 17 is the attachment.  
 18 DR. COOK:  
 19 A. Again, this may refer to the original testing  
 20 of 25 to 33 that we've had.  
 21 COFFEY, Q.C.:  
 22 Q. So the database referred to here, do you  
 23 recall what database this was at that point in  
 24 time?  
 25 DR. COOK:

Page 126

1 A. I can't recollect, Mr. Coffey.  
 2 COFFEY, Q.C.:  
 3 Q. Now, if we could, Exhibit, please, P-0564?  
 4 Now Doctor, this is Dr. Williams' notes of a  
 5 meeting of August 10th, 2005. Page five of  
 6 the exhibit is the typed version of it, and  
 7 it's a meeting on ER/PR receptors. There are  
 8 a number of individuals present, Mr. Tilley,  
 9 Dr. Laing, Ms. Pilgrim, yourself, Dr.  
 10 Williams, and you note here, at least the  
 11 reference here is that, in the fifth bullet,  
 12 it says--your update says "four to six weeks  
 13 for Mount Sinai to report these specimens."  
 14 DR. COOK:  
 15 A. Um-hm.  
 16 COFFEY, Q.C.:  
 17 Q. Which would suggest that it's going to take  
 18 you two weeks, in the bullet above, to get--  
 19 two weeks to get the blocks to Mount Sinai. I  
 20 take it these would be the St. John's blocks?  
 21 DR. COOK:  
 22 A. Most of those would be St. John's, I believe.  
 23 COFFEY, Q.C.:  
 24 Q. Well, at that point in time, I take it, there  
 25 were no other blocks in St. John's other than

Page 127

1 the St. John's blocks and the group sent by  
 2 Maurice Dalton at the end of June?  
 3 DR. COOK:  
 4 A. Yeah, the concentration initially was on the  
 5 St. John's cases.  
 6 COFFEY, Q.C.:  
 7 Q. So at that--as of August 10th, had the other  
 8 medical directors elsewhere in the province  
 9 even been asked to send?  
 10 DR. COOK:  
 11 A. I can't be sure of that, that specific date.  
 12 COFFEY, Q.C.:  
 13 Q. So the St. John's, at the earliest, was going  
 14 to be back by the end of September?  
 15 DR. COOK:  
 16 A. That's what we were looking at.  
 17 COFFEY, Q.C.:  
 18 Q. And then any other cases, there'd be a  
 19 corresponding delay, depending upon when they  
 20 got them to St. John's for retest--to be sent  
 21 to Mount Sinai for retesting?  
 22 DR. COOK:  
 23 A. There would have been a delay, yes.  
 24 COFFEY, Q.C.:  
 25 Q. So for example, if it was to take, I don't

Page 128

1 know, three weeks for Grand Falls to get their  
 2 material together and send it to St. John's,  
 3 it would have to be repackaged in St. John's,  
 4 collated and sent off to Mount Sinai, so you'd  
 5 be talking two to three months for other  
 6 hospitals outside St. John's to have their  
 7 material -  
 8 DR. COOK:  
 9 A. Depending how quickly they can get it into us,  
 10 you know. Again, I can't give an exact time  
 11 period with that.  
 12 COFFEY, Q.C.:  
 13 Q. Here, in the second last bullet, attributed to  
 14 your own comments, it says "all available  
 15 resources are being applied."  
 16 DR. COOK:  
 17 A. Yes.  
 18 COFFEY, Q.C.:  
 19 Q. Still doing a heavy workload ongoing."  
 20 DR. COOK:  
 21 A. That's right.  
 22 COFFEY, Q.C.:  
 23 Q. So you were bringing this to Dr. Williams and  
 24 Mr. Tilley's attention here?  
 25 DR. COOK:



Page 129

1 A. Yes.  
 2 COFFEY, Q.C.:  
 3 Q. Did you ever ask them for any other resources?  
 4 DR. COOK:  
 5 A. I was asking for more--in terms of resources,  
 6 we didn't have the available manpower. I  
 7 mean, if you were going to bring somebody into  
 8 the lab, you were going to have to train them  
 9 and first of all, to know how--where to  
 10 retrieve the various blocks and whatnot and in  
 11 terms of secretarial work, that would require  
 12 some training in terms of getting used to  
 13 various laboratory modules. What we were  
 14 primarily looking for in resources were  
 15 increased financial resources for overtime and  
 16 that sort of thing.  
 17 COFFEY, Q.C.:  
 18 Q. So did you obtain those?  
 19 DR. COOK:  
 20 A. We got the financial resources, like for  
 21 overtime for our secretaries and lab aides and  
 22 pulling out the various blocks and whatnot, I  
 23 believe, and most of that pulling of the  
 24 blocks were with--by Mr. Gulliver or Mr. Dyer.  
 25 COFFEY, Q.C.:

Page 130

1 Q. So I take it that you were given what  
 2 financial resources you requested?  
 3 DR. COOK:  
 4 A. Yes.  
 5 COFFEY, Q.C.:  
 6 Q. And I take it you're telling the Commissioner,  
 7 there wasn't really much point in looking for  
 8 more people because it would take a while even  
 9 to train them?  
 10 DR. COOK:  
 11 A. We would have to train them, yes, so it's come  
 12 as you are.  
 13 COFFEY, Q.C.:  
 14 Q. Here, under Heather Predham's update, the  
 15 last--fourth bullet says "first page shows  
 16 people who are on Tamoxifen," okay?  
 17 DR. COOK:  
 18 A. Um-hm.  
 19 COFFEY, Q.C.:  
 20 Q. And well, she said, the third bullet, "has a  
 21 list of all people who need to be retested."  
 22 The fourth bullet says "first page shows  
 23 people who are on Tamoxifen." Doctor, if it  
 24 was known that a particular patient was  
 25 already on Tamoxifen, what was the point of

Page 131

1 having their tissue sample retested?  
 2 DR. COOK:  
 3 A. I don't know what Ms. Heather--what Heather  
 4 Predham -  
 5 COFFEY, Q.C.:  
 6 Q. I'm just asking yourself. I mean, from your  
 7 perspective, in terms of this whole matter,  
 8 okay, certainly initially you didn't set out  
 9 to retest the deceased as a priority.  
 10 DR. COOK:  
 11 A. That's right.  
 12 COFFEY, Q.C.:  
 13 Q. Okay, there was, I mean, deal with the living  
 14 patients first.  
 15 DR. COOK:  
 16 A. Um-hm.  
 17 COFFEY, Q.C.:  
 18 Q. Okay. But even amongst the living patients,  
 19 if a patient was already on hormonal treatment  
 20 therapy, whatever the reason, then if their ER  
 21 was negative and it converted to positive, I  
 22 take it you would have envisaged that would  
 23 have no effect on their treatment anyway?  
 24 DR. COOK:  
 25 A. Well, I can't be absolutely sure about that.

Page 132

1 We had ER negative PR negative patients who  
 2 were given Tamoxifen by their physician for  
 3 various other reasons.  
 4 COFFEY, Q.C.:  
 5 Q. Yes, and I appreciate that. What I'm getting  
 6 at is if they were already on it, had already  
 7 been treated, if their ER came back from zero  
 8 to 50 and they were already being treated, you  
 9 would have understood it would probably make  
 10 no difference to the treatment because they  
 11 were already being treated.  
 12 DR. COOK:  
 13 A. Probably.  
 14 COFFEY, Q.C.:  
 15 Q. Correspondingly, for someone who was ER  
 16 negative, zero, and PR 50 already -  
 17 DR. COOK:  
 18 A. Yes.  
 19 COFFEY, Q.C.:  
 20 Q. - what was--and they were on Tamoxifen because  
 21 of the PR 50 percent.  
 22 DR. COOK:  
 23 A. Right.  
 24 COFFEY, Q.C.:  
 25 Q. What was the point of retesting their ER

Page 133

1 status?

2 DR. COOK:

3 A. Because I--when I drew up the list and made

4 the criteria, I didn't know how the ER

5 negative PR positive patients were going to be

6 treated by a variety of oncologists over that

7 time period from '97 to '95 (sic). I simply

8 didn't know how 25 oncologists, over the

9 period of that time span, were treating these

10 patients. So I felt it would be safe to cast

11 as wide a net as possible. When we got these

12 results back, then we would look at these

13 results and the impact of the results on the

14 patients.

15 COFFEY, Q.C.:

16 Q. And so from your perspective, and you did

17 think it through, I take it, from the way

18 you've just described it then, at one point

19 you sat and thought you yourself "well, look,

20 I got so many oncologists. I can't really

21 tell." Some of whom will have moved on.

22 DR. COOK:

23 A. Yes.

24 COFFEY, Q.C.:

25 Q. "I can't tell what criteria they would have

Page 134

1 used to treat or not treat patients in the

2 past, so to be certain, from my own

3 perspective," I, Dr. Cook's perspective, "if

4 it's ER negative, I will have it retested."

5 DR. COOK:

6 A. Yes, that was the criteria.

7 COFFEY, Q.C.:

8 Q. And if it converts, then we'll deal with it.

9 DR. COOK:

10 A. Yes.

11 COFFEY, Q.C.:

12 Q. Okay. As it turns out, Doctor, and the reason

13 I ask it is that as it turns out,

14 approximately 200 people were already on

15 Tamoxifen, you know, when we look at the

16 subsequent results.

17 DR. COOK:

18 A. Yes.

19 COFFEY, Q.C.:

20 Q. Of those retested, about 200 were already, and

21 that's why, you know, the question would

22 arise, well, why retest them if they're

23 already on.

24 DR. COOK:

25 A. Well, I didn't have that information at the

Page 135

1 time, so I wanted to be safe rather than

2 sorry, try to catch as many people as we could

3 in the database.

4 COFFEY, Q.C.:

5 Q. Okay. Page six of this exhibit, if I could,

6 there are some remarks attributed to yourself,

7 where you say--this is attributed to you,

8 "there are deficiencies"--and I'm--actually,

9 I'm going to go back, if I could,

10 Commissioner, to the actual handwritten

11 version of this. It's page three. It says

12 "Dr. Cook, there are deficiencies" I don't

13 know if it's are or were, but "deficiencies in

14 our system re: communication, proficiency

15 testing, quality assurance, need QI -

16 MR. BROWNE:

17 Q. I think that should be person.

18 COFFEY, Q.C.:

19 Q. - person," probably, "for the lab."

20 DR. COOK:

21 A. Yes.

22 COFFEY, Q.C.:

23 Q. So Doctor, here in discussing this at this

24 meeting of August 10th--I apologize, just go

25 back to the right page here, what were you

Page 136

1 referring to here? You're telling the people,

2 participants, what?

3 DR. COOK:

4 A. Well, we were identifying issues within the

5 lab regarding specifically ER and PR.

6 COFFEY, Q.C.:

7 Q. So what was it about communication then? It

8 says "re: communication," deficiencies re:

9 communication?

10 DR. COOK:

11 A. That may be, again, related to the management

12 structure, the organization that we had, the

13 flow through of information, I believe.

14 COFFEY, Q.C.:

15 Q. And the deficiencies in proficiency testing?

16 DR. COOK:

17 A. Well, we had no external proficiency testing

18 for ER and PR specifically.

19 COFFEY, Q.C.:

20 Q. And deficiencies in your system regarding

21 quality assurance?

22 DR. COOK:

23 A. Well, in regards to ER and PR. I didn't refer

24 to deficiencies in our overall quality

25 assurance activities, of which there were

Page 137

1 quite a few.  
 2 COFFEY, Q.C.:  
 3 Q. In terms of ER and PR, I take it -  
 4 DR. COOK:  
 5 A. But in terms of ER and PR.  
 6 COFFEY, Q.C.:  
 7 Q. And how about IHC itself?  
 8 DR. COOK:  
 9 A. Well, as I said earlier, there was no specific  
 10 QI program for IHC other than the fact that  
 11 they were included as part of the general  
 12 population when these cases were referred out  
 13 for review.  
 14 COFFEY, Q.C.:  
 15 Q. So the comment about deficiencies in the  
 16 system regarding communications, that would be  
 17 between the techs, technologists and the  
 18 pathologists generally, not just ER and PR?  
 19 DR. COOK:  
 20 A. Oh, overall.  
 21 COFFEY, Q.C.:  
 22 Q. Yes, and in particular, the IHC techs?  
 23 DR. COOK:  
 24 A. Yes.  
 25 COFFEY, Q.C.:

Page 138

1 Q. Proficiency testing would apply not only to ER  
 2 and PR, but IHC generally. There was no  
 3 particular proficiency testing for IHC?  
 4 DR. COOK:  
 5 A. No, other than proficiency testing for  
 6 pathologists and these external reviews.  
 7 COFFEY, Q.C.:  
 8 Q. And as well, the same comment would apply to  
 9 quality assurance?  
 10 DR. COOK:  
 11 A. Yes, for IHC.  
 12 COFFEY, Q.C.:  
 13 Q. Now sir, "need a QI person for the lab," it  
 14 says program there, but I take it would you  
 15 have recalled that you, in fact, were speaking  
 16 about a QI person for the lab?  
 17 DR. COOK:  
 18 A. That's right. We were getting into looking at  
 19 areas of concerns within the lab and I would  
 20 have been voicing the need for more resources  
 21 to be injected into the lab specifically in  
 22 the area of quality assurance and looking for  
 23 quality assurance coordinator.  
 24 COFFEY, Q.C.:  
 25 Q. And that would be for the lab at large?

Page 139

1 DR. COOK:  
 2 A. For the lab at large, at that time, yes.  
 3 COFFEY, Q.C.:  
 4 Q. And here it notes, "test all ER negatives less  
 5 than 30 percent, about 400 cases to be  
 6 tested." See that?  
 7 DR. COOK:  
 8 A. Yeah.  
 9 COFFEY, Q.C.:  
 10 Q. Here in the typed version, it's attributed to  
 11 yourself. Looking at the handwritten, it's  
 12 hard to tell. I'll just show you, if I could,  
 13 Doctor. I'm just going to show you, Doctor,  
 14 go to page six there. It's right there, but  
 15 when you actually look back at Dr. Williams'  
 16 handwritten notes, this is standing off to  
 17 itself. So was any thought or was this--I  
 18 asked you earlier about this, the idea of  
 19 perhaps testing all under 30 percent. Did  
 20 that come up as a topic?  
 21 DR. COOK:  
 22 A. No, Mr. Coffey, I can't remember that  
 23 specifically.  
 24 COFFEY, Q.C.:  
 25 Q. Okay, and then here, at the very bottom, and

Page 140

1 I'll go to the typed version, page six, it  
 2 notes "Mr. Tilley requested that we not wait  
 3 until we get all one batch. Can we make three  
 4 or four large batches?" So I take it that  
 5 was--you were agreeable to sending them off in  
 6 large batches?  
 7 DR. COOK:  
 8 A. Yeah.  
 9 COFFEY, Q.C.:  
 10 Q. And "what are key messages we should be  
 11 saying?" Did you have any input into that?  
 12 DR. COOK:  
 13 A. I mean, I would have been feeding information  
 14 into Dr. Williams as to the status of the  
 15 ER/PR testing, but most of the decision  
 16 making, I guess, would be with our oncologists  
 17 and our VP and the communications people. So  
 18 I would be providing the VP with updates on  
 19 how many cases we had received and whatnot,  
 20 and what we were doing to review--conducting a  
 21 review in terms of trying to ascertain what  
 22 went wrong in the system.  
 23 COFFEY, Q.C.:  
 24 Q. Doctor, the idea of key messages, like that  
 25 phrase, key messages -

Page 141

1 DR. COOK:  
 2 A. Um-hm.  
 3 COFFEY, Q.C.:  
 4 Q. Is that the sort of phrase that is used in the  
 5 pathology world?  
 6 DR. COOK:  
 7 A. Key messages?  
 8 COFFEY, Q.C.:  
 9 Q. Yes.  
 10 DR. COOK:  
 11 A. I can't say for sure.  
 12 COFFEY, Q.C.:  
 13 Q. No, I appreciate that, but in your world, in  
 14 your work-a-day world, day to day -  
 15 DR. COOK:  
 16 A. Key messages?  
 17 COFFEY, Q.C.:  
 18 Q. Key messaging.  
 19 DR. COOK:  
 20 A. It wouldn't be a term I'd normally use.  
 21 COFFEY, Q.C.:  
 22 Q. And if we could, please, Registrar, Exhibit P-  
 23 1935? Now Doctor, this--these are your--some  
 24 of your handwritten notes.  
 25 DR. COOK:

Page 142

1 A. Um-hm.  
 2 COFFEY, Q.C.:  
 3 Q. And the first of these is August 4th, 2005,  
 4 2:15 p.m. You write "spoke to Maria Mendes at  
 5 Mount Sinai" and what does that say then?  
 6 DR. COOK:  
 7 A. "About logistics of setting up stains of  
 8 paraffin blocks. She states it may take three  
 9 to four weeks to do four to five hundred  
 10 blocks."  
 11 COFFEY, Q.C.:  
 12 Q. And then there's--now on that, if we could  
 13 bring up, please, Exhibit P-1936? Now this is  
 14 a note, Maria Mendes, a phone number.  
 15 DR. COOK:  
 16 A. Um-hm.  
 17 COFFEY, Q.C.:  
 18 Q. "Gather up information, slides, stains,  
 19 interpretation, 500 paraffin block, three -  
 20 DR. COOK:  
 21 A. - to four week turnaround time."  
 22 COFFEY, Q.C.:  
 23 Q. Now Doctor, I take it this is your handwriting  
 24 too?  
 25 DR. COOK:

Page 143

1 A. Yes.  
 2 COFFEY, Q.C.:  
 3 Q. Doctor, this sort of a note, would this be  
 4 made while you were speaking and then  
 5 transcribed into the one we just looked at, or  
 6 would you--I'm just trying to get some sense  
 7 for the Commissioner, because we have--  
 8 sometimes we have notes, and this may have  
 9 been done even before you made the phone call,  
 10 I don't know. I'm just trying to get some  
 11 sense of when you would make notes, in what  
 12 circumstances you'd make various types of  
 13 notes.  
 14 DR. COOK:  
 15 A. Well, something like that, I can tell by the  
 16 quality of my handwriting, that would be  
 17 writing that down when I'm speaking to the  
 18 individual at the same time.  
 19 COFFEY, Q.C.:  
 20 Q. Okay, and if we could then, Exhibit P-1935,  
 21 please? So this sort of a note, and--so we  
 22 have a number of these we're going to look at.  
 23 They're kind of running--some of them are in  
 24 chronological order -  
 25 DR. COOK:

Page 144

1 A. Yes.  
 2 COFFEY, Q.C.:  
 3 Q. - in time, date and time, and we're going to  
 4 see some there slightly out of order, in terms  
 5 of their listing. So when would you make this  
 6 kind of a note?  
 7 DR. COOK:  
 8 A. Well, it was made at the time, the date  
 9 specified.  
 10 COFFEY, Q.C.:  
 11 Q. Okay. So would you have parallel systems of  
 12 notes or just make the one at -  
 13 DR. COOK:  
 14 A. Well, it depends. I mean, if I didn't have my  
 15 binders with me, and sometimes I didn't have  
 16 my binders in my office, I would write on  
 17 scraps of paper and then if I remember,  
 18 transcribe those notes to the binders.  
 19 COFFEY, Q.C.:  
 20 Q. And if at the time, for example, it was later  
 21 in the afternoon and you realized--you knew  
 22 that it was 2:15 that day that you had called  
 23 Maria Mendes, you could do that too? You'd  
 24 just make a note?  
 25 DR. COOK:

Page 145	Page 147
<p>1 A. If I could recollect the time.</p> <p>2 COFFEY, Q.C.:</p> <p>3 Q. Or it might be that this was done at the</p> <p>4 actual time itself.</p> <p>5 DR. COOK:</p> <p>6 A. It may be or I would have the actual time on</p> <p>7 another slip of paper and transcribe that into</p> <p>8 the binders.</p> <p>9 COFFEY, Q.C.:</p> <p>10 Q. With that then as background here, there's a</p> <p>11 note here, August 5th, 2005, 9 to 10:30 p.m.</p> <p>12 or a.m.?</p> <p>13 DR. COOK:</p> <p>14 A. It must be a.m.</p> <p>15 COFFEY, Q.C.:</p> <p>16 Q. a.m., yes. Meeting with Dr. Carter, Cook,</p> <p>17 Heather Predham. "Agreed to generate a master</p> <p>18 list with cross reference to the Cancer</p> <p>19 Treatment and Research Foundation list to</p> <p>20 ensure no patients are missed. This has to be</p> <p>21 generated before blocks can be referred to</p> <p>22 Mount Sinai." August 5, 2005, 12:20 p.m.,</p> <p>23 "spoke to Dr. Pritzker, advised us he will</p> <p>24 help us in any way. Advised us not to go</p> <p>25 public. We are the first lab known to handle</p>	<p>1 Q. August 5, 2005, "Ventana company</p> <p>2 representative okayed the system" and then the</p> <p>3 same day at 4:15 p.m., Dr. Williams, Gardiner,</p> <p>4 Laing, Heather Predham, Pat Pilgrim and</p> <p>5 yourself, "start from March 31, 2004, go</p> <p>6 backwards, only on live patient, database."</p> <p>7 Do you recall what that was about, this last</p> <p>8 entry?</p> <p>9 DR. COOK:</p> <p>10 A. Again, this was, I believe, priority based on</p> <p>11 those tests under the DAKO system, as opposed</p> <p>12 to Ventana. So we concentrated on the DAKO</p> <p>13 system.</p> <p>14 COFFEY, Q.C.:</p> <p>15 Q. If we could, please, page six of--I apologize,</p> <p>16 Exhibit P-1936? Just going to go to page six,</p> <p>17 Commissioner. This reads "Dr. Anwar called</p> <p>18 August 10th, 2005 11:50 a.m., advised prior to</p> <p>19 '99 to send in ER negative case. If reported</p> <p>20 as ER negative less than 30 percent, '99</p> <p>21 beyond, Clarenville sent to Mount Sinai."</p> <p>22 Doctor, what was this note about?</p> <p>23 DR. COOK:</p> <p>24 A. Well, I was calling all the laboratory</p> <p>25 directors at that time, and I was probably</p>
Page 146	Page 148
<p>1 the situation this way." Now in terms of your</p> <p>2 discussion with Dr. Pritzker and not going</p> <p>3 public, do you recall what that was about?</p> <p>4 DR. COOK:</p> <p>5 A. Well, I would have given him background</p> <p>6 information that we were conducting a massive</p> <p>7 review. I would have commented about our</p> <p>8 conversion rates of samples, how we identified</p> <p>9 the index case going from the DAKO to the</p> <p>10 Ventana system, and that we were going to</p> <p>11 retest all our negatives. I think what he</p> <p>12 meant in that regard, advised us not to go</p> <p>13 public, was not to go public at that</p> <p>14 particular time. The impression I get is not</p> <p>15 to go public ever, but not to go public at</p> <p>16 that particular time, until we knew the scope</p> <p>17 and extent of the issue we were dealing with.</p> <p>18 COFFEY, Q.C.:</p> <p>19 Q. And then you go on on these notes, Doctor, to</p> <p>20 say--I'll refer to August 5th, 2005, 3 p.m.,</p> <p>21 "meet with pathologists to discuss the</p> <p>22 situation." We've seen another note on that.</p> <p>23 DR. COOK:</p> <p>24 A. Yes.</p> <p>25 COFFEY, Q.C.:</p>	<p>1 calling before I sent out the memos to speak</p> <p>2 to them about our situation and the fact that</p> <p>3 we were conducting a review and that we wanted</p> <p>4 the blocks and the slides sent in. In this</p> <p>5 particular case, there was information relayed</p> <p>6 to me by Dr. Anwar that sometime in 1999,</p> <p>7 cases were sent to Mount Sinai for staining,</p> <p>8 and what I thought interpretation at that</p> <p>9 time, and referred back to Clarenville for</p> <p>10 reporting in their hospital information</p> <p>11 system.</p> <p>12 COFFEY, Q.C.:</p> <p>13 Q. And Dr. Anwar was located in Clarenville?</p> <p>14 DR. COOK:</p> <p>15 A. Yes.</p> <p>16 COFFEY, Q.C.:</p> <p>17 Q. In '05. Had you known about this before this?</p> <p>18 DR. COOK:</p> <p>19 A. Yes, I did.</p> <p>20 COFFEY, Q.C.:</p> <p>21 Q. About the situation in Clarenville?</p> <p>22 DR. COOK:</p> <p>23 A. Yes.</p> <p>24 COFFEY, Q.C.:</p> <p>25 Q. And so here then, you were asking Dr. Anwar to</p>

Page 149

1 send anything before they got involved with  
 2 Mount Sinai?  
 3 DR. COOK:  
 4 A. Yes.  
 5 COFFEY, Q.C.:  
 6 Q. To gather up the cases that were negative  
 7 before that time?  
 8 DR. COOK:  
 9 A. Yes.  
 10 COFFEY, Q.C.:  
 11 Q. Using that cutoff, 30 percent cutoff?  
 12 DR. COOK:  
 13 A. Yes.  
 14 COFFEY, Q.C.:  
 15 Q. And send them in. Had you been aware of why  
 16 Clarenville, since 1999, or beginning since  
 17 2000 had not been sending ER/PR to St. John's?  
 18 DR. COOK:  
 19 A. Not at that time, on August the 10th. Now I  
 20 previously found out about that situation, it  
 21 was late July, early August when Heather  
 22 Predham told me about the situation. That was  
 23 at the General Hospital, next to the boardroom  
 24 in the office suite of the Vice President  
 25 Medical Services. But in terms of trying to

Page 150

1 get that information from Dr. Anwar, why  
 2 those--what that was discontinued, the  
 3 relationship was discontinued with the General  
 4 Hospital, he didn't have any explanation for  
 5 me.  
 6 COFFEY, Q.C.:  
 7 Q. And so you had spoken to Ms. Predham about it?  
 8 DR. COOK:  
 9 A. Yes.  
 10 COFFEY, Q.C.:  
 11 Q. Had you spoken to anyone else?  
 12 DR. COOK:  
 13 A. Dr. Williams.  
 14 COFFEY, Q.C.:  
 15 Q. Okay. Was it you telling Dr. Williams or him  
 16 telling you?  
 17 DR. COOK:  
 18 A. I believe Dr. Williams was there with myself  
 19 and Heather Predham when she relayed that  
 20 information to me.  
 21 COFFEY, Q.C.:  
 22 Q. Had you spoken to anyone else about it since?  
 23 Any pathologists about -  
 24 DR. COOK:  
 25 A. Yes, I spoke to a pathologist a few months

Page 151

1 after that.  
 2 COFFEY, Q.C.:  
 3 Q. Who was that?  
 4 DR. COOK:  
 5 A. Dr. Bibi Naghibi.  
 6 COFFEY, Q.C.:  
 7 Q. And when you spoke to the doctor, the doctor,  
 8 I take it, was in St. John's at that time?  
 9 DR. COOK:  
 10 A. She had worked in Clarenville. She came to  
 11 St. Clare's in 2003, so she was working at the  
 12 same office suite as we were.  
 13 COFFEY, Q.C.:  
 14 Q. What did she tell you then about what had  
 15 happened in Clarenville?  
 16 DR. COOK:  
 17 A. Well, that they weren't happy with the quality  
 18 of the slides and I was trying to find out  
 19 specifics of the quality of the slides. They  
 20 weren't happy with the fact that they weren't  
 21 getting controls with the slides. So they  
 22 were having--because of the quality, they were  
 23 having trouble with interpretation. So they  
 24 decided to discontinue the relationship with  
 25 the ER and PR slides with the General Hospital

Page 152

1 and have them stained, and I thought at the  
 2 time, reported from Mount Sinai.  
 3 COFFEY, Q.C.:  
 4 Q. And she had been working in Clarenville during  
 5 that time frame?  
 6 DR. COOK:  
 7 A. Yes.  
 8 COFFEY, Q.C.:  
 9 Q. Back in '99 through 2000?  
 10 DR. COOK:  
 11 A. I don't know exactly when she started, but  
 12 around that time frame, she worked there.  
 13 COFFEY, Q.C.:  
 14 Q. Okay. Exhibit--well, I'll just ask you, did  
 15 you make any further inquiries in that regard?  
 16 DR. COOK:  
 17 A. I did ask Dr. Anwar if he had anything or any  
 18 records that are available as to the reason  
 19 why that was discontinued from Clarenville's  
 20 point of view and whether there had been any  
 21 documentation or letters or whatever available  
 22 to further investigate that, and he said that  
 23 he would see if there was any documentation  
 24 around.  
 25 COFFEY, Q.C.:

Page 153

1 Q. And did he get back to you on that?  
 2 DR. COOK:  
 3 A. I believe he did, and--because I would have  
 4 talked to him on a number of occasions and the  
 5 response was there was no documentation.  
 6 COFFEY, Q.C.:  
 7 Q. While we're on the subject of some of your  
 8 notes, if we could bring up, please, Exhibit  
 9 P-1992? Doctor, we had just spoken about your  
 10 initial contact with Dr. Banerjee and we  
 11 looked at an e-mail and there was a  
 12 conversation the day before, August 2nd, 2005.  
 13 You'd referred to that, at 5:30. I take it  
 14 these are your notes on your conversation with  
 15 Dr. Banerjee?  
 16 DR. COOK:  
 17 A. That's correct.  
 18 COFFEY, Q.C.:  
 19 Q. And toward the bottom of the page there,  
 20 there's a note you've made to the effect of "a  
 21 bit concerned about us reporting negatives,  
 22 negative internal control and may suggest test  
 23 invalid."  
 24 DR. COOK:  
 25 A. Um-hm.

Page 154

1 COFFEY, Q.C.:  
 2 Q. Was that his comment or yours?  
 3 DR. COOK:  
 4 A. That was probably mine.  
 5 COFFEY, Q.C.:  
 6 Q. So you were conveying this to him?  
 7 DR. COOK:  
 8 A. Yes.  
 9 COFFEY, Q.C.:  
 10 Q. This is the conclusion you'd already reached,  
 11 based upon your look at the slides?  
 12 DR. COOK:  
 13 A. Previous looking at the batches of the 25s and  
 14 the 33s, I believe.  
 15 COFFEY, Q.C.:  
 16 Q. And there's a note here "don't admit to error  
 17 with the old system as it was the technology  
 18 of the day. Use a variety of controls," and  
 19 good something?  
 20 DR. COOK:  
 21 A. Good idea.  
 22 COFFEY, Q.C.:  
 23 Q. Good idea, and "collaborate with Mount Sinai."  
 24 DR. COOK:  
 25 A. Yeah.

Page 155

1 COFFEY, Q.C.:  
 2 Q. So this reference to "don't admit to error  
 3 with the old system as it was technology of  
 4 the day,"  
 5 DR. COOK:  
 6 A. Right.  
 7 COFFEY, Q.C.:  
 8 Q. Whose comment was that?  
 9 DR. COOK:  
 10 A. Dr. Banerjee's.  
 11 COFFEY, Q.C.:  
 12 Q. So how was it that that subject came up?  
 13 DR. COOK:  
 14 A. I can't say for sure. I mean, I said--I would  
 15 have given him the background to what has  
 16 happened, the extent of the review they were  
 17 going through in terms of the retesting. I  
 18 mean, obviously, I mean, it was going to be,  
 19 you know, legal matters arising out of that.  
 20 I can't remember talking to him specifically  
 21 about legal issues, but other than the fact  
 22 that that statement did come from him.  
 23 COFFEY, Q.C.:  
 24 Q. If we could look, please, at Exhibit P-1938?  
 25 Now Doctor, here, this is a letter of August

Page 156

1 10th, 2005 to yourself. It's from Nancy  
 2 Impala, Department of Pathology in Montreal  
 3 General, and she says "as discussed with Dr.  
 4 Watters, please find enclosed ER/PR stained  
 5 slides you requested on the following cases"  
 6 and there's a listing of surgical numbers,  
 7 some with percentages of ER/PR, and the next  
 8 page of this exhibit is handwritten, in effect  
 9 a handwritten spreadsheet. Some of it's  
 10 redacted. It says received July 29th, 2005.  
 11 DR. COOK:  
 12 A. That's correct.  
 13 COFFEY, Q.C.:  
 14 Q. 2002 cases. Is this in your handwriting?  
 15 DR. COOK:  
 16 A. That's my handwriting.  
 17 COFFEY, Q.C.:  
 18 Q. And what are you attempting to do here,  
 19 Doctor?  
 20 DR. COOK:  
 21 A. We're doing a correlation there with our  
 22 results from the DAKO, the Ventana and looks  
 23 like Mount Sinai results coming back. So  
 24 we're seeing the results of the ER and PR  
 25 using the different platforms.

Page 157

1 COFFEY, Q.C.:

2 Q. Reference here, it says "received July 29th,

3 2005, and presented to August 1st, 2005

4 meeting with steering group." See that?

5 DR. COOK:

6 A. That must have been that meeting of August 1st

7 at five p.m.

8 COFFEY, Q.C.:

9 Q. With Mr. Tilley et al?

10 DR. COOK:

11 A. Yes, all those individuals.

12 COFFEY, Q.C.:

13 Q. So this, the information that you gleaned from

14 this comparison, you would have conveyed to

15 the people at the meeting?

16 DR. COOK:

17 A. I would have.

18 COFFEY, Q.C.:

19 Q. Overall, what impression did you have?

20 DR. COOK:

21 A. You're looking at the sensitivity of the

22 Ventana system. You're getting much higher

23 signals and percentages than the DAKO system

24 from Mount Sinai.

25 COFFEY, Q.C.:

Page 158

1 Q. Here, on page three of the exhibit, there's

2 some other handwriting. Cases from Montreal

3 received August 11th, 2005.

4 DR. COOK:

5 A. Um-hm.

6 COFFEY, Q.C.:

7 Q. It reads "cases read by Dr. Carter blind, no

8 standardization of Ventana system. Montreal

9 positive controls okay. Internal control,"

10 and you can read that. It's right there.

11 DR. COOK:

12 A. Tissue are negative.

13 COFFEY, Q.C.:

14 Q. Oh, I apologize, tissue are negative.

15 Montreal slides, same quality as DAKO slides,

16 M for moderate, S for strong, F for faint. Is

17 this your handwriting?

18 DR. COOK:

19 A. Yes.

20 COFFEY, Q.C.:

21 Q. And what are you doing here, Doctor? What's

22 this?

23 DR. COOK:

24 A. Well, the original intent of using Montreal,

25 Montreal has a Ventana system similar to ours

Page 159

1 in place. So we wanted to send the cases up

2 to Montreal to do a comparison between their

3 Ventana system and ours. What had happened,

4 when those blocks got there, Montreal utilizes

5 two systems, automated and semi-automated

6 systems. The automated system was at capacity

7 at that time, in the middle of the summer, so

8 someone decided to retest our specimens on

9 their semi-automated system. So there was a

10 miscommunication there and our slides got

11 retested on their semi-automated system.

12 COFFEY, Q.C.:

13 Q. I take it because you'd wanted the slides you

14 had sent up to Montreal to be tested on their

15 automated system?

16 DR. COOK:

17 A. Automated system and do a correlation between

18 our system and theirs.

19 COFFEY, Q.C.:

20 Q. Now here, you have made some notes at the

21 bottom here. "Find out from Barry what

22 antibodies are inside all three." Is that--or

23 used, I'm sorry, are used in all three.

24 DR. COOK:

25 A. Yes.

Page 160

1 COFFEY, Q.C.:

2 Q. Used in all three. What difference would that

3 make, Doctor?

4 DR. COOK:

5 A. It may be talking about sensitivities. I

6 don't know for sure.

7 COFFEY, Q.C.:

8 Q. And you've noted here, "notice a lot of

9 staining on Montreal slides on the edge."

10 DR. COOK:

11 A. Yes.

12 COFFEY, Q.C.:

13 Q. What was the significance, if any, of that?

14 DR. COOK:

15 A. Well, that would have indicated issues

16 regarding fixation.

17 COFFEY, Q.C.:

18 Q. I'm sorry?

19 DR. COOK:

20 A. Issues regarding fixation.

21 COFFEY, Q.C.:

22 Q. And all these, the tissue for all these slides

23 had come from St. John's?

24 DR. COOK:

25 A. That's right.



Page 161

1 COFFEY, Q.C.:

2 Q. And I take it when you say issues with

3 fixation, I take it that's problems with

4 fixation?

5 DR. COOK:

6 A. Problems with fixation.

7 COFFEY, Q.C.:

8 Q. "Informed Mr. Terry Gulliver, Dr. Bob

9 Williams, Dr. Kara Laing meeting of August

10 12th, 2005, done on Ventana Nexus, semi-

11 automated system, is automated system at

12 capacity."

13 DR. COOK:

14 A. Yeah.

15 COFFEY, Q.C.:

16 Q. And then you've written, "Gulliver will

17 contact Ventana regarding this."

18 DR. COOK:

19 A. I can't remember what that's about.

20 COFFEY, Q.C.:

21 Q. Okay. So you, yourself, as indicated by these

22 two handwritten spreadsheets, were doing some

23 analysis of your own?

24 DR. COOK:

25 A. That's right.

Page 162

1 COFFEY, Q.C.:

2 Q. If we could, please, Exhibit P-0569, I

3 apologize, 0569? Is this your handwritten

4 note, Doctor?

5 DR. COOK:

6 A. That's correct.

7 COFFEY, Q.C.:

8 Q. It's August 12th, 2005, "Master list finally

9 completed. Terry and Barry will spend weekend

10 recovering slides and blocks for Mount Sinai."

11 DR. COOK:

12 A. Um-hm.

13 COFFEY, Q.C.:

14 Q. And then "Week of August 14th, 2005 Dr. Cook

15 and Dr. Fontaine will identify blocks with

16 tumour for referral to Mount Sinai."

17 DR. COOK:

18 A. Correct.

19 COFFEY, Q.C.:

20 Q. So this is, I take it, a status report to

21 yourself, as it were, a record for yourself, a

22 plan?

23 DR. COOK:

24 A. Yes.

25 COFFEY, Q.C.:

Page 163

1 Q. If we could bring up, please, Exhibit P-0571?

2 Now, this is two things, Doctor, it's an e-

3 mail of August 11th, 2005 from yourself to Dr.

4 Pritzker re ER and PR consultations. I take

5 it you're confirming here his suggestion as to

6 how this, the work by Mount Sinai would be

7 billed for?

8 DR. COOK:

9 A. Um-hm.

10 COFFEY, Q.C.:

11 Q. And you continue "I'm hoping to send our

12 reviews for the years 2002 and"--I'm sorry,

13 "2003 and 2002 as soon as we can compile these

14 cases, hopefully by the end of next week. We

15 will submit the others years following these.

16 I will contact Maria when we are ready to send

17 these cases to your lab. Once again, thanks

18 for your help." And then there's some

19 handwriting here. Is this your handwriting?

20 DR. COOK:

21 A. Yes.

22 COFFEY, Q.C.:

23 Q. It's entitled, "Meeting with minister, August

24 15th, 2005."

25 DR. COOK:

Page 164

1 A. Right.

2 COFFEY, Q.C.:

3 Q. And August 15, 2005, 10 a.m., minister, Dr.

4 Laing, Dr. Cook, Dr. Fleming, George Tilley

5 and -

6 DR. COOK:

7 A. Moira Hennessey.

8 COFFEY, Q.C.:

9 Q. Moira Hennessey. And I think probably your

10 ADM, probably, it's cut off.

11 DR. COOK:

12 A. Yeah.

13 COFFEY, Q.C.:

14 Q. And Carolyn, communications director?

15 DR. COOK:

16 A. Um-hm.

17 COFFEY, Q.C.:

18 Q. Doctor, could you just take us through what

19 you've written here?

20 DR. COOK:

21 A. Well, you want me to read down through?

22 COFFEY, Q.C.:

23 Q. Yes, if you could, please, because some of

24 it's -

25 DR. COOK:

Page 165

1 A. "Public obligation for disclosure. Need about  
 2 two months for complete information. Will  
 3 hold off letter until all information is  
 4 received."  
 5 COFFEY, Q.C.:  
 6 Q. And what was that about, Doctor?  
 7 DR. COOK:  
 8 A. Well, I guess, if I remember correctly, this  
 9 was a meeting that we had with the minister at  
 10 the conference room in the Department of  
 11 Health, Confederation Building. And that  
 12 meeting was, from what I saw, to provide him  
 13 with an update of what we were doing with the  
 14 ER and PR at that particular time, and  
 15 basically the issue of public disclosure came  
 16 up. I think this was the overriding theme  
 17 that came up in that particular meeting.  
 18 COFFEY, Q.C.:  
 19 Q. And what do you recall about that?  
 20 DR. COOK:  
 21 A. The minister was concerned that Eastern Health  
 22 hadn't gone public at that particular time and  
 23 that he was pressing for public disclosure.  
 24 COFFEY, Q.C.:  
 25 Q. What, if anything, was he told, do you recall?

Page 166

1 DR. COOK:  
 2 A. There was a concern from our oncologists, I  
 3 believe Dr. Laing, that if we went--if we  
 4 disclosed at this particular time before we  
 5 had all the results back, that this would  
 6 create a lot of undue fear and anxiety amongst  
 7 the population.  
 8 COFFEY, Q.C.:  
 9 Q. And do you recall anything else about what was  
 10 said about that?  
 11 DR. COOK:  
 12 A. I think the minister was still favouring  
 13 public disclosure at that time. Dr. Laing was  
 14 quite firm in holding off on that until we've  
 15 got, until we go the results back from Mount  
 16 Sinai.  
 17 COFFEY, Q.C.:  
 18 Q. Did you contribute anything to that  
 19 conversation?  
 20 DR. COOK:  
 21 A. Well, I would have probably said we were  
 22 looking at a time frame of getting the results  
 23 back sometime in September and hopefully we  
 24 would have had the results then compiled and  
 25 then a plan of action in regards to treatment

Page 167

1 regimes given to the patients, or to the  
 2 attending physicians.  
 3 COFFEY, Q.C.:  
 4 Q. So the reference here to "Need about two  
 5 months for complete information" looking at  
 6 those present, I take it you would have been  
 7 the most knowledgeable in the room?  
 8 DR. COOK:  
 9 A. In regards to that, yes.  
 10 COFFEY, Q.C.:  
 11 Q. Yes. Doctor, if we just continue on on the  
 12 same page, is there anything else, do you  
 13 recall, about the meeting of relevance here?  
 14 DR. COOK:  
 15 A. No, other than the fact about the public  
 16 disclosure was the primary thing.  
 17 COFFEY, Q.C.:  
 18 Q. How about telling the patients?  
 19 DR. COOK:  
 20 A. That was, until we got the results back, the  
 21 feeling was to hold off on telling the--as  
 22 soon as the results came in they would be  
 23 informed on an individual basis, as soon as  
 24 the results came in.  
 25 COFFEY, Q.C.:

Page 168

1 Q. But in the meantime they wouldn't be  
 2 individually advised about the fact that their  
 3 tissue samples were being retested?  
 4 DR. COOK:  
 5 A. No.  
 6 COFFEY, Q.C.:  
 7 Q. And was that discussed at that meeting, the  
 8 idea of telling the individual patients that,  
 9 look, we are retesting your tissue sample?  
 10 DR. COOK:  
 11 A. I can't recollect that being discussed.  
 12 COFFEY, Q.C.:  
 13 Q. Okay.  
 14 COMMISSIONER:  
 15 Q. And when you say they would be told, would  
 16 that be the ones that would be a change or all  
 17 of them?  
 18 DR. COOK:  
 19 A. Commissioner, I believe that would have been  
 20 initially those that had a result, a  
 21 conversion.  
 22 COMMISSIONER:  
 23 Q. Um-hm.  
 24 COFFEY, Q.C.:  
 25 Q. And so those who did not convert, at that

Page 169

1 point it was not planned that they would be  
 2 told?  
 3 DR. COOK:  
 4 A. I can't recollect for sure, Mr. Coffey.  
 5 COFFEY, Q.C.:  
 6 Q. Okay. Doctor, what was your understanding of  
 7 the minister's position at the end of the  
 8 meeting on this whole notification issue?  
 9 DR. COOK:  
 10 A. My feeling was he still, he was still  
 11 concerned, he wanted to go public, but he was  
 12 taking our advice.  
 13 COFFEY, Q.C.:  
 14 Q. Doctor, here on the same page you've written  
 15 "August 16th, 2005, 11:45 a.m., spoke to Maria  
 16 Mendes about 100 blocks being sent up Thursday  
 17 or Friday. She will get back to me regarding  
 18 when these can be processed. Results will  
 19 come out on spreadsheet as opposed to  
 20 consultation form. I asked her, Maria, to send  
 21 down a copy of the spreadsheet for review and  
 22 to run by our executive."  
 23 DR. COOK:  
 24 A. Yes.  
 25 COFFEY, Q.C.:

Page 170

1 Q. So what was this about, Doctor?  
 2 DR. COOK:  
 3 A. We were trying to determine the format to how  
 4 the retro cases and the prospectives or the  
 5 current cases would be reported. The  
 6 spreadsheet was designed primarily for the  
 7 review cases and these would come on Excel  
 8 spreadsheets with a, quite a number of results  
 9 on the spreadsheet. The consultation forms  
 10 were used for our current cases, newly  
 11 diagnosed cases and we were looking at a  
 12 turnaround time of about five to six days, the  
 13 consultations, so they would be coming out on  
 14 full reports. The copy was sent down, a copy  
 15 of the spreadsheet was sent down from Maria  
 16 and I believe I forwarded that to Dr. Williams  
 17 for evaluation.  
 18 COFFEY, Q.C.:  
 19 Q. And was it agreed upon, the format?  
 20 DR. COOK:  
 21 A. Yes.  
 22 COFFEY, Q.C.:  
 23 Q. The final entry here is August 16th, 2005,  
 24 12:08 p.m. "Spoke to" who is that?  
 25 DR. COOK:

Page 171

1 A. "Pam King Jesso." She's one of our, I think,  
 2 communications people, I believe.  
 3 COFFEY, Q.C.:  
 4 Q. Okay. "about," is it "about issuing Sinai  
 5 reports from spreadsheet" -  
 6 DR. COOK:  
 7 A. Oh, yes -  
 8 COFFEY, Q.C.:  
 9 Q. "into our" -  
 10 DR. COOK:  
 11 A. "Hospital information system and issuing the  
 12 hard copies of the report from Eastern  
 13 Health."  
 14 COFFEY, Q.C.:  
 15 Q. What was this about, Doctor?  
 16 DR. COOK:  
 17 A. Well, when they came down, the results came  
 18 down, I would enter them into the system,  
 19 verify that there was good correlation between  
 20 the Excel spreadsheets and our results in the  
 21 system, in other words, make sure there's no  
 22 transcription errors, issue a hard copy and  
 23 that hard copy would be forwarded to the  
 24 attending physician.  
 25 COFFEY, Q.C.:

Page 172

1 Q. Okay. Exhibit P-1939, please? Now, Doctor,  
 2 this is a memo on Health Care Corporation of  
 3 St. John's letterhead, it's to Maria Tracy.  
 4 DR. COOK:  
 5 A. Um-hm.  
 6 COFFEY, Q.C.:  
 7 Q. Program Director, Surgical Program and to Dr.  
 8 Dan Fontaine, Site Chief that the General  
 9 Hospital, it's from yourself as clinical  
 10 chief, August 23rd, 2005. The subject is  
 11 mastectomy specimens. And it's signed here.  
 12 As well, on the top right-hand corner there's  
 13 a September, appears to be 12:05, copy. And  
 14 is that your handwriting?  
 15 DR. COOK:  
 16 A. No, it's not.  
 17 COFFEY, Q.C.:  
 18 Q. Okay. But in any case, this, you've written  
 19 here on August 23rd, "I am requesting that all  
 20 mastectomy specimens be placed in a large  
 21 container and completely immersed in 10  
 22 percent Formalin. The specimen should be  
 23 immediately forwarded to the pathology lab  
 24 where the breast tumour is appropriately  
 25 sectioned to allow for even permeation and

Page 173

1 fixation by Formalin. Cases should not be  
 2 left overnight or over the weekend unsectioned  
 3 as this may interfere with proper fixation of  
 4 tissue. For cases that occur after normal  
 5 working hours, the pathologist on call should  
 6 be notified. Please make every attempt to  
 7 ensure these cases are done early in the day  
 8 and submitted to the laboratory before 4 p.m.  
 9 Sincerely yours, Donald Cook." Now, Doctor,  
 10 how did you come--why is it you came on August  
 11 23rd, 2005 to send this memo to Maria Tracy?  
 12 DR. COOK:  
 13 A. Well, this would have been we were going  
 14 through the cases for review from Mount Sinai  
 15 and, I mean, I would have been reviewing  
 16 probably 150, 200 cases during a two to three  
 17 day interval, and this would have been a trend  
 18 that I picked up following review of those  
 19 cases in aggregate. And it was the first time  
 20 I really noticed that that type of trend  
 21 existed. I mean, there was problems with the  
 22 fixation of the tissue, by means of that I  
 23 mean varying degrees of fixation problems from  
 24 one tissue to the next. So the only thing I  
 25 could surmise of that was that this appeared

Page 174

1 to be a problem of tissue left overnight and  
 2 over on the weekends. So that memo was sent  
 3 to Maria to address that issue.  
 4 COFFEY, Q.C.:  
 5 Q. So did you get any response to the memo?  
 6 DR. COOK:  
 7 A. I got no response.  
 8 COFFEY, Q.C.:  
 9 Q. And this subject matter did come up again,  
 10 though, later?  
 11 DR. COOK:  
 12 A. Yes.  
 13 COFFEY, Q.C.:  
 14 Q. In September, another letter, and we'll get to  
 15 that.  
 16 DR. COOK:  
 17 A. Yes.  
 18 COFFEY, Q.C.:  
 19 Q. Now, Doctor, just looking at that, your  
 20 remarks here are in respect of mastectomy  
 21 specimens?  
 22 DR. COOK:  
 23 A. Um-hm.  
 24 COFFEY, Q.C.:  
 25 Q. Were they limited to those sorts of specimens

Page 175

1 or was there--and I appreciate you were only  
 2 looking at ER/PR slides?  
 3 DR. COOK:  
 4 A. Um-hm.  
 5 COFFEY, Q.C.:  
 6 Q. And the related H & E slides. But, these  
 7 concerns about tissue being left in Formalin  
 8 over the weekend, overnight or over the  
 9 weekend, would they apply to other types of  
 10 specimens, as well?  
 11 DR. COOK:  
 12 A. Well, actually, they did, yes. Any time we  
 13 were notified by the OR, these not only  
 14 included breast tissue, but other specimens  
 15 such as bowels and lungs and whatnot.  
 16 COFFEY, Q.C.:  
 17 Q. Now, prior to this point in late August, 2005,  
 18 as clinical chief, do you ever recall this  
 19 being raised with the peri-operative program?  
 20 DR. COOK:  
 21 A. No.  
 22 COFFEY, Q.C.:  
 23 Q. Like, during the years you'd been clinical  
 24 chief?  
 25 DR. COOK:

Page 176

1 A. No.  
 2 COFFEY, Q.C.:  
 3 Q. Okay. Had it ever been raised in the years  
 4 before you were clinical chief, while you were  
 5 site chief at St. Clare's, to your knowledge?  
 6 DR. COOK:  
 7 A. No.  
 8 COFFEY, Q.C.:  
 9 Q. Doctor, you've indicated that this arose out  
 10 of a situation where over a short period of  
 11 time, two or three days, you were reviewing  
 12 many, many slides?  
 13 DR. COOK:  
 14 A. Yes.  
 15 COFFEY, Q.C.:  
 16 Q. Had you ever had occasion to do that before,  
 17 to be in a situation where you were sitting  
 18 and looking at, like, at a grouping of slides  
 19 like that drawn from a number of years, had  
 20 you ever done that before?  
 21 DR. COOK:  
 22 A. No. That was the first time.  
 23 COFFEY, Q.C.:  
 24 Q. I take it then the pattern that you saw, a  
 25 pattern was apparent to you when you looked at

Page 177

1 it then because of the concentrated time  
 2 frame?  
 3 DR. COOK:  
 4 A. Yes.  
 5 COMMISSIONER:  
 6 Q. Excuse me, Mr. Coffey.  
 7 COFFEY, Q.C.:  
 8 Q. Yes.  
 9 COMMISSIONER:  
 10 Q. Was there, at that time, Dr. Cook, a system  
 11 whereby the OR notified the lab on a regular  
 12 basis that specimens were available or how did  
 13 that work?  
 14 DR. COOK:  
 15 A. Well, there would be a portering system.  
 16 COMMISSIONER:  
 17 Q. Um-hm.  
 18 DR. COOK:  
 19 A. They would, as soon as the specimens come out,  
 20 there would be a batching of the specimen and  
 21 they would be sent up to the lab on that same  
 22 day. And I think there were two runs, if I  
 23 remember correctly, one in the morning and one  
 24 in the afternoon. But what we would do on a  
 25 routine is ourselves, we would go down and

Page 178

1 check the OR, one of the techs would go down  
 2 or I've gone down myself just to check the  
 3 frozen section room where our specimens were  
 4 kept just to make sure that there weren't any  
 5 big specimens lying around overnight,  
 6 Commissioner.  
 7 COMMISSIONER:  
 8 Q. And was there some program for, for example,  
 9 if there was an emergency on the weekend or  
 10 I'm assuming that your lab isn't as busy on  
 11 the weekends as it would be during the week  
 12 when, perhaps that's an incorrect assumption,  
 13 but I'm assuming there wouldn't be many  
 14 surgeries on the weekend?  
 15 DR. COOK:  
 16 A. No, that's correct. It was only -  
 17 COMMISSIONER:  
 18 Q. Except for emergencies?  
 19 DR. COOK:  
 20 A. Only emergencies.  
 21 COMMISSIONER:  
 22 Q. Okay. And was there a system then to make  
 23 sure things got to the lab if they were -  
 24 DR. COOK:  
 25 A. Only if there was a requirement for a frozen

Page 179

1 section or the tissue be handled in a certain  
 2 manner. Let's say there was a patient being  
 3 operated on for lymphadenopathy, say, enlarged  
 4 lymph nodes, surgeon went in to the abdomen  
 5 and found enlarged lymph nodes and needed a  
 6 work up on those nodes, we would go through  
 7 something along the lines of a lymphoma  
 8 protocol which we would be called in to  
 9 address the tissue in a certain manner. So we  
 10 would be called in for a situation like that  
 11 only if the attending surgeon deemed it  
 12 necessary. Now, for someone who had, say, a  
 13 perforated bowel or whatever, that specimen  
 14 wouldn't be transported to the lab on the  
 15 weekend, it would remain in a Formalin  
 16 container until Monday morning.  
 17 COMMISSIONER:  
 18 Q. Okay. And there presumably was a protocol to  
 19 deal with that, was there, a written protocol?  
 20 DR. COOK:  
 21 A. For the -  
 22 COMMISSIONER:  
 23 Q. For how to deal with things on the weekend,  
 24 what required a call to be made, what could be  
 25 left in Formalin -

Page 180

1 DR. COOK:  
 2 A. I believe there was a written protocol. I'm  
 3 not absolutely sure on that. But that in  
 4 terms of a frozen section or whatever, that  
 5 would have been automatic.  
 6 COMMISSIONER:  
 7 Q. Okay.  
 8 COFFEY, Q.C.:  
 9 Q. Exhibit P-0573, please? Doctor, these are  
 10 some handwritten notes of Dr. Williams. The  
 11 typed version is at page 3 of the exhibit.  
 12 The attendees are Mr. Gulliver and Dr.  
 13 Williams but you are referenced here. And  
 14 there's a note here, "All blocks given to Dr.  
 15 Cook yesterday for St. Clare's and Grace site,  
 16 1999 to the first three months of 2004." And  
 17 "Dr. Cook has contacted Mount Sinai and  
 18 advised that the blocks will be sent this  
 19 week. They will do so as soon as possible.  
 20 Dr. Cook says 2002, 2003 to 2004 should be  
 21 ready to go today." And then there's a  
 22 reference, "Note that Montreal's Ventana's  
 23 testing was done on semi-automated system and  
 24 compares very, very closely to our DAKO  
 25 results in the same seven patients. The

Page 181

1 reports provide excellent correlation of the  
 2 DAKO and Ventana semi-automated systems." And  
 3 there's a reference to Mr. Tilley and Dr.  
 4 Fleming advised. This conclusion about the  
 5 comparison between the semi-automated Ventana  
 6 at Montreal and the DAKO cases locally, was  
 7 that your conclusion, this comparison?  
 8 DR. COOK:  
 9 A. I was looking at the correlations in terms of,  
 10 so in terms of the correlations that was my  
 11 conclusion.  
 12 COFFEY, Q.C.:  
 13 Q. That's the kind of handwritten spreadsheets we  
 14 were looking at earlier, one of those.  
 15 DR. COOK:  
 16 A. Yes, in terms of the percentages reported.  
 17 COFFEY, Q.C.:  
 18 Q. Okay. Exhibit P-0574 please? This is a memo  
 19 from yourself to Maria Mendes, August 17th,  
 20 2005, Repeat ER/PR Receptors is the subject  
 21 matter. And it's noted August 18th, 2005,  
 22 Purolator approximately 115 blocks. August  
 23 19th, 2005, HSC '99, 2000, 2001, St. Clare's--  
 24 SCH would be St. Clare's Hospital, 2000, 2001  
 25 sent -

Page 182

1 DR. COOK:  
 2 A. That's correct.  
 3 COFFEY, Q.C.:  
 4 Q. These are your handwritten notes as to what's  
 5 gone.  
 6 DR. COOK:  
 7 A. Yes, right.  
 8 COFFEY, Q.C.:  
 9 Q. And here you write, "As discussed, I'm  
 10 requesting the performance interpretation of  
 11 estrogen and progesterone receptor IHC stains  
 12 using the LSAB procedure on the enclosed  
 13 blocks. Each block is submitted in a plastic  
 14 bag with demographic information and  
 15 pathological interpretation. It would be  
 16 appreciated that the paraffin blocks and the  
 17 stain, the ER/PR slides be returned to my  
 18 office at St. Clare's site. It would also be  
 19 appreciated if the spreadsheet containing the  
 20 ER and PR interpretation could be faxed to my  
 21 office upon completion. If you have any  
 22 questions, please call me. Donald Cook." So,  
 23 Doctor, was this the first then grouping or  
 24 batching, batch that went off to Mount Sinai?  
 25 DR. COOK:

Page 183

1 A. I believe so.  
 2 COFFEY, Q.C.:  
 3 Q. And what they were consisted of, I take it, is  
 4 set out in this description here in your  
 5 handwriting at the top? Like here--or not, I  
 6 don't know.  
 7 DR. COOK:  
 8 A. 115 blocks sent on August 18th.  
 9 COFFEY, Q.C.:  
 10 Q. August 18th. There may have been, I take it  
 11 this reference to August 18th, there may have  
 12 been more blocks sent then the next day.  
 13 DR. COOK:  
 14 A. More blocks sent.  
 15 COFFEY, Q.C.:  
 16 Q. Okay, now Doctor, how was the--how were you in  
 17 St. John's keeping track of what was going  
 18 out?  
 19 DR. COOK:  
 20 A. Oh, we had that information on the  
 21 spreadsheets compiled by Mr. Dyer and Mr.  
 22 Gulliver and anything that went out was  
 23 recorded by those individuals. And I guess  
 24 our secretaries would have been involved in  
 25 the recording process as well.

Page 184

1 COFFEY, Q.C.:  
 2 Q. Were these spreadsheets handwritten or  
 3 computerized?  
 4 DR. COOK:  
 5 A. They were handwritten.  
 6 COFFEY, Q.C.:  
 7 Q. And who was responsible for maintaining the  
 8 record of what was gone?  
 9 DR. COOK:  
 10 A. Oh, that would be one of our secretaries who  
 11 would log the case into our computer system,  
 12 data entry operators and that would be kept as  
 13 a record of what went out.  
 14 COFFEY, Q.C.:  
 15 Q. But in terms of, I take it, what went out in a  
 16 particular batch would be recorded in a  
 17 handwritten spreadsheet?  
 18 DR. COOK:  
 19 A. In a handwritten spreadsheet and I believe in  
 20 a Meditec at that time and then Mr. Dyer would  
 21 be notified.  
 22 COFFEY, Q.C.:  
 23 Q. When you say in Meditec, how in Meditec?  
 24 DR. COOK:  
 25 A. Well for every block that goes out -

Page 185	Page 187
<p>1 COFFEY, Q.C.:</p> <p>2 Q. Yes.</p> <p>3 DR. COOK:</p> <p>4 A. That block is supposed to be recorded into the</p> <p>5 system.</p> <p>6 COFFEY, Q.C.:</p> <p>7 Q. For that patient, the fact that you're sending</p> <p>8 block A, for example, for a particular patient</p> <p>9 with a particular surgical number.</p> <p>10 DR. COOK:</p> <p>11 A. That should be recorded.</p> <p>12 COFFEY, Q.C.:</p> <p>13 Q. In that patient's Meditec chart?</p> <p>14 DR. COOK:</p> <p>15 A. Yes.</p> <p>16 COFFEY, Q.C.:</p> <p>17 Q. Okay, and who is responsible for doing that,</p> <p>18 do you recall?</p> <p>19 DR. COOK:</p> <p>20 A. That was generally one of our secretaries.</p> <p>21 COFFEY, Q.C.:</p> <p>22 Q. Exhibit P-0576. Doctor, these are your</p> <p>23 handwritten notes?</p> <p>24 DR. COOK:</p> <p>25 A. Uh-hm.</p>	<p>1 your population has high grade lesions, you</p> <p>2 can get a lot of negatives for ER and PR.</p> <p>3 COFFEY, Q.C.:</p> <p>4 Q. And the reference here to "fixation being a</p> <p>5 major problem in at least 15 to 20 percent of</p> <p>6 cases."</p> <p>7 DR. COOK:</p> <p>8 A. Uh-hm.</p> <p>9 COFFEY, Q.C.:</p> <p>10 Q. Problem to what extent? You just</p> <p>11 characterized it as major.</p> <p>12 DR. COOK:</p> <p>13 A. Ah, in terms of the 15 to 20 percent, you</p> <p>14 know, for that particular year, '01 and '02,</p> <p>15 now there are varying degrees of fixation</p> <p>16 problems on each slide. I mean, some of the</p> <p>17 slides would show minor fixation problems</p> <p>18 probably comprising of 5 percent of the</p> <p>19 surface area; some would show fixation</p> <p>20 problems, maybe of 30 to 40 percent. So the</p> <p>21 degree of fixation varied from slide to slide.</p> <p>22 COFFEY, Q.C.:</p> <p>23 Q. Doctor, at this point in time, just past mid</p> <p>24 August, 2005, did you have any understanding</p> <p>25 as to what, if any, might be the ramifications</p>
<p>Page 186</p> <p>1 COFFEY, Q.C.:</p> <p>2 Q. Of August 18th, 2005. "Observation, cases,</p> <p>3 2001, 2001, fixation is a major problem in at</p> <p>4 least 15 to 20 percent of cases."</p> <p>5 DR. COOK:</p> <p>6 A. Uh-hm.</p> <p>7 COFFEY, Q.C.:</p> <p>8 Q. "A lot of high grade lesions."</p> <p>9 DR. COOK:</p> <p>10 A. Yes.</p> <p>11 COFFEY, Q.C.:</p> <p>12 Q. What's the significance of a lot of high grade</p> <p>13 lesions?</p> <p>14 DR. COOK:</p> <p>15 A. These are undifferentiated carcinomas, most of</p> <p>16 these are usually negative for ER and PR and</p> <p>17 they, you lose a lot of tubular configuration</p> <p>18 and glandular configuration, so they tend to</p> <p>19 be more aggressive lesions.</p> <p>20 COFFEY, Q.C.:</p> <p>21 Q. And would that have any relevance to the ER/PR</p> <p>22 matter?</p> <p>23 DR. COOK:</p> <p>24 A. It could if you got a large population that</p> <p>25 has a large number of--a significant number of</p>	<p>Page 188</p> <p>1 of fixation problems for ER and PR in</p> <p>2 particular?</p> <p>3 DR. COOK:</p> <p>4 A. Not particularly for ER and PR. I was looking</p> <p>5 at the ramifications for interpretations. But</p> <p>6 in terms of ER and PR, no.</p> <p>7 COFFEY, Q.C.:</p> <p>8 Q. You've got also a note here of August 19th,</p> <p>9 2005, 10:45 a.m., "Spoke to Dr. Barry</p> <p>10 Gallagher", I take it who is a pathologist in</p> <p>11 Gander?</p> <p>12 DR. COOK:</p> <p>13 A. Yes.</p> <p>14 COFFEY, Q.C.:</p> <p>15 Q. "Advised on our hold on ER/PR reporting,</p> <p>16 stated that Mount Sinai will be the issue</p> <p>17 report, continue to refer ER and PR into St.</p> <p>18 John's. Copy of Mount Sinai report will be</p> <p>19 faxed back to you for entry into hospital</p> <p>20 information system. General discussion</p> <p>21 followed on immunoperoxidase technique in</p> <p>22 general."</p> <p>23 DR. COOK:</p> <p>24 A. Uh-hm.</p> <p>25 COFFEY, Q.C.:</p>

Page 189

1 Q. And then you've also noted here that August  
 2 10th, 2005, 11:50 a.m., Clarendville, we've  
 3 seen another note to this effect, but you're  
 4 talking to Dr. Anwar.  
 5 DR. COOK:  
 6 A. Yes.  
 7 COFFEY, Q.C.:  
 8 Q. Now in terms of Dr. Gallagher, was this your  
 9 first contact with him about this matter?  
 10 DR. COOK:  
 11 A. I can't say for sure, Mr. Coffey.  
 12 COFFEY, Q.C.:  
 13 Q. It was in during this time period, I take it,  
 14 you were contacting individual pathologists  
 15 across the province to talk to them about  
 16 this?  
 17 DR. COOK:  
 18 A. Yes.  
 19 COFFEY, Q.C.:  
 20 Q. And we'll see a number of other notes to that  
 21 effect.  
 22 DR. COOK:  
 23 A. Uh-hm.  
 24 COFFEY, Q.C.:  
 25 Q. Did you indicate to Dr. Gallagher, do you

Page 190

1 recall in August of 2005, what you had gleaned  
 2 up to that point?  
 3 DR. COOK:  
 4 A. That we had a problem with our system, it  
 5 looked like we were having issues at the  
 6 technical aspect of it, we were getting  
 7 conversions, I was thinking more problem  
 8 within the lab at a specific point in the  
 9 process. I may have talked to him about  
 10 interpretations and that was generally the  
 11 theme in most of my discussions with the  
 12 laboratory directors, how the cases were  
 13 interpreted.  
 14 COFFEY, Q.C.:  
 15 Q. And you've told them that perhaps or did you  
 16 tell him that from your perspective there had  
 17 been interpretation problems in St. John's?  
 18 DR. COOK:  
 19 A. I may have. Again, I can't recollect that,  
 20 but from their perspective, they were looking  
 21 at how it affected the individual pathologists  
 22 in his or her own situation.  
 23 COFFEY, Q.C.:  
 24 Q. And what about the fixation problem you  
 25 noticed in St. John's, did you raise that do

Page 191

1 you recall with Dr. -  
 2 DR. COOK:  
 3 A. I can't remember raising that because at that  
 4 time I was just looking at a few cases. I  
 5 can't remember raising the fixation problem.  
 6 COFFEY, Q.C.:  
 7 Q. And that would be with St. John's, anyway  
 8 cases, they wouldn't be Gander's cases.  
 9 DR. COOK:  
 10 A. It wouldn't be Gander.  
 11 COFFEY, Q.C.:  
 12 Q. We've seen reference in passing to Dr.  
 13 Fleming?  
 14 DR. COOK:  
 15 A. Yes.  
 16 COFFEY, Q.C.:  
 17 Q. What was Dr. Fleming's involvement in this,  
 18 from your perspective?  
 19 DR. COOK:  
 20 A. I think he worked with MCP and he worked with  
 21 Cathi Bradbury, so it may have been a time  
 22 that she was on vacation or out of town that  
 23 Dr. Fleming would be filling in for her.  
 24 COFFEY, Q.C.:  
 25 Q. Okay. And looking back on it, do you recall

Page 192

1 him or Doctor Bradbury really having much  
 2 input into this whole matter?  
 3 DR. COOK:  
 4 A. I can't remember him having any input.  
 5 COFFEY, Q.C.:  
 6 Q. How about Dr. Bradbury, until the very end, in  
 7 May of '07?  
 8 DR. COOK:  
 9 A. I don't think she was there at any of the  
 10 meetings that I had with the ministers.  
 11 COFFEY, Q.C.:  
 12 Q. Exhibit P-0579 please? Whose handwriting is  
 13 this, Doctor?  
 14 DR. COOK:  
 15 A. That's my handwriting.  
 16 COFFEY, Q.C.:  
 17 Q. And there's a Tom Costello, I take it?  
 18 DR. COOK:  
 19 A. Yes.  
 20 COFFEY, Q.C.:  
 21 Q. Who is that?  
 22 DR. COOK:  
 23 A. President of the Newfoundland and Labrador  
 24 Medical Association at that time.  
 25 COFFEY, Q.C.:



Page 193

1 Q. And what's this, this is a reference to Lab  
 2 City?  
 3 DR. COOK:  
 4 A. That's where he practised out of.  
 5 COFFEY, Q.C.:  
 6 Q. And so in this, you've noted here, "Spoke to  
 7 Tom, August 23rd, 2005, 4:28 p.m."  
 8 DR. COOK:  
 9 A. Uh-hm.  
 10 COFFEY, Q.C.:  
 11 Q. And you made a note that in fact earlier in  
 12 the day, 4:05 p.m., you tried to reach him at  
 13 a particular number.  
 14 DR. COOK:  
 15 A. Right.  
 16 COFFEY, Q.C.:  
 17 Q. And what was your purpose in contacting Dr.  
 18 Costello at that point?  
 19 DR. COOK:  
 20 A. To update him on the situation with ER and PR.  
 21 COFFEY, Q.C.:  
 22 Q. Had you spoken to him before about this?  
 23 DR. COOK:  
 24 A. No, this is the first time.  
 25 COFFEY, Q.C.:

Page 194

1 Q. And why would you be contacting him then?  
 2 DR. COOK:  
 3 A. He was the president of the Medical  
 4 Association and representing our physicians,  
 5 so it would seem, you know, prudent to call  
 6 him and update him on that situation. There  
 7 may have been a call from Dr. Williams to  
 8 myself asking him--asking me to update Dr.  
 9 Costello on the issue surrounding ER and PR.  
 10 COFFEY, Q.C.:  
 11 Q. And here, you gave background on the problem,  
 12 spoke about the index case, stated we are  
 13 retesting cases from 1997 up to August 2005.  
 14 Explained briefly what immunoperoxidase  
 15 testing was and the critical step of boiling  
 16 slides for antigen retrieval, different pH and  
 17 antibodies and dilution and titration."  
 18 DR. COOK:  
 19 A. Uh-hm.  
 20 COFFEY, Q.C.:  
 21 Q. "Spoke to him about the human element and  
 22 variability in the DAKO system and the  
 23 standardization and reproducibility of the  
 24 Ventana system. Talked about the sensitivity  
 25 of the Ventana and high conversion rates.

Page 195

1 Talked about the role of ER and PR and how  
 2 other types of information, ie. grade of  
 3 tumour, lymph node involvement affected  
 4 treatment, say we are using Mount Sinai as a  
 5 reference. Lab talked about failure to  
 6 identify trends and the need for  
 7 subspecialization and core pathology group to  
 8 ER/PR et cetera. Talked about a lack of  
 9 standardization across North America. Spoke  
 10 to him about having medical and technological  
 11 consultant coming in and review our operation.  
 12 Still don't have a good idea of the scope of  
 13 the problem until we get results back from  
 14 Mount Sinai, maybe another two to four weeks.  
 15 We have resisted going public at this time  
 16 until we get more information and decide how  
 17 we are going to tell patient, set up  
 18 appointment times, etcetera. We may find that  
 19 we may not be as or have as bad a--or not have  
 20 had a serious impact than initially thought.  
 21 Gave Tom my number and agreed to keep in touch  
 22 and communicate." And you've got a note here  
 23 to the left-hand side "do not want to create"-  
 24 -something--"anxiety and stress. Tom agreed."  
 25 So I take it he agreed with that view.

Page 196

1 DR. COOK:  
 2 A. Yes.  
 3 COFFEY, Q.C.:  
 4 Q. And then your notes go on to other phone  
 5 calls, I take it, or other communications?  
 6 DR. COOK:  
 7 A. Yes.  
 8 COFFEY, Q.C.:  
 9 Q. So, Doctor, at the time you spoke with Dr.  
 10 Costello, did he seem to already be at least  
 11 vaguely aware of this or was this the first,  
 12 from your perspective, he was hearing of it?  
 13 DR. COOK:  
 14 A. I think it's the first time he heard it.  
 15 COFFEY, Q.C.:  
 16 Q. I take it you gave him, in effect, based upon  
 17 your notes, a full briefing?  
 18 DR. COOK:  
 19 A. Yes, quite a lengthy briefing.  
 20 THE COMMISSIONER:  
 21 Q. Mr. Coffey, we're in time for a break.  
 22 COFFEY, Q.C.:  
 23 Q. Yes. And the idea of keeping in touch with  
 24 him about this, did that actually happen  
 25 afterward?

Page 197

1 DR. COOK:  
 2 A. Yes, I did, I kept in touch.  
 3 COFFEY, Q.C.:  
 4 Q. And how did that go as time went on?  
 5 DR. COOK:  
 6 A. That may have been another phone call or two  
 7 as time went on, just to update him on the  
 8 situation.  
 9 COFFEY, Q.C.:  
 10 Q. Doctor, technologists, do you know if any  
 11 technologists, organizing group or union or  
 12 whatever, was being notified about this?  
 13 DR. COOK:  
 14 A. No.  
 15 COFFEY, Q.C.:  
 16 Q. From your perspective, whose responsibility  
 17 would it have been, if anyone's, to notify any  
 18 representative of the technologists?  
 19 DR. COOK:  
 20 A. You mean as in an organization?  
 21 COFFEY, Q.C.:  
 22 Q. In the same way that you're giving a heads up  
 23 to your NLMA.  
 24 DR. COOK:  
 25 A. I suppose, Mr. Gulliver or, he probably would

Page 198

1 be my counterpart in the technical aspect of  
 2 it.  
 3 COFFEY, Q.C.:  
 4 Q. If we could then, Commissioner, I'll take it  
 5 up after lunch, thank you.  
 6 THE COMMISSIONER:  
 7 Q. All right then, we'll meet at 2:10.  
 8 (RECESS)  
 9 COMMISSIONER:  
 10 Q. Mr. Coffey.  
 11 COFFEY, Q.C.:  
 12 Q. Thank you, Commissioner. Exhibit, Registrar,  
 13 P-0579, please? Doctor, page 2 of this are  
 14 some more handwritten notes, I gather, of  
 15 yourself, to the effect you spoke to Terry  
 16 Gulliver October 23rd, 2005, 10:15 a.m. on the  
 17 number of cases referred in from outside St.  
 18 John's. And here you've noted Gander from 197  
 19 to 2004, less than ten percent, master log, 64  
 20 cases. Carbonear, 14 cases, and you've got  
 21 particular years, '98 to '03 and '99 to--I'm  
 22 sorry, '98, three, '99, four and so on,  
 23 Carbonear, 14 cases listed there. Then you've  
 24 made a notice to the master log would be sent  
 25 out on these cases, hopefully cases will be

Page 199

1 sent out on August 24th, 2005. There's a note  
 2 here, "Call Grand Falls, Corner Brook, St.  
 3 Anthony." I take it that you mention here,  
 4 "Send paraffin blocks pathology" -  
 5 DR. COOK:  
 6 A. "Pathology report" should be.  
 7 COFFEY, Q.C.:  
 8 Q. "Reports" should be. And ER and PR, I take it  
 9 that's what you were going to call these three  
 10 centres about?  
 11 DR. COOK:  
 12 A. That's correct.  
 13 COFFEY, Q.C.:  
 14 Q. And you've got a note here, "Concentrated on  
 15 the 1999 to March, 2004 years." I take it you  
 16 intended to tell them that?  
 17 DR. COOK:  
 18 A. Yes.  
 19 COFFEY, Q.C.:  
 20 Q. And then there's a note here, "Spoke to Paul  
 21 Neil," he's the pathologist in Corner Brook?  
 22 DR. COOK:  
 23 A. Um-hm.  
 24 COFFEY, Q.C.:  
 25 Q. August 23rd, 2005, 10:30 a.m., you've made a

Page 200

1 note, "Concentrated on the '99 to 2004 years.  
 2 Current cases refer directly to Mount Sinai.  
 3 Send" there's something, a name, I take it, of  
 4 contact individual at Mount Sinai?  
 5 DR. COOK:  
 6 A. I think that's it.  
 7 COFFEY, Q.C.:  
 8 Q. You sent it. So here this was your contact  
 9 with Paul Neil to tell him, I take it, the  
 10 status of matters and to request that he,  
 11 Corner Brook, send material to St. John's?  
 12 DR. COOK:  
 13 A. That's correct.  
 14 COFFEY, Q.C.:  
 15 Q. And this, I take it, Doctor, at this point you  
 16 expected or anticipated sending written notice  
 17 to that effect to him but this was a heads up  
 18 verbally?  
 19 DR. COOK:  
 20 A. That's correct.  
 21 COMMISSIONER:  
 22 Q. Was Corner Brook going directly to Mount Sinai  
 23 or to St. John's and to -  
 24 DR. COOK:  
 25 A. They were sending their retro cases to St.

Page 201

1 John's, but the newly diagnosed cases were  
 2 going straight to Mount Sinai.  
 3 COMMISSIONER:  
 4 Q. Okay.  
 5 DR. COOK:  
 6 A. Yes.  
 7 COFFEY, Q.C.:  
 8 Q. It says, "Current cases referred directly to  
 9 Mount Sinai."?  
 10 DR. COOK:  
 11 A. Yes.  
 12 COFFEY, Q.C.:  
 13 Q. So their current cases, they were not sending  
 14 them to St. John's to be sent on, they were  
 15 sending it direct?  
 16 DR. COOK:  
 17 A. No. At that time we were starting to feel the  
 18 pressure of the work coming in and our ability  
 19 to handle this, so I asked the directors if  
 20 they could forward their newly diagnosed cases  
 21 to Mount Sinai.  
 22 COFFEY, Q.C.:  
 23 Q. And, Commissioner, you'll recall we saw with  
 24 Dr. Mullen, I think, some letters in late  
 25 August, early September about how that was to

Page 202

1 be done?  
 2 COMMISSIONER:  
 3 Q. Um-hm. Forgive me, Dr. Cook, but I confess, I  
 4 had a little difficulty figuring what current  
 5 cases was.  
 6 DR. COOK:  
 7 A. Well, Commissioner -  
 8 COMMISSIONER:  
 9 Q. No, reading your writing.  
 10 DR. COOK:  
 11 A. Oh. The current cases are the newly diagnosed  
 12 cases. Those would come back in a full report  
 13 or another name for them, Commissioner, was  
 14 consultations.  
 15 COMMISSIONER:  
 16 Q. Yeah.  
 17 COFFEY, Q.C.:  
 18 Q. Now, you've got a note here, "Spoke to Maria  
 19 Mendes, August 23rd, 2005, 10:55 a.m. May not  
 20 get result until two weeks down the road as  
 21 blocks may have to be," what does that say?  
 22 DR. COOK:  
 23 A. "Reprocessed."  
 24 COFFEY, Q.C.:  
 25 Q. "Reprocessed. Technical issue with the

Page 203

1 blocks. Has received about 200 blocks."  
 2 DR. COOK:  
 3 A. Um-hm.  
 4 COFFEY, Q.C.:  
 5 Q. What was this about, Doctor?  
 6 DR. COOK:  
 7 A. Well, that was the first time I've heard of  
 8 anything with the blocks and I spoke to Maria  
 9 regarding that and I said, "What's the problem  
 10 with the blocks?" And she was really hesitant  
 11 to tell me what was going on with the blocks.  
 12 And I said, I must have asked her a couple of  
 13 times, and "Is it because of there's too much  
 14 tissue in the blocks or the block got to be  
 15 melted down and re-embedded?" So I couldn't  
 16 get an issue (sic.) out of Maria what was  
 17 happening with the blocks. But -  
 18 COFFEY, Q.C.:  
 19 Q. So who had brought to your attention that  
 20 there was a potential technical issue with the  
 21 blocks?  
 22 DR. COOK:  
 23 A. Maria. So I said, "Is it anything of a  
 24 serious nature?" And she said, "No. It's  
 25 just some routine reprocessing." So I took it

Page 204

1 from that that they were going just to maybe  
 2 re-embed some of the tissue and maybe trim  
 3 down the blocks because I knew that in a  
 4 number of cases there was a lot of fat  
 5 associated with the tissue and very little  
 6 supporting matrix in regards to the paraffin  
 7 surrounding the tissue. So I took that to  
 8 mean that the blocks were being remelted and  
 9 that the tissue was being trimmed and the  
 10 reprocessed.  
 11 COFFEY, Q.C.:  
 12 Q. And that was happening where, you understood?  
 13 DR. COOK:  
 14 A. At Mount Sinai.  
 15 COFFEY, Q.C.:  
 16 Q. And were you ever told that that was actually  
 17 going on?  
 18 DR. COOK:  
 19 A. Was I ever told?  
 20 COFFEY, Q.C.:  
 21 Q. Yes, that that was actually done?  
 22 DR. COOK:  
 23 A. No.  
 24 COFFEY, Q.C.:  
 25 Q. Okay. Did you ever make any further inquiries

Page 205

1 in that regard?

2 DR. COOK:

3 A. No, I didn't.

4 COFFEY, Q.C.:

5 Q. And you've got a note here, "Tried to reach  
6 Maurice Dalton on August 23rd, 2005, 12:10,"  
7 and it says a.m. but I take it that's probably  
8 p.m.. "Currently on holidays. Will speak to  
9 him when he gets back on Monday, August 29th."

10 DR. COOK:

11 A. Yes.

12 COFFEY, Q.C.:

13 Q. And he's the pathologist in Grand Falls.  
14 "Spoke to Ken Green, August 23rd, 2005 12:15."  
15 I take it these would be, they say a.m. but  
16 this would be just past noon?

17 DR. COOK:

18 A. That's correct.

19 COFFEY, Q.C.:

20 Q. Okay. "Send all control and HER2/neu to be  
21 read by Bev Carter at St. Clare's."

22 DR. COOK:

23 A. Yes.

24 COFFEY, Q.C.:

25 Q. What is that about, Doctor?

Page 206

1 DR. COOK:

2 A. Well, I guess we're getting into the area of  
3 sub-specialization, wanting Bev to become a  
4 contact person for all the controls and  
5 HER2/neus before they're sent out.

6 COFFEY, Q.C.:

7 Q. There's a note here, "Pat Pilgrim, August  
8 23rd, 2005, 12:45." What's the, something  
9 about Herceptin?

10 DR. COOK:

11 A. "Talked about Herceptin and the impact on the  
12 lab of the new HER2/neu testing."

13 COFFEY, Q.C.:

14 Q. What was that about?

15 DR. COOK:

16 A. Prior to this when we ordered HER2/neu, this  
17 would be only on the request of the  
18 oncologist, but now with the new protocols  
19 coming in, HER2/neu was to be ordered up front  
20 on every new diagnosed breast cancer case. So  
21 we needed--that would have been, require extra  
22 funding for the lab to deal with that.

23 COFFEY, Q.C.:

24 Q. And you've made a note here, "Spoke to Dan  
25 Fontaine August 23rd, 2005 4:05 about point

Page 207

1 person."

2 DR. COOK:

3 A. Um-hm.

4 COFFEY, Q.C.:

5 Q. What was that about?

6 DR. COOK:

7 A. Again, that must be, again, relating to the  
8 HER2/neu to be read by Dr. Carter.

9 COFFEY, Q.C.:

10 Q. Was HER2/neu then being done in St. John's?

11 DR. COOK:

12 A. Yes.

13 COFFEY, Q.C.:

14 Q. And it was still being done in St. John's?

15 DR. COOK:

16 A. Well, we discontinued that in late September,  
17 early August, I believe, not because of a  
18 technical -

19 COFFEY, Q.C.:

20 Q. That would be late July? You said September.

21 DR. COOK:

22 A. Late August, early--late July, early August,  
23 sorry.

24 COFFEY, Q.C.:

25 Q. Sorry, Doctor, go ahead.

Page 208

1 DR. COOK:

2 A. Not because of a technical issue, but because  
3 we simply ran out of the HER2/neu kits. And  
4 these kits are quite expensive and time  
5 consuming and it was also at a time when there  
6 were heavy pressures on our lab in terms of  
7 workload and whatnot, so I decided if we were  
8 having the ERS and PRs being tested up in  
9 Mount Sinai, we could get the HER2/neus tested  
10 on the same block, probably at a cheaper price  
11 and at greater turn around times, so I elected  
12 to go that way. Now, at the same time Dr.  
13 Carter expressed an interest in upgrading our  
14 HER2/neu. As I said, it was done on a kit  
15 that was FDA and Health Canada approved. So  
16 she was looking at transferring that possibly  
17 to the Ventana system with an addition of a  
18 second antibody.

19 COFFEY, Q.C.:

20 Q. And that was the status at the time. I take  
21 it the HER2/neu continued to be done, then, on  
22 current cases at Mount Sinai?

23 DR. COOK:

24 A. At Mount Sinai.

25 COFFEY, Q.C.:

Page 209

1 Q. Did that ever change or has that changed even  
 2 to this day?  
 3 DR. COOK:  
 4 A. No, that's still being done today.  
 5 COFFEY, Q.C.:  
 6 Q. If we could, please, Exhibit P-0581? Doctor,  
 7 I take it these are, again, a copy of some  
 8 notes of yours. They read, "Spoke to Barry  
 9 Gallagher August 24th, 2005, 10:30 a.m.  
 10 Advised him to send current ER and PR cases  
 11 directly to Mount Sinai or to Sunnybrook,  
 12 whichever he preferred as opposed to sending  
 13 them in to St. John's."  
 14 DR. COOK:  
 15 A. That's correct.  
 16 COFFEY, Q.C.:  
 17 Q. And then you note, "Spoke to Gary Baker,  
 18 August 24th, 2005, 11:05 a.m." Gary Baker  
 19 would be the pathologist in Carbonear?  
 20 DR. COOK:  
 21 A. That's correct.  
 22 COFFEY, Q.C.:  
 23 Q. Again, you've made a note, "Advised him to  
 24 send current ER and PRs directly to Mount  
 25 Sinai as opposed to sending cases to St.

Page 210

1 John's. Send copy of contact individual--sent  
 2 copy of contact individual at Mount Sinai." I  
 3 take it you gave him the name of the  
 4 individual he should contact?  
 5 DR. COOK:  
 6 A. Yes.  
 7 COFFEY, Q.C.:  
 8 Q. And "Tried to reach Dr. Dankwa August 24,  
 9 2005, 11:10 a.m." That's Dr. Dankwa would be  
 10 the pathologist, I take it, in St. Anthony?  
 11 DR. COOK:  
 12 A. Um-hm.  
 13 COFFEY, Q.C.:  
 14 Q. And finally, "Spoke to Maurice Dalton  
 15 September 1, 2005, 3:45 p.m. at great length  
 16 with background information. Wanted him to  
 17 know this before I sent out memos."  
 18 DR. COOK:  
 19 A. Right.  
 20 COFFEY, Q.C.:  
 21 Q. What was that about, Doctor?  
 22 DR. COOK:  
 23 A. Again, a lot of information there exchanged  
 24 between myself and Maurice, I would say we  
 25 probably had a half hour conversation, at

Page 211

1 least, describing the index case, how this  
 2 whole process was evolving, issues surrounding  
 3 the tests and I guess I would have been  
 4 talking about the, meaning technical aspects  
 5 of it, issues with the interpretation and the  
 6 review process.  
 7 COFFEY, Q.C.:  
 8 Q. And was this a more detailed or in-depth  
 9 conversation than you had with the other  
 10 pathologists out around?  
 11 DR. COOK:  
 12 A. I would say. The whole idea of me speaking  
 13 personally to the pathologists was for me  
 14 giving me an opportunity to give them the  
 15 heads up, also, you know, being available for  
 16 them to ask any questions.  
 17 COFFEY, Q.C.:  
 18 Q. And, well, you've made a particular note about  
 19 Dr. Dalton. Do you recall if the conversation  
 20 with him was perhaps longer?  
 21 DR. COOK:  
 22 A. Yes.  
 23 COFFEY, Q.C.:  
 24 Q. And if we could, please, Exhibit P-0582?  
 25 Doctor, these are Dr. Williams' notes of a

Page 212

1 meeting of that day, I gather. Page 2 of the  
 2 exhibit is the handwritten version of them,  
 3 I'm sorry, the typed version, actually, for  
 4 August 24th and 26th. And, Doctor, in the  
 5 first bullet for August 24th it reads, "In  
 6 addition to Dr. Cook's memo of August 24th,  
 7 2005 we will adjust our Ventana system based  
 8 on our new controls. When this is done, we  
 9 will retest on the adjusted Ventana system.  
 10 Same time we will send all samples to Mount  
 11 Sinai for retesting. We will then have one  
 12 year of testing on our adjusted Ventana system  
 13 to compare the results from Mount Sinai for  
 14 2004, 2005." What was that about, Doctor?  
 15 DR. COOK:  
 16 A. That I would imagine is a revalidation of the  
 17 Ventana system.  
 18 COFFEY, Q.C.:  
 19 Q. In relation to what?  
 20 DR. COOK:  
 21 A. In relation to the ER/PR issue and I guess in  
 22 relation to various observations that Dr.  
 23 Carter has brought up concerning the original  
 24 validation of the system.  
 25 COFFEY, Q.C.:

Page 213

1 Q. Of the Ventana system?  
 2 DR. COOK:  
 3 A. Of the Ventana system.  
 4 COFFEY, Q.C.:  
 5 Q. Did she express--did she see any shortcomings  
 6 in what had happened?  
 7 DR. COOK:  
 8 A. Well, she just questioned the validation  
 9 process.  
 10 COFFEY, Q.C.:  
 11 Q. What, if any, validation process had there  
 12 been for the Ventana system?  
 13 DR. COOK:  
 14 A. Well, my understanding was that Mr. Gulliver  
 15 and Mr. Dyer were involved in the validation  
 16 process and Mr. Gulliver commented that  
 17 hundreds of controls were used to validate the  
 18 Ventana system. We thought initially he was  
 19 talking about hundreds of ERs and PRs, but  
 20 what he was talking about were hundreds of  
 21 other known paraffin blocks and other  
 22 immunoperoxidase stains, so the exact number  
 23 of blocks related to ER and PR used to  
 24 validate the system was unknown, or unknown to  
 25 me, anyway.

Page 214

1 COFFEY, Q.C.:  
 2 Q. Were there any records, do you know, written  
 3 records of the validation process?  
 4 DR. COOK:  
 5 A. Well, I'm not sure. Again, we had that flood  
 6 back in November of 2004. Whether some of  
 7 those records were destroyed, but I really  
 8 don't know about the documentation of the  
 9 Ventana system.  
 10 COFFEY, Q.C.:  
 11 Q. And you also note, and it's also noted here in  
 12 Dr. Williams' notes, "Dr. Cook will be sending  
 13 out a number of memos on this and other  
 14 issues."  
 15 DR. COOK:  
 16 A. Yes. And I think memos in regard to  
 17 notification that the testing has been stopped  
 18 and send in blocks for the review of cases and  
 19 whatnot.  
 20 COFFEY, Q.C.:  
 21 Q. These would be memos to the other hospitals?  
 22 DR. COOK:  
 23 A. Yes.  
 24 COFFEY, Q.C.:  
 25 Q. Outside St. John's?

Page 215

1 DR. COOK:  
 2 A. Yes.  
 3 COFFEY, Q.C.:  
 4 Q. And it's noted, "Blocks for 2004, '05 being  
 5 pulled. Hope to start in-house testing on all  
 6 specimens, then pack the blocks to send to  
 7 Mount Sinai so they will be processed as soon  
 8 as current workload there completed."  
 9 DR. COOK:  
 10 A. Um-hm.  
 11 COFFEY, Q.C.:  
 12 Q. I take it this is the idea of now dealing with  
 13 the 2004, '05 tests?  
 14 DR. COOK:  
 15 A. Yes.  
 16 COFFEY, Q.C.:  
 17 Q. And getting them done at Mount Sinai?  
 18 DR. COOK:  
 19 A. Yes.  
 20 COFFEY, Q.C.:  
 21 Q. There's a reference in the August 26th note  
 22 here that Dr. Williams had met with Mr.  
 23 Gulliver and Mr. Dyer and "A lot of work and  
 24 effort has gone into ER and PR controls for  
 25 Ventana system. Dr. Cook reviews to confirm

Page 216

1 results. Testing to be done as soon as  
 2 controls verified." What was--what type of  
 3 testing are we talking about here?  
 4 DR. COOK:  
 5 A. Again, the validation testing, but I can't  
 6 remember seeing any slides that were redone on  
 7 the ER and PR for the revalidation.  
 8 COFFEY, Q.C.:  
 9 Q. Exhibit P-0585, please? And this is an August  
 10 24, 2005 letter from yourself, Dr. Cook,  
 11 copied to Dr. Williams, to Dr. Carter,  
 12 acknowledging receipt of her letter of August  
 13 2nd, 2005. You note, "I respect your decision  
 14 not to get involved in the operational aspects  
 15 concerning the current ER/PR review. I do,  
 16 however, readily recognize your role as a  
 17 resource individual and greatly appreciate  
 18 your professional advice." And so on, you  
 19 elaborate a bit on it. Doctor, looking back  
 20 on it, after August 2nd, 2005, in trying to  
 21 reconstruct it, how much did Dr. Carter then  
 22 get involved or not, you know, as time went  
 23 on?  
 24 DR. COOK:  
 25 A. After August 2nd, there was very little

Page 217

1 involvement with Dr. Carter in the process. I  
 2 was taking the lead role along with Mr. Dyer  
 3 and Gulliver in setting up the review process  
 4 and forwarding the various material on to  
 5 Mount Sinai. Now, in regards to her, Dr.  
 6 Carter's role, she was still an individual  
 7 there that I was relying on for advice and at  
 8 times guidance, where to go with this issue.  
 9 COFFEY, Q.C.:  
 10 Q. If we could see, please, Exhibit P-0580? Sir,  
 11 this is a memo of August 24th, 2005. It's two  
 12 pages. It's from yourself.  
 13 DR. COOK:  
 14 A. Um-hm.  
 15 COFFEY, Q.C.:  
 16 Q. To all lab laboratory directors, and that  
 17 would be throughout Newfoundland, as well as  
 18 Dr. Williams. It's from yourself in your role  
 19 as clinical chief, August 24th '05, estrogen  
 20 and progesterone receptors. "I wish to advise  
 21 you that we are doing a review of our estrogen  
 22 and progesterone receptors as a precautionary  
 23 measure at this time. Once all data is  
 24 compiled, we will have a better idea of the  
 25 scope of this issue." You say "I expect to

Page 218

1 have more information within the next few  
 2 weeks and will keep you updated. Please note  
 3 the following points." And then, if you look,  
 4 there are five such points spelled out.  
 5 DR. COOK:  
 6 A. Um-hm.  
 7 COFFEY, Q.C.:  
 8 Q. And this, in effect, is a memo where you're  
 9 telling the directors, lab directors  
 10 throughout the province about the hold on  
 11 reporting of ER/PR. Current requests being  
 12 sent to Mount Sinai for ER/PR testing and  
 13 requesting, further to your memo of June 13th,  
 14 that they forward all ER negative cases on  
 15 primary breast lesions, independent of PR  
 16 status, between particular dates with certain  
 17 cutoffs, ten percent for one and then 30  
 18 percent for the other. And you have other  
 19 requests and so on in it. Now Doctor, this is  
 20 signed. Do you know if this was ever actually  
 21 sent?  
 22 DR. COOK:  
 23 A. That actual copy wasn't sent. I spoke to Dr.  
 24 Williams just to notify him that I was sending  
 25 it out and I think he was--he made a request

Page 219

1 to me to forward that over to him, as well as  
 2 a copy, I believe, to Susan Bonnell in  
 3 communications, for them to have a look at it  
 4 before it was sent out.  
 5 COFFEY, Q.C.:  
 6 Q. Exhibit P-0334, please? Now Doctor, this is  
 7 an e-mail of August 26th, 2005 from Susan  
 8 Bonnell to George Tilley, yourself and Dr.  
 9 Williams, and she writes "as per your request"  
 10 and then there's a text and it reads "I wish  
 11 to advise"--it begins "I wish to advise you  
 12 that we are doing a review of our estrogen and  
 13 progesterone receptors. I expect to have more  
 14 information within the next few weeks and will  
 15 keep you updated. Please note the following  
 16 points." There are a number of points and so  
 17 on, not going to read all the way through it,  
 18 but it concludes with "if you have any  
 19 questions, please feel free to contact me" at  
 20 a particular number. That 777-5482 number is  
 21 yours at the office, I take it?  
 22 DR. COOK:  
 23 A. That's correct.  
 24 COFFEY, Q.C.:  
 25 Q. And what she's drafted here is to be signed

Page 220

1 "sincerely yours, Donald Cook, Clinical  
 2 Chief." So this was a suggested memo by--or  
 3 draft of the memo by Susan Bonnell?  
 4 DR. COOK:  
 5 A. Yes, the main body of the original memo is  
 6 unchanged. Some minor changes in  
 7 configuration of the memo and format, but that  
 8 was a look at the memo after they had a look  
 9 at it and Dr. Williams.  
 10 COFFEY, Q.C.:  
 11 Q. So this draft, you drafted the original one,  
 12 August 24th?  
 13 DR. COOK:  
 14 A. That's correct.  
 15 COFFEY, Q.C.:  
 16 Q. You gave a copy to Dr. Williams. He asked  
 17 that you forward a copy to Ms. Bonnell?  
 18 DR. COOK:  
 19 A. Yes.  
 20 COFFEY, Q.C.:  
 21 Q. And you received this e-mail back?  
 22 DR. COOK:  
 23 A. Yes.  
 24 COFFEY, Q.C.:  
 25 Q. Was it your understanding then that you were

Page 221

1 to use this text as the memo?  
 2 DR. COOK:  
 3 A. It was an understanding. I mean, still, you  
 4 know, if I wanted to change things, I could,  
 5 but I looked at it and it looked fine to me.  
 6 COFFEY, Q.C.:  
 7 Q. Okay. If we could, please, Exhibit P-0590?  
 8 And this is a memo of September 6th, 2005.  
 9 It's to all laboratory directors. It's the  
 10 same subject matter. It's from yourself and  
 11 it includes Dr. Williams as well as a  
 12 recipient. The text here reads "I wish to  
 13 advise you that we are doing a review of our  
 14 estrogen and progesterone receptors. I expect  
 15 to have more information within the next few  
 16 weeks and will keep you updated. Please note  
 17 the following points." And then, Doctor, if  
 18 we were actually to go through this line for  
 19 line and word for word, the then text that  
 20 follows is really just a reformatted version  
 21 of your original memo, isn't it?  
 22 DR. COOK:  
 23 A. That's the original memo of August 24th, yeah.  
 24 COFFEY, Q.C.:  
 25 Q. If we could just look back, please, at P-0580,

Page 222

1 page one, in the intro? Read the first  
 2 sentence, it begins as saying "I wish to  
 3 advise you that we are doing a review of our  
 4 estrogen and progesterone receptors." The  
 5 words "as a precautionary measure at this  
 6 time" they are not in the September 6th memo,  
 7 are they?  
 8 DR. COOK:  
 9 A. No, they're not.  
 10 COFFEY, Q.C.:  
 11 Q. And as well, the words "once all data is  
 12 compiled, we will have a better idea of the  
 13 scope of this issue."  
 14 DR. COOK:  
 15 A. Yes.  
 16 COFFEY, Q.C.:  
 17 Q. Are those words in the September 6th memo?  
 18 DR. COOK:  
 19 A. I don't believe they are.  
 20 COFFEY, Q.C.:  
 21 Q. Okay. Did you notice at the time you got this  
 22 back that the precaution--reference to  
 23 "precautionary measure at this time" and the  
 24 reference to "better idea of the scope of the  
 25 issue" had been omitted?

Page 223

1 DR. COOK:  
 2 A. I may have, Mr. Coffey. I was probably paying  
 3 more attention to the actual body of the  
 4 letter and making sure the percentages were  
 5 correct.  
 6 COFFEY, Q.C.:  
 7 Q. Do you know--did you ever discuss that  
 8 particular change, the dropping of  
 9 "precautionary measure at this time" and  
 10 "better idea of the scope of the issue," did  
 11 you ever discuss that with anybody?  
 12 DR. COOK:  
 13 A. Can't remember discussing anything about that.  
 14 COFFEY, Q.C.:  
 15 Q. But the omission of it from one to the other,  
 16 I take it wasn't your doing? It was whoever  
 17 redrafted it?  
 18 DR. COOK:  
 19 A. Yes.  
 20 COFFEY, Q.C.:  
 21 Q. Now Doctor, while we have--if I could, please,  
 22 Registrar, Exhibit P-0590? Now this is the  
 23 actual memo that did go out to the various  
 24 medical directors, the September 6th one.  
 25 This is the one that went, is it, Doctor?

Page 224

1 DR. COOK:  
 2 A. Yes.  
 3 COFFEY, Q.C.:  
 4 Q. Okay. Now, here, Doctor, it references  
 5 particular dates, particular ten--like ten  
 6 percent cutoff, ten percent or less, 30  
 7 percent or less, and the specific dates or  
 8 periods they cover are all very clearly  
 9 spelled out here, aren't they?  
 10 DR. COOK:  
 11 A. Yes.  
 12 COFFEY, Q.C.:  
 13 Q. Doctor, I just note, just as a matter of  
 14 curiosity, it's defined as ten percent or  
 15 less.  
 16 DR. COOK:  
 17 A. Um-hm  
 18 COFFEY, Q.C.:  
 19 Q. Or 30 percent or less.  
 20 DR. COOK:  
 21 A. Yeah.  
 22 COFFEY, Q.C.:  
 23 Q. Was any thought given to whether it's ten or  
 24 less or should be just less than ten or less  
 25 than 30? Because when you particularize ten -



Page 225

1 DR. COOK:  
 2 A. You're saying ten percent.  
 3 COFFEY, Q.C.:  
 4 Q. - of course, ten percent or less and I'm just  
 5 wondering about--ask you about that, because  
 6 if we look back, and I'm thinking about  
 7 mathematical symbols, before it was less than  
 8 ten percent and less than 30. Did you ever  
 9 actually--would that ever come up about  
 10 whether we use ten and less and 30 and less or  
 11 less than ten and less than 30?  
 12 DR. COOK:  
 13 A. No, I refer back to Khalifa's original memo, I  
 14 believe, where he talked about 30 percent or  
 15 less. So that was just a minor revision in  
 16 regard to that original memo and applied the  
 17 same for the ten percent.  
 18 COFFEY, Q.C.:  
 19 Q. Back to Khalifa's '98 memo?  
 20 DR. COOK:  
 21 A. Yeah.  
 22 COFFEY, Q.C.:  
 23 Q. 1998 memo.  
 24 THE COMMISSIONER:  
 25 Q. Dr. Cook, I understood that when you were

Page 226

1 speaking earlier that in respect of the  
 2 business of the ten percent or the 30 percent,  
 3 that was really as a result of what  
 4 oncologists were doing at the relevant period  
 5 of time?  
 6 DR. COOK:  
 7 A. That's my understanding, Commissioner, from  
 8 Dr. Laing.  
 9 THE COMMISSIONER:  
 10 Q. Okay, and in your conversation with Dr. Laing,  
 11 would she have knowledge of what oncologists  
 12 were doing outside of the centre in which you  
 13 worked?  
 14 DR. COOK:  
 15 A. I couldn't say, nor could I say she had  
 16 knowledge of what they were doing in '97, '98  
 17 or '99.  
 18 COFFEY, Q.C.:  
 19 Q. Which I take it is before her time, to your  
 20 knowledge, in St. John's?  
 21 DR. COOK:  
 22 A. Yes.  
 23 THE COMMISSIONER:  
 24 Q. Well, I suppose, I'm also making assumptions  
 25 that there are oncologists in other regions

Page 227

1 who would be making determinations regarding  
 2 their patient based on the readings at the  
 3 time.  
 4 DR. COOK:  
 5 A. I can't say, Commissioner, whether there were  
 6 other oncologists permanently based in other  
 7 regions. Most of them were based in St.  
 8 John's and then they would -  
 9 THE COMMISSIONER:  
 10 Q. And they would go out.  
 11 DR. COOK:  
 12 A. - they would go out to the various outreach  
 13 clinics.  
 14 THE COMMISSIONER:  
 15 Q. All right, thank you.  
 16 COFFEY, Q.C.:  
 17 Q. Doctor, the last bullet on the page, first  
 18 page, says "all ERs and PRs performed on the  
 19 Ventana system from April 1, 2004 to August 9,  
 20 2005 will be referred to Mount Sinai for  
 21 retesting."  
 22 DR. COOK:  
 23 A. Yes.  
 24 COFFEY, Q.C.:  
 25 Q. "Then also forward these cases to Mr. Barry

Page 228

1 Dyer."  
 2 DR. COOK:  
 3 A. Um-hm.  
 4 COFFEY, Q.C.:  
 5 Q. Do you know if--because that would suggest ERs  
 6 and PRs, whether negative or positive -  
 7 DR. COOK:  
 8 A. Well, that would have been both negative and  
 9 positive.  
 10 COFFEY, Q.C.:  
 11 Q. Yes. Do you know if the other regions or  
 12 health authorities did send into St. John's  
 13 their ER positives?  
 14 DR. COOK:  
 15 A. I believe so.  
 16 COFFEY, Q.C.:  
 17 Q. Did they end up being sent off to Mount Sinai  
 18 or were they taken -  
 19 DR. COOK:  
 20 A. They may have been sequestered, Mr. Coffey. I  
 21 can't--I don't--I can't say for sure.  
 22 COFFEY, Q.C.:  
 23 Q. - taken out of the flow and just the negative  
 24 ER sent?  
 25 DR. COOK:

Page 229

1 A. I believe, I can't be sure on that.  
 2 COFFEY, Q.C.:  
 3 Q. And then, Doctor, on the next page, you set  
 4 out a priority list, as it were, at the  
 5 beginning of the page, emphasizing, at this  
 6 point in time, that they concentrate on  
 7 particular years.  
 8 DR. COOK:  
 9 A. Um-hm.  
 10 COFFEY, Q.C.:  
 11 Q. And followed by '99 to 2004, followed by '97  
 12 and '98, and then finally the most recent  
 13 cases. The reference in the last bullet on  
 14 this second page, "the status of the Ventana  
 15 system will be determined when we review  
 16 correlations of ER and PR results from Mount  
 17 Sinai and Montreal General. As a  
 18 precautionary measure, we are awaiting reports  
 19 from medical and technical consultants before  
 20 we operationalize the Ventana system." That's  
 21 operationalize in the sense of ER/PR?  
 22 DR. COOK:  
 23 A. ER/PR.  
 24 COFFEY, Q.C.:  
 25 Q. Okay. So in the meantime -

Page 230

1 DR. COOK:  
 2 A. Continuing on with the other IHC testing.  
 3 COFFEY, Q.C.:  
 4 Q. Did you get any--other than getting the actual  
 5 blocks and pathology reports and so on, did  
 6 you get any feedback from the medical  
 7 directors after you sent this out?  
 8 DR. COOK:  
 9 A. Not to me personally.  
 10 COFFEY, Q.C.:  
 11 Q. Exhibit 0589, please? Here, Doctor, and these  
 12 are your notes, I take it, from various  
 13 conversations throughout the month of  
 14 September?  
 15 DR. COOK:  
 16 A. Yes.  
 17 COFFEY, Q.C.:  
 18 Q. And I think--yes. Here, on September 2nd, you  
 19 note "spoke to Maria Mendes. Gave her a list  
 20 of pathology directors from Newfoundland, as  
 21 she was getting a number of inquiries. Try"--  
 22 is it -  
 23 DR. COOK:  
 24 A. "Try to have her first reports out by  
 25 September 9th, but no guarantee."

Page 231

1 COFFEY, Q.C.:  
 2 Q. And that was from her end?  
 3 DR. COOK:  
 4 A. That's correct.  
 5 COFFEY, Q.C.:  
 6 Q. There's a reference September 7th, 2005,  
 7 "spoke to Dr. Dankwa from St. Anthony, updated  
 8 him on situation and gave background  
 9 information before my memo sent out," or went  
 10 out. That would be the September 6th memo, I  
 11 take it?  
 12 DR. COOK:  
 13 A. Yes.  
 14 COFFEY, Q.C.:  
 15 Q. September 7th, 2005, you noted "spoke to Nancy  
 16 Good at Mount Sinai. Still cutting blocks.  
 17 Hope to start staining tomorrow." And then  
 18 the same day, same afternoon, you spoke to  
 19 Maria Mendes, "may not get first results until  
 20 Tuesday or Wednesday on the week of September  
 21 12th, 2005. Currently doing this on an  
 22 overtime evening basis."  
 23 DR. COOK:  
 24 A. That's correct.  
 25 COFFEY, Q.C.:

Page 232

1 Q. And there's a reference out here, Doctor, to--  
 2 what's that? Notes  
 3 DR. COOK:  
 4 A. Retro, something regarding -  
 5 COFFEY, Q.C.:  
 6 Q. Oh, I'm sorry, "retros before August 9th,  
 7 2005."  
 8 DR. COOK:  
 9 A. Yeah.  
 10 COFFEY, Q.C.:  
 11 Q. "Go forward beyond August 9th 2005." Is that--  
 12 -I'm sorry, "good forward." I take it good,  
 13 is that good or go?  
 14 DR. COOK:  
 15 A. It looks like good.  
 16 COFFEY, Q.C.:  
 17 Q. Good. Doctor, the current cases that Eastern  
 18 Health was then sending to Mount Sinai, in  
 19 what format were they going? I take it  
 20 because all of the retros were going in  
 21 batches, all packaged up, how were the current  
 22 cases sent?  
 23 DR. COOK:  
 24 A. Well, they were going as they were requested  
 25 by the oncologist. Newly diagnosed cases, the

Page 233

1 paraffin block, which I believe the pathology  
 2 report, that would be sent up separately along  
 3 with a requisition to Mount Sinai.  
 4 COFFEY, Q.C.:  
 5 Q. Okay, a note here, then on September 13th  
 6 "possibly looking at -  
 7 DR. COOK:  
 8 A. Getting results.  
 9 COFFEY, Q.C.:  
 10 Q. - getting results by this Friday.  
 11 DR. COOK:  
 12 A. Um-hm.  
 13 COFFEY, Q.C.:  
 14 Q. Spoke to Nancy Good on the 13th, ER/PR. You  
 15 had spoken to her on that day, and then  
 16 September 14th, 2005, "ER and PR issue brought  
 17 to MAC."  
 18 DR. COOK:  
 19 A. Yes.  
 20 COFFEY, Q.C.:  
 21 Q. That would be brought by yourself?  
 22 DR. COOK:  
 23 A. That's correct.  
 24 COFFEY, Q.C.:  
 25 Q. And I'll be asking you some more about that.

Page 234

1 September 19th, 2005, "update ER and PR at  
 2 clinical chiefs meeting."  
 3 DR. COOK:  
 4 A. That's correct.  
 5 COFFEY, Q.C.:  
 6 Q. So you would have given, I take it, your  
 7 fellow clinical chiefs, at a meeting, status  
 8 report as to where it was.  
 9 DR. COOK:  
 10 A. Yes.  
 11 COFFEY, Q.C.:  
 12 Q. Now September 21st, 2005, "Dr. Cook, Dr.  
 13 Carter, interviewed Trish," that would be  
 14 Trish Wegrynowski, and the same day, "ER and  
 15 PR issue brought forward to Eastern Health  
 16 Board by Dr. Williams." Were you present for  
 17 that, Doctor?  
 18 DR. COOK:  
 19 A. At the Board?  
 20 COFFEY, Q.C.:  
 21 Q. Yes.  
 22 DR. COOK:  
 23 A. No, I was on standby. If Dr. Williams  
 24 requested that I attend the board meeting,  
 25 then I would attend the board meeting at a

Page 235

1 moment's notice.  
 2 COFFEY, Q.C.:  
 3 Q. Okay, if we could, please, Exhibit P-0591?  
 4 DR. COOK:  
 5 A. Now this is an e-mail from yourself, September  
 6 7th, 2005, to Maria Mendes and the subject is  
 7 "ER and PR List". You write, "The spreadsheet  
 8 looks good, there are a number of names which  
 9 are not on the list which I presume are still  
 10 in the unopened envelopes." And you're  
 11 advising here that "more of these retro cases  
 12 will come once we have received them from  
 13 other hospitals across the province. And we  
 14 will also be sending more retro cases from the  
 15 years '97, '98, from St. Clare's site." And  
 16 you conclude by saying, "You can proceed with  
 17 the cutting, staining and reporting of those  
 18 cases on the sheets that you have forwarded to  
 19 me."  
 20 DR. COOK:  
 21 A. That's correct.  
 22 COFFEY, Q.C.:  
 23 Q. So these sheets, the spreadsheet you had  
 24 gotten from here, I take it listed at least  
 25 the cases she had, by then, logged?

Page 236

1 DR. COOK:  
 2 A. Yes.  
 3 COFFEY, Q.C.:  
 4 Q. Or accessioned, I think is the word that -  
 5 DR. COOK:  
 6 A. Yes, and the names.  
 7 COFFEY, Q.C.:  
 8 Q. Now, just as an aside, Exhibit P-1282?  
 9 Doctor, this is a faxed transmission from Dr.  
 10 Williams' office, it's to yourself, September  
 11 8th, 2005. The subject is "Request for  
 12 Surgical Pathology Examination" and Denise  
 13 writes to you, "Please see attached form.  
 14 Will send you an original when we receive it."  
 15 I take it, Doctor, that's the form, at least  
 16 the new version of the form which has on it  
 17 "specimen will not be processed/reported  
 18 without clinical data"?  
 19 DR. COOK:  
 20 A. That's correct.  
 21 COFFEY, Q.C.:  
 22 Q. And I take it this was the culmination of your  
 23 efforts in respect of getting forms filled  
 24 out?  
 25 DR. COOK:

Page 237

1 A. Yes.  
 2 COFFEY, Q.C.:  
 3 Q. Properly. Exhibit P-0592 please? Now,  
 4 Doctor, this is an e-mail from, well it's  
 5 actually two, one September 9th from Nancy  
 6 Good to yourself. She writes, "I just wanted  
 7 to let you know that we have started cutting  
 8 the blocks and staining will begin next week.  
 9 The machine can handle 48 samples and will be  
 10 run after hours. We'll keep you posted on the  
 11 progress, thanks. Nancy." And then September  
 12 12th, that's a Monday, at just past noon you  
 13 forwarded her e-mail on to Dr. Williams.  
 14 DR. COOK:  
 15 A. Uh-hm.  
 16 COFFEY, Q.C.:  
 17 Q. Now, Doctor, I am not going to take you  
 18 through all of the e-mail exchanges that occur  
 19 as we go through the fall, I will be referring  
 20 you to some of them, but not all of them, with  
 21 Mount Sinai. In the main, from Eastern  
 22 Health, who was dealing with Mount Sinai? In  
 23 the main, who from Eastern Health was dealing  
 24 with Mount Sinai?  
 25 DR. COOK:

Page 238

1 A. That would be myself.  
 2 COFFEY, Q.C.:  
 3 Q. Yourself. And this particular e-mail, you  
 4 forwarded on the one from Nancy Good to  
 5 yourself, to Dr. Williams. We will see some  
 6 and the Commissioner has already seen some, e-  
 7 mails from Dr. Mullen to you, and you start to  
 8 correspond with him.  
 9 DR. COOK:  
 10 A. Uh-hm.  
 11 COFFEY, Q.C.:  
 12 Q. And at times you forward that on to Dr.  
 13 Williams as well?  
 14 DR. COOK:  
 15 A. Yes.  
 16 COFFEY, Q.C.:  
 17 Q. Dr. Mullen's e-mail to you or yours to him and  
 18 you send a copy to Dr. Williams. As the fall  
 19 of 2005 then progressed, your role was what in  
 20 this, compared to Dr. Williams' role?  
 21 DR. COOK:  
 22 A. Mainly as a go-between, sending out blocks,  
 23 making sure the reports came back. If there  
 24 were requests from Mount Sinai for another  
 25 block, I would send them up. If a report came

Page 239

1 back from Mount Sinai saying there was no  
 2 tumour on the block or wrong block or  
 3 whatever, I would go back and look at the case  
 4 and send up another block.  
 5 COFFEY, Q.C.:  
 6 Q. And in terms of Dr. Williams?  
 7 DR. COOK:  
 8 A. He was sent that information mainly for  
 9 information purposes, but at times he may be  
 10 required to liaison with Dr. Pritzker or his  
 11 counterpart at Mount Sinai, if need be.  
 12 COFFEY, Q.C.:  
 13 Q. And so your purpose then in sending e-mails to  
 14 Dr. Williams, copying them to him or just  
 15 forwarding them on, ones that primarily dealt  
 16 with you -  
 17 DR. COOK:  
 18 A. Yes.  
 19 COFFEY, Q.C.:  
 20 Q. From Mount Sinai, was to do what? You wanted  
 21 to keep Dr. Williams in the loop?  
 22 DR. COOK:  
 23 A. He was most interested in keeping up to date  
 24 with this issue and was keenly interested in  
 25 how quickly we were getting the reports back

Page 240

1 and start the evaluation process.  
 2 COFFEY, Q.C.:  
 3 Q. Exhibit P-1283 please? Doctor, this is an e-  
 4 mail from Heather Predham, September 12th,  
 5 2005 to yourself and Dr. Williams. The  
 6 subject is "Terms of Reference" and she  
 7 writes, "Please see attached the Terms of  
 8 Reference for the peer review consultant. Let  
 9 me know if you need any changes, thanks.  
 10 Heather." And, Doctor, these are two of the  
 11 Terms of Reference, external quality review of  
 12 the immunohistochemistry service and it  
 13 extends into page three of the exhibit.  
 14 Doctor, this document--the Terms of Reference  
 15 was prepared at whose request, do you recall?  
 16 DR. COOK:  
 17 A. Probably Dr. Williams.  
 18 COFFEY, Q.C.:  
 19 Q. And then it was being sent to you for what  
 20 purpose?  
 21 DR. COOK:  
 22 A. To review it and make any recommendations or  
 23 changes.  
 24 COFFEY, Q.C.:  
 25 Q. And I take it, having gotten the e-mail, did

Page 241	Page 243
<p>1 you review?</p> <p>2 DR. COOK:</p> <p>3 A. Yes.</p> <p>4 COFFEY, Q.C.:</p> <p>5 Q. And did you offer any changes?</p> <p>6 DR. COOK:</p> <p>7 A. I don't think I did.</p> <p>8 COFFEY, Q.C.:</p> <p>9 Q. And the Terms of Reference to be utilized by</p> <p>10 whom?</p> <p>11 DR. COOK:</p> <p>12 A. Dr. Banerjee and Trish Wegrynowski.</p> <p>13 COFFEY, Q.C.:</p> <p>14 Q. Now, Trish Wegrynowski, of course, is a</p> <p>15 technologist and Dr. Banerjee is a</p> <p>16 pathologist. Why were the same Terms of</p> <p>17 Reference used for both, do you know?</p> <p>18 DR. COOK:</p> <p>19 A. Well I guess Dr. Williams' understanding that</p> <p>20 this was a peer review process and they were</p> <p>21 to look at the lab. Dr. Banerjee was to</p> <p>22 concentrate on the medical side of it and</p> <p>23 Trish Wegrynowski was to concentrate purely on</p> <p>24 the technical side.</p> <p>25 COFFEY, Q.C.:</p>	<p>1 A. These look like medical directors, I believe.</p> <p>2 COFFEY, Q.C.:</p> <p>3 Q. And was this a phone call or something,</p> <p>4 because this is your handwriting -</p> <p>5 DR. COOK:</p> <p>6 A. No, this would have been, I think a conference</p> <p>7 call that took place in Dr. Williams' office</p> <p>8 around that time period.</p> <p>9 COFFEY, Q.C.:</p> <p>10 Q. And were you present for the conference call?</p> <p>11 DR. COOK:</p> <p>12 A. Yes.</p> <p>13 COFFEY, Q.C.:</p> <p>14 Q. And what do you recall about it? What was the</p> <p>15 purpose and what happened?</p> <p>16 DR. COOK:</p> <p>17 A. Yeah, the purpose of it, if I can recollect at</p> <p>18 that time, was an update on the ER/PR issue,</p> <p>19 making sure that every attempt was made to</p> <p>20 identify all patients who had ER/PR testing,</p> <p>21 to forward these blocks in to St. John's, to</p> <p>22 ensure as much as possible that there was no</p> <p>23 patient falling through the cracks. And</p> <p>24 that's basically all I remember about that</p> <p>25 conference all.</p>
Page 242	Page 244
<p>1 Q. Exhibit P-1288 please? Doctor, do you</p> <p>2 recognize that handwriting?</p> <p>3 DR. COOK:</p> <p>4 A. That's mine.</p> <p>5 COFFEY, Q.C.:</p> <p>6 Q. It's dated October 4, 2004, it's on Dr.</p> <p>7 Williams' stationery and it says, In Central,</p> <p>8 Steve Diamond, Larry Alteen and Stephanie"--</p> <p>9 somebody, "Western, Susan Gillian (phonetic)"?</p> <p>10 DR. COOK:</p> <p>11 A. I think that's the name.</p> <p>12 COFFEY, Q.C.:</p> <p>13 Q. Yes, "Heidi Simms"?</p> <p>14 DR. COOK:</p> <p>15 A. Yes.</p> <p>16 COFFEY, Q.C.:</p> <p>17 Q. Director of Communications I think is noted</p> <p>18 here. Labrador, Michael John, Carbonear, Gary</p> <p>19 Baker and Jean Howse, for the Health Board</p> <p>20 Association, George Tilley.</p> <p>21 DR. COOK:</p> <p>22 A. Uh-hm.</p> <p>23 COFFEY, Q.C.:</p> <p>24 Q. What was this, Doctor?</p> <p>25 DR. COOK:</p>	<p>1 COFFEY, Q.C.:</p> <p>2 Q. It is written there 2004, I take it that's--it</p> <p>3 should be 2005?</p> <p>4 DR. COOK:</p> <p>5 A. Yes.</p> <p>6 COFFEY, Q.C.:</p> <p>7 Q. And you have no memory of such a call during</p> <p>8 2004?</p> <p>9 DR. COOK:</p> <p>10 A. Oh no, that should be 2005.</p> <p>11 COFFEY, Q.C.:</p> <p>12 Q. Exhibit P-1289? Do you recognize the</p> <p>13 handwriting here, Doctor?</p> <p>14 DR. COOK:</p> <p>15 A. That's my handwriting.</p> <p>16 COFFEY, Q.C.:</p> <p>17 Q. Okay, it's on Dr. Williams' stationery.</p> <p>18 Number one, do up brief to the board, one</p> <p>19 page, September 21.</p> <p>20 DR. COOK:</p> <p>21 A. Uh-hm.</p> <p>22 COFFEY, Q.C.:</p> <p>23 Q. Number two, Diponkar's visit and Trish under</p> <p>24 QI.</p> <p>25 DR. COOK:</p>

Page 245

1 A. Uh-hm.  
 2 COFFEY, Q.C.:  
 3 Q. What the--do you recall?  
 4 DR. COOK:  
 5 A. "What the service is today".  
 6 COFFEY, Q.C.:  
 7 Q. "Service is today."  
 8 DR. COOK:  
 9 A. "Review of current procedures and practice of  
 10 immunoperoxidase, particularly"--can't read  
 11 that, "of ER and PR. What improvements we  
 12 need to make in the future to ensure accurate  
 13 reliable and reproducible information, review  
 14 of whole of immunohistochemical staining,  
 15 review of current procedures, to make  
 16 recommendations."  
 17 COFFEY, Q.C.:  
 18 Q. And there's a reference to "talk to"?  
 19 DR. COOK:  
 20 A. Fraser.  
 21 COFFEY, Q.C.:  
 22 Q. Do you know what that's about?  
 23 DR. COOK:  
 24 A. I can't recollect that.  
 25 COFFEY, Q.C.:

Page 246

1 Q. Okay, and why would you have written this?  
 2 DR. COOK:  
 3 A. These were probably reminder to me what the  
 4 expectation of these reviewers would be, to  
 5 review the whole histochemical service and to  
 6 make recommendations.  
 7 COFFEY, Q.C.:  
 8 Q. And "do up brief to the board, one page"?  
 9 DR. COOK:  
 10 A. Yeah, I think, I can't remember being tasked  
 11 that, that may have been something that Dr.  
 12 Williams was formulating.  
 13 COFFEY, Q.C.:  
 14 Q. Exhibit P-1288 please? The second, page two  
 15 of it, page two and three of this exhibit are  
 16 a letter of September 21st, 2005, addressed to  
 17 Terry Gulliver as a program director. It's  
 18 from Dan Fontaine, the site chief at the  
 19 Health Sciences Centre. It's copied to  
 20 yourself and Dr. Williams, you as the clinical  
 21 chief, Dr. Williams as the vp. And Dr.  
 22 Fontaine here, Doctor, begins by addressing  
 23 Mr. Gulliver by saying "I write to you in  
 24 response to the recent problems experienced  
 25 with the immunohistochemical staining,

Page 247

1 specifically regarding estrogen and  
 2 progesterone receptors. It is my opinion that  
 3 the problem extends far beyond the estrogen  
 4 and progesterone receptor status, as has been  
 5 identified." And he goes on then to speak  
 6 about bringing the lab to a standard whereby a  
 7 confident diagnosis can be delivered on the  
 8 basis of IHC staining, which is key to an  
 9 accurate diagnosis and patient management. A  
 10 dedicated IHC lab is essential." And he goes  
 11 on at some length. In the second paragraph,  
 12 he says, "With respect to our institution,  
 13 fixation is the key component of IHC staining.  
 14 At the current time there is a variety of  
 15 practice patterns involving various  
 16 pathologists, to which there is no  
 17 standardized approach to grossing of  
 18 specimens." And he suggests "this is best  
 19 remedied by the introduction of pathology  
 20 assistance into the program."  
 21 DR. COOK:  
 22 A. Uh-hm.  
 23 COFFEY, Q.C.:  
 24 Q. And notes that "it is standard practice at all  
 25 other tertiary care academic centres." And

Page 248

1 the next page, and there's much more written  
 2 there, I'm not going to explicitly refer to,  
 3 but he goes on about the pathology assistants,  
 4 another benefit of them would be to make  
 5 better use of the Sekura Tech Express and he  
 6 says, "in attempting to introduce this  
 7 technology to the Health Sciences, the  
 8 pathologists have been hesitant in adopting  
 9 the new technique as this involves a change in  
 10 grossing practice, resulting in a more  
 11 laborious process. Although the end result is  
 12 satisfactory, the pathologists do not feel  
 13 that their time is well spent to deliver such  
 14 technically challenging sections." And he  
 15 concludes by saying, "It is my opinion these  
 16 are essential changes for the Department to  
 17 meet national standards, as the two are key  
 18 components of a fully functioning and  
 19 standardized lab." And I should to put it  
 20 fully in perspective, in his first paragraph  
 21 of his first page, he concludes that paragraph  
 22 by saying, "In order to carry out this  
 23 service"--that's the IHC service--"we would  
 24 require a minimum of two dedicated  
 25 technologists to the IHC service."

Page 249	Page 251
<p>1 DR. COOK:  2 A. Uh-hm.  3 COFFEY, Q.C.:  4 Q. Now did you have any forewarning that Dr. Dan  5 Fontaine was going to write this?  6 DR. COOK:  7 A. We did discuss the need for pathology  8 assistants and his reference there to the HAY  9 report is what I provided to him and I  10 actually had him see a copy of the HAY report  11 back in '02 whereby there was a recommendation  12 for pathology assistants, so we obviously--I  13 remember having conversations with Dr.  14 Fontaine about the need for a dedicated  15 immunohisto techs, the need for pathology  16 assistants to help us in the standardization  17 of the gross cutting of the specimens. And to  18 facilitate the Sekura Express.  19 COFFEY, Q.C.:  20 Q. Now, Doctor, in the past, I mean up to this  21 point, September 2005, people involved had  22 been pushing pathology assistants as a back  23 up.  24 DR. COOK:  25 A. That's correct.</p>	<p>1 DR. COOK:  2 A. I would have pushed it.  3 COFFEY, Q.C.:  4 Q. And I appreciate you did and others, who above  5 you would have had to have pushed it?  6 DR. COOK:  7 A. Oh, Dr. Williams.  8 COFFEY, Q.C.:  9 Q. And I take it that would be with Mr. Tilley, I  10 take it?  11 DR. COOK:  12 A. Mr. Tilley and executive committee.  13 COFFEY, Q.C.:  14 Q. Your understanding was it hadn't happened  15 because of what?  16 DR. COOK:  17 A. Simply no money.  18 COFFEY, Q.C.:  19 Q. How much more money was involved, do you know?  20 DR. COOK:  21 A. A pathology assistant would make approximately  22 60 to \$70,000 a year, probably in 2002, 2003,  23 you're looking at 60,000. So it would have  24 been about \$240,000 to bring in pathology  25 assistants for salaries.</p>
Page 250	Page 252
<p>1 COFFEY, Q.C.:  2 Q. What had been the problem?  3 DR. COOK:  4 A. The problem was the lack of consistency from  5 pathologist to pathologist in taking their  6 sections.  7 COFFEY, Q.C.:  8 Q. And the pathology assistants, as Dr. Fontaine  9 points out here, might remedy that because you  10 had very few people doing the grossing.  11 DR. COOK:  12 A. Yes, if you had a core group of people doing  13 the gross examinations, the sectionings and  14 whatnot, by a core group, I mean a group of  15 three or four, and had them trained, you're  16 going to get a much more standardized product.  17 COFFEY, Q.C.:  18 Q. Who or what had been the obstacles to having  19 pathology assistants then?  20 DR. COOK:  21 A. Finances, money.  22 COFFEY, Q.C.:  23 Q. And in the period of four or five years before  24 this, if somebody was to find the money to do  25 it, who would have had to have pushed it?</p>	<p>1 COFFEY, Q.C.:  2 Q. Would there have been any personnel savings as  3 a result of having them?  4 DR. COOK:  5 A. It would have been greater efficiency for the  6 pathologists in that they would have had more  7 time to devote to their microscopic  8 evaluations and teachings and research, that  9 sort of thing. They, in terms of efficiency,  10 the efficiency would mainly be on the  11 professional end in freeing up pathology time.  12 It probably would have been cheaper to bring  13 in a couple of pathology assistants than  14 hiring extra pathologists.  15 COFFEY, Q.C.:  16 Q. Yes. Doctor, now Dr. Banerjee assuredly did  17 arrive in mid September.  18 DR. COOK:  19 A. Uh-hm.  20 COFFEY, Q.C.:  21 Q. What do you recall about his visit?  22 DR. COOK:  23 A. Well, he was here for two days, I picked him  24 up at the Hotel Newfoundland and drove him to  25 St. Clare's and one of the things that Dr.</p>

Page 253

1 Banerjee wanted me to do was to set up a  
 2 number of slides that he could review our  
 3 original ERs and PRs, as well, set up, have  
 4 him review a number of slides from our other  
 5 IHC tests, so the number of ERs and PRs I  
 6 think were approximately about 20 cases, if I  
 7 remember, and they were primarily chosen from  
 8 the original samples of the 25 and 33 batch,  
 9 as well as others from the general ER/PR pool.  
 10 So I believe there were both positives and  
 11 negatives there. In terms of the other IHC  
 12 testing, those were randomly chosen, I would  
 13 give my secretary a list of IHC stains that I  
 14 would want to see, there could be stains such  
 15 as LCA, CK7, 20, synaptophysin, chromogranin,  
 16 run of the mill stains that we were using on a  
 17 daily basis. She would enter those in the  
 18 computer and randomly draw cases from which  
 19 those stains belonged to. So that's how that  
 20 particular part was chosen.  
 21 COFFEY, Q.C.:  
 22 Q. Go ahead, and what happened?  
 23 DR. COOK:  
 24 A. So that morning, both myself and Dr. Banerjee  
 25 sat at the multi-headed scope in the

Page 254

1 laboratory at St. Clare's and I started off by  
 2 showing him our ER and PR stains. Most of the  
 3 initial conversation was made by myself, where  
 4 I expressed my observations over what I saw.  
 5 So first when I would show up the stains, and  
 6 these were the negative stains, I remember  
 7 Diponkar's first suggestion was that the  
 8 problem lay with antigen retrieval, that was  
 9 his -  
 10 COFFEY, Q.C.:  
 11 Q. What does that actually mean then?  
 12 DR. COOK:  
 13 A. Well that was a process, a technical process,  
 14 where antigen retrieval would result in the  
 15 unmasking of the crosslinks of the proteins  
 16 covering the antigen site, and that occurred  
 17 as a result of formalin fixation. So if you  
 18 have good antigen retrieval with proper  
 19 incubation times and temperatures and proper  
 20 antibody concentrations, you would have those  
 21 crosslinks eliminated and the primary antibody  
 22 would come in and to attach to the antigen  
 23 site.  
 24 COFFEY, Q.C.:  
 25 Q. That's actually what antigen retrieval is, but

Page 255

1 what--in terms of the problem -  
 2 DR. COOK:  
 3 A. That's where he thought initially the problem  
 4 could be.  
 5 COFFEY, Q.C.:  
 6 Q. What would be the nature of the problem?  
 7 DR. COOK:  
 8 A. That there was a failure in the antigen  
 9 retrieval.  
 10 COFFEY, Q.C.:  
 11 Q. Did he elaborate on why that might be so?  
 12 DR. COOK:  
 13 A. No, he just made that comment that that could  
 14 be where the problem lay.  
 15 COFFEY, Q.C.:  
 16 Q. Did you ask him at the time, you know, bearing  
 17 in mind you were both there, how he knew that  
 18 just looking through the scope?  
 19 DR. COOK:  
 20 A. No, that was his first comment that he made.  
 21 COFFEY, Q.C.:  
 22 Q. Did you ask him though?  
 23 DR. COOK:  
 24 A. No, I didn't ask him.  
 25 COFFEY, Q.C.:

Page 256

1 Q. Did you ever ask him about how he was able to  
 2 tell that?  
 3 DR. COOK:  
 4 A. No.  
 5 COFFEY, Q.C.:  
 6 Q. I'm sorry, go ahead, Doctor.  
 7 DR. COOK:  
 8 A. Then we went through the slides and we talked  
 9 about the fixation, I brought his attention to  
 10 the fixation, how there are variable amounts  
 11 of fixation problems with the slides. In some  
 12 of the slides were minor fixation problems,  
 13 some were a bit more major in nature. And  
 14 talked to him about how pathologists were  
 15 grossing and I brought that up that the  
 16 pathologists were all grossing their own  
 17 sections. And we began discussing the need  
 18 for pathology assistants in that if we had  
 19 pathology assistants, there would be more much  
 20 attention made to the fixation issue, there  
 21 would be much more attention made to the  
 22 sectioning of the specimen, the depth of the  
 23 specimen, et cetera, so we were basically  
 24 discussing the significant and important role  
 25 of pathology assistants and had we had these



Page 257

1 in place, I was saying to Banerjee that--Dr.  
 2 Banerjee, that this surely would have made a  
 3 difference in to how the tissue blocks had  
 4 been sectioned and monitored, in terms of  
 5 fixation.  
 6 COFFEY, Q.C.:  
 7 Q. Go ahead.  
 8 DR. COOK:  
 9 A. So those were general comments and then we  
 10 looked at the internal controls. A number of  
 11 cases had very small rims of normal tissue  
 12 surrounding the tumour; other cases we had  
 13 trouble identifying positivity of cells into  
 14 the internal controls, and don't forget, we  
 15 were moving through these rather quickly  
 16 because I was flipping through them, wanted  
 17 him to see as many of the slides as he could  
 18 see in the time allotted. So that was an  
 19 observation that I made and he agreed with  
 20 that observation.  
 21 COFFEY, Q.C.:  
 22 Q. I'm sorry, it was an observation you made and  
 23 he agreed?  
 24 DR. COOK:  
 25 A. Yes, yes.

Page 258

1 COFFEY, Q.C.:  
 2 Q. So this was something that you had figured out  
 3 on your own, before Dr. Banerjee ever showed  
 4 up?  
 5 DR. COOK:  
 6 A. Right, myself and Dr. Carter.  
 7 COFFEY, Q.C.:  
 8 Q. Okay, go ahead. I apologize, Doctor, this  
 9 would have been back in July?  
 10 DR. COOK:  
 11 A. Yes, around late July.  
 12 COFFEY, Q.C.:  
 13 Q. Okay, go ahead Doctor.  
 14 DR. COOK:  
 15 A. So we went to the internal controls and there  
 16 was another issue we were talking about, I'm  
 17 trying to remember now, then we went on to  
 18 the--oh, we talked about the need for  
 19 subspecialization and I brought that up, we  
 20 had general discussion about the stability  
 21 problems we had in manpower areas and my  
 22 opinion was that if we had been able to  
 23 subspecialize into subspecialty groups, it is  
 24 possible that we could have picked up this  
 25 issue earlier, so we spoke about trends and

Page 259

1 whatnot. The next thing I remember, I was  
 2 going through the various immunohistochemical  
 3 stains and slides from the other tests, the  
 4 synaptophysin, chromogranin and whatnot. So  
 5 again, I was going through these very quickly  
 6 we were looking both at the H&E's and then  
 7 correlating that with the immunohistochemical  
 8 stains. So this went on, I'd say probably  
 9 two, two and a half hours, three hours, going  
 10 through this sort of a conversation back and  
 11 forth. And when he was finished, he made the  
 12 observation and this is where the observation  
 13 about the middle of the pack came in, that in  
 14 his opinion, he had seen many slides from many  
 15 other institutions across Canada, in his  
 16 opinion, our slides were in the middle of the  
 17 pack.  
 18 COFFEY, Q.C.:  
 19 Q. And slides in what sense, what type of slides?  
 20 DR. COOK:  
 21 A. In terms of quality, these were the IHC  
 22 slides.  
 23 COFFEY, Q.C.:  
 24 Q. So middle of the pack would refer to IHC  
 25 slides in general?

Page 260

1 DR. COOK:  
 2 A. Yes.  
 3 COFFEY, Q.C.:  
 4 Q. Not that comment would not have been limited  
 5 in your understanding to ER and PR, it would  
 6 have been all IHC slides?  
 7 DR. COOK:  
 8 A. Yes, after showing--that was my  
 9 interpretation, the ERS and PRS and the other  
 10 IHC tests.  
 11 COFFEY, Q.C.:  
 12 Q. And middle of the pack in what sense?  
 13 DR. COOK:  
 14 A. In terms of quality, when we were going  
 15 through the various slides, Dr. Banerjee would  
 16 make a comment about this slide is below  
 17 average, average, above average, this sort of  
 18 comments being made as I was flipping through  
 19 the various slides.  
 20 COFFEY, Q.C.:  
 21 Q. Okay, was that aspect of the matter ever  
 22 discussed between the two of you again?  
 23 DR. COOK:  
 24 A. It was or it was brought up at the exit  
 25 meeting the next day with Dr. Williams,

Page 261

1 myself, I think Mr. Gulliver were there -  
 2 COFFEY, Q.C.:  
 3 Q. I'll come to that in a moment then, so that  
 4 day you have a multi-hour session with Dr.  
 5 Banerjee.  
 6 DR. COOK:  
 7 A. Uh-hm.  
 8 COFFEY, Q.C.:  
 9 Q. What then happened during his visit?  
 10 DR. COOK:  
 11 A. I think after that three-hour period, we went  
 12 out for lunch. Myself, Dr. Denic, who was  
 13 president of the NAP at the time, and Dr.  
 14 Banerjee. We had some more general discussion  
 15 about the manpower situation in Canada, the  
 16 shortages that we were experiencing, the  
 17 impact on Newfoundland. It was at that time,  
 18 I believe, that Dr. Denic asked Dr. Banerjee  
 19 would he mind writing a letter to the  
 20 Provincial Government supporting or advocating  
 21 on our behalf the need for increased salaries  
 22 for Newfoundland pathologists. So following  
 23 that, I brought him to General Hospital where  
 24 I had--I introduced him to a number of  
 25 individuals, the first individuals were Mr.

Page 262

1 Dyer and Mr. Gulliver and I arranged to have  
 2 meetings set up with Dr. Ejeckam, Dr.  
 3 Fontaine, I believe there were meetings too  
 4 with the technologists. And after that, I  
 5 left and it was Dr. Fontaine, I believe who  
 6 then brought him back to the Fairmont, took  
 7 him out for dinner later on that night. The  
 8 next morning or the next day, I'm not sure if  
 9 he continued on with his review, certainly  
 10 around the Friday of mid-day, we had the exit  
 11 interview.  
 12 COFFEY, Q.C.:  
 13 Q. And you were about to tell me about that, go  
 14 ahead?  
 15 DR. COOK:  
 16 A. Well then this is where this comment again,  
 17 about the middle of the pack came up, at the  
 18 meeting with myself and Dr. Williams, I think  
 19 Mr. Gulliver was there, I'm not sure if  
 20 Heather Predham was there and we talked about  
 21 the issue for, general issues regarding the  
 22 need for pathology assistants, the need to do  
 23 something with our manpower situation, the  
 24 need to subspecialize, the need to have  
 25 greater documentation, particularly in the

Page 263

1 technical aspect of the lab. There was praise  
 2 given for our managers, there was issues -  
 3 COFFEY, Q.C.:  
 4 Q. Which managers were they?  
 5 DR. COOK:  
 6 A. Mr. Gulliver and Mr. Dyer, he felt they were  
 7 working hard. There were issues, again,  
 8 surrounding the management structure. So that  
 9 sort of thing was some of the items being  
 10 discussed.  
 11 COFFEY, Q.C.:  
 12 Q. And anything else that you can recall about  
 13 that?  
 14 DR. COOK:  
 15 A. Not unless I looked at my notes, that's the  
 16 best that I can recall offhand.  
 17 COFFEY, Q.C.:  
 18 Q. Mr. Browne, top of your head, his notes?  
 19 MR. BROWNE:  
 20 Q. (Inaudible).  
 21 THE COMMISSIONER:  
 22 Q. It's about time for the afternoon break. Do  
 23 you want me to take the break and then you can  
 24 locate that particular number?  
 25 COFFEY, Q.C.:

Page 264

1 Q. Thank you very much.  
 2 (RECESS)  
 3 THE COMMISSIONER:  
 4 Q. Please be seated. Mr. Coffey.  
 5 COFFEY, Q.C.:  
 6 Q. Yes, Commissioner, Doctor I will, in several  
 7 minutes, have available on the computer system  
 8 for you, okay, the exit interview notes, but  
 9 other than the exit interview then and the  
 10 communications that you've described during  
 11 the first day that Dr. Banerjee was here in  
 12 September, 2005, did you have any other  
 13 interaction with him?  
 14 DR. COOK:  
 15 A. Dr. Banerjee?  
 16 COFFEY, Q.C.:  
 17 Q. Yes.  
 18 COFFEY, Q.C.:  
 19 Q. You did the exit interview and took notes -  
 20 DR. COOK:  
 21 A. I can't recall any other interview.  
 22 COFFEY, Q.C.:  
 23 Q. Okay. And if we could, please, Exhibit P-  
 24 0046? Now, Dr. Cook, this is a letter of  
 25 October 17th, 2005 from Dr. Banerjee to

Page 265	Page 267
<p>1 yourself. The subject is "External Quality 2 Review of the Immunohistochemistry Service". 3 Of course, attached to this is a copy of his, 4 I apologize, his actual report dated October 5 17th, 2005. 6 DR. COOK: 7 A. Uh-hm. 8 COFFEY, Q.C.: 9 Q. So you received this report then within a day 10 or two of October 17th, 2005 or within a week 11 anyway? 12 DR. COOK: 13 A. Well I wouldn't know the exact date I received 14 it. 15 COFFEY, Q.C.: 16 Q. When you received it, Doctor, did you review 17 it? 18 DR. COOK: 19 A. I read through it rather quickly at the time. 20 COFFEY, Q.C.: 21 Q. Yes. 22 DR. COOK: 23 A. And then I contacted Dr. Williams that I had 24 the report and I brought it over to him within 25 30 to 45 minutes of my receipt of the report.</p>	<p>1 the management structure, issues of that 2 nature. 3 COFFEY, Q.C.: 4 Q. Now, Doctor, when you had a chance to read Dr. 5 Banerjee's report, I take it carefully, which 6 would be after the initial meeting with Dr. 7 Williams. 8 DR. COOK: 9 A. Uh-hm. 10 COFFEY, Q.C.: 11 Q. Did you take any issue with what he said in 12 his report? 13 DR. COOK: 14 A. Generally no, I agreed with many of the 15 contents of the report, the comment there 16 about the thickness of the tissue sections, I 17 don't know how you could have made a comment 18 about that, just looking at the slides. 19 COFFEY, Q.C.: 20 Q. Okay, and that would be, Doctor, go ahead, 21 Doctor with the mouse, if you like, you can 22 just point where that is to the Commissioner? 23 DR. COOK: 24 A. This right here, I think. 25 THE COMMISSIONER:</p>
Page 266	Page 268
<p>1 COFFEY, Q.C.: 2 Q. And what happened then? 3 DR. COOK: 4 A. I basically had some general conversation with 5 Dr. Williams regarding the contents of the 6 report and concerning issues that Dr. Banerjee 7 had identified, issues regarding the 8 pathologists and the state of the slides and 9 how these were reported, et cetera. 10 COFFEY, Q.C.: 11 Q. Do you recall what that conversation was? 12 DR. COOK: 13 A. I can't recall the specifics of that 14 conversation, I know that Dr. Williams wanted 15 to review the report in detail. 16 COFFEY, Q.C.: 17 Q. And what then happened in relation to this 18 matter of the report? 19 DR. COOK: 20 A. I then think we went back and had a more 21 detailed discussion on the contents of the 22 report, particularly on the phone, the 23 implication for pathologists and the issues of 24 internal controls, the issues of our high turn 25 over, the issues of the reporting mechanism,</p>	<p>1 Q. (inaudible) slide? 2 DR. COOK: 3 A. There's a comment there about the thickness. 4 THE COMMISSIONER: 5 Q. There's a reference on the--right there, on 6 the bottom of page two, I don't know if that's 7 what you're referring to? 8 DR. COOK: 9 A. Yeah, that comment there. 10 COFFEY, Q.C.: 11 Q. It says here, "fixation time in formalin does 12 not affect the ER results as long as two 13 millimetre thick slices of tissue are placed 14 in fixative within 15 minutes of surgical 15 excision. Inadequate heat induced antigen 16 retrieval is performed" and then he has a 17 footnote, "however the effects of under 18 fixation due to greater than two millimetre 19 thick slices remains a possibility." 20 DR. COOK: 21 A. Yeah, I mean when you consider that our 22 paraffin blocks are no more than about three 23 millimetres, most of our tissue sections would 24 be around two millimetres or so, so I didn't 25 know how he could make that statement.</p>

Page 269

1 COFFEY, Q.C.:

2 Q. And I take it that was based upon looking at

3 the slides?

4 DR. COOK:

5 A. Yes.

6 COFFEY, Q.C.:

7 Q. Do you know whether or not he otherwise though

8 when he visited, for example, the General

9 Hospital's pathology lab -

10 DR. COOK:

11 A. He did.

12 COFFEY, Q.C.:

13 Q. Would it be possible that there was based upon

14 some observations that he may or may not have

15 made there?

16 DR. COOK:

17 A. It's possible.

18 COFFEY, Q.C.:

19 Q. So that's one thing you were concerned about.

20 Did you ever take that up with him?

21 DR. COOK:

22 A. No.

23 COFFEY, Q.C.:

24 Q. Anything else, Doctor?

25 DR. COOK:

Page 270

1 A. No, for the most part I agreed with the

2 report. I thought the report was good, it was

3 exactly what I was looking for, exactly what I

4 needed to bring this to administration to put

5 forth the views and the issues and the

6 problems that, certainly some of the problems

7 anyway, that I had been experiencing as a

8 clinical chief in the Laboratory Medicine

9 Program.

10 COFFEY, Q.C.:

11 Q. And, so Doctor, other than that one comment,

12 the one you pointed out, the greater than two

13 millimetre thick slices, you otherwise agreed

14 with the rest of it?

15 DR. COOK:

16 A. Yes.

17 COFFEY, Q.C.:

18 Q. As well, but of course, he does have a number

19 of recommendations, there are ten of them

20 listed and you were, I take it, in agreement

21 with those?

22 DR. COOK:

23 A. Yes.

24 COFFEY, Q.C.:

25 Q. Doctor, having read Dr. Banerjee's report, was

Page 271

1 it your view that the problem with the ER and

2 PR testing could have been detected earlier?

3 DR. COOK:

4 A. To my view, yes.

5 COFFEY, Q.C.:

6 Q. And detected by whom and at what stages, and

7 for what reason?

8 DR. COOK:

9 A. Well, I strongly believe that if we had

10 stability in the manpower--not only stability

11 in the manpower, but the mind sight amongst

12 ourselves that we had a stable core of

13 pathologists, I think we would have headed in

14 the direction of subspecialization.

15 Subspecialization, I think, we would have had

16 a small group of pathologists dedicated to

17 breast pathology, looking at issues

18 surrounding breast pathology and developing a

19 quality assurance program surrounding

20 subspecialization, as opposed to the

21 generalist quality assurance program and

22 quality assurance activities that we had.

23 Now by subspecialization, I don't mean

24 all pathologists in a particular subgroup

25 would be just dedicated to a particular group.

Page 272

1 You would have, say, a subspecialist trained

2 pathologist with two or three other generalist

3 trained pathologists to focus on, for

4 instance, breast pathology. Much of the

5 breast pathology is relatively

6 straightforward, 90 to 95 percent, but it's

7 those five percent of cases that you need a

8 subspecialist and subspecialist's opinion.

9 COFFEY, Q.C.:

10 Q. Doctor, looking at the heading "conclusions

11 about reasons for test failure" on page three,

12 continuing into page four, in paragraph three,

13 he says "is there a problem with"--well,

14 paragraph one, I take it he posits that it's

15 unlikely that the DAKO system was faulty.

16 DR. COOK:

17 A. That's his opinion, yeah.

18 COFFEY, Q.C.:

19 Q. And do you have any reason to believe that the

20 DAKO system itself was faulty?

21 DR. COOK:

22 A. Nothing to suggest something system wide with

23 the DAKO. There were a few incidents, as I

24 said in my testimony yesterday, that indicated

25 some problems with antibody expression, pump

Page 273

1 failure, but to my knowledge -  
 2 COFFEY, Q.C.:  
 3 Q. That was reported elsewhere, I take -  
 4 DR. COOK:  
 5 A. That was reported elsewhere, from other areas.  
 6 To my knowledge, I don't know of any system  
 7 wide failure with the DAKO system. It's  
 8 unfortunate that we don't--we didn't have our  
 9 original DAKO machine to go back and retest.  
 10 COFFEY, Q.C.:  
 11 Q. He then, in paragraph two, says "is the  
 12 Ventana system too sensitive? There's no  
 13 evidence that the Ventana system creates false  
 14 positive results."  
 15 DR. COOK:  
 16 A. Um-hm.  
 17 COFFEY, Q.C.:  
 18 Q. So I take it then that, as you've indicated,  
 19 you didn't take any issue with this, his  
 20 report, the contents of his report, so the  
 21 Ventana system wasn't the problem?  
 22 DR. COOK:  
 23 A. That's correct.  
 24 COFFEY, Q.C.:  
 25 Q. Paragraph three, "is there a problem with

Page 274

1 tissue fixation?" and he says "there appears  
 2 to be inadequate attention paid by the  
 3 grossing pathologists to the thickness of  
 4 tissue slices, quality and adequacy of  
 5 fixation, and there's no standardized fixation  
 6 protocol that everyone adheres to."  
 7 DR. COOK:  
 8 A. Um-hm.  
 9 COFFEY, Q.C.:  
 10 Q. So the idea of having a standardized fixation  
 11 protocol, I take it, is a good idea?  
 12 DR. COOK:  
 13 A. That, along with pathologist assistants. This  
 14 is the main point. When I look at tissue  
 15 fixation, I equate that with pathology  
 16 assistants.  
 17 COFFEY, Q.C.:  
 18 Q. And if there's a problem with tissue fixation,  
 19 this should be--it's the sort of problem that  
 20 should be recognized by the pathologists  
 21 looking through the scope?  
 22 DR. COOK:  
 23 A. Pathology and along with pathology assistants  
 24 to make sure that the tissue comes down--they  
 25 would keep a track on tissue that originates

Page 275

1 from the OR. They would retrieve it  
 2 themselves. They would section it in a  
 3 certain fashion. They would be aware with  
 4 fixation and fixation protocols.  
 5 COFFEY, Q.C.:  
 6 Q. I take it though before--in the absence of  
 7 pathology assistants, that's a pathologist's  
 8 job?  
 9 DR. COOK:  
 10 A. It is, but I'm saying that if we had to have  
 11 pathology assistants, we would have had a  
 12 standardized way of sectioning these specimens  
 13 and with a good surveillance program for the  
 14 tissue fixation.  
 15 COFFEY, Q.C.:  
 16 Q. Couldn't there have been a standardized  
 17 fixation protocol that applied to the  
 18 pathologists as a whole?  
 19 DR. COOK:  
 20 A. That's fine, Mr. Coffey. You can have  
 21 standardized fixation protocols, but the  
 22 nature of it is when you have 20 or 30  
 23 pathologists coming in and out of the lab,  
 24 doing this sectioning, you're still not going  
 25 to get the same standardization if you have a

Page 276

1 core group of pathology assistants.  
 2 COFFEY, Q.C.:  
 3 Q. And if there is a problem with tissue that's  
 4 apparent in looking through the scope, I take  
 5 it that, a microscope, that that's--if the  
 6 problem, fixation problem is sufficient to  
 7 affect the result, if that's to be caught by  
 8 anyone, it would be caught by the  
 9 pathologists?  
 10 DR. COOK:  
 11 A. It would be caught by the pathologist, but the  
 12 degree of fixation problems, I firmly believe,  
 13 would have been handled by pathology  
 14 assistants.  
 15 COFFEY, Q.C.:  
 16 Q. There's a reference, paragraph four,  
 17 "inadequate or no attention is being paid by  
 18 the reporting pathologist to the status of  
 19 internal controls."  
 20 DR. COOK:  
 21 A. Um-hm.  
 22 COFFEY, Q.C.:  
 23 Q. So had you, in fact, already concluded that?  
 24 DR. COOK:  
 25 A. Yes.

Page 277

1 COFFEY, Q.C.:

2 Q. From your perspective, should a pathologist

3 who is reading an ER and PR slides have known

4 to pay attention to internal controls?

5 DR. COOK:

6 A. They should have paid attention and there, Mr.

7 Coffey, if we had to have subspecialization, I

8 am absolutely sure we would have picked this

9 up earlier.

10 COFFEY, Q.C.:

11 Q. Do you think that the knowledge concerning

12 internal controls would be limited to a

13 subspecialist?

14 DR. COOK:

15 A. I don't know, Mr. Coffey. I can't answer that

16 question what every pathologist thinks.

17 COFFEY, Q.C.:

18 Q. Well, you had been aware of it, you've told us

19 yesterday or the day before, since 2000.

20 DR. COOK:

21 A. Around there, yes.

22 COFFEY, Q.C.:

23 Q. So I take it it was--if someone went looking

24 for it, a pathologist went looking for it, it

25 was probably readily ascertainable at least as

Page 278

1 early as 2000?

2 DR. COOK:

3 A. Again, I can't say what each pathologist

4 thinks or what -

5 COFFEY, Q.C.:

6 Q. Was it readily ascertainable as a pathologist

7 as early as 2000?

8 DR. COOK:

9 A. Yes, it was.

10 COFFEY, Q.C.:

11 Q. Do you know if it was readily ascertainable

12 before that?

13 DR. COOK:

14 A. Possibly.

15 COFFEY, Q.C.:

16 Q. Have you ever asked any of your fellow

17 pathologists about their knowledge of internal

18 controls or lack of knowledge about internal

19 controls?

20 DR. COOK:

21 A. I have.

22 COFFEY, Q.C.:

23 Q. And what have you been--when did that happen

24 and who did you speak to, and what were you

25 told?

Page 279

1 DR. COOK:

2 A. I spoke to a number of pathologists, certainly

3 around this time period. Again, these would

4 be pathologists outside of St. John's and

5 inside of St. John's. There are some who have

6 expressed to me that they had knowledge of

7 internal controls. Most have indicated that

8 they didn't rely on internal controls.

9 COFFEY, Q.C.:

10 Q. I'm sorry?

11 DR. COOK:

12 A. Most.

13 COFFEY, Q.C.:

14 Q. Indicated they?

15 DR. COOK:

16 A. Hadn't relied on internal control.

17 COFFEY, Q.C.:

18 Q. Hadn't?

19 DR. COOK:

20 A. Had not.

21 COFFEY, Q.C.:

22 Q. Had they been aware of them?

23 DR. COOK:

24 A. I don't think they were aware of it.

25 COFFEY, Q.C.:

Page 280

1 Q. Was there any discussion amongst any of those

2 individuals about Dr. Ejeckam's May 2nd, 2003

3 memo?

4 DR. COOK:

5 A. No.

6 COFFEY, Q.C.:

7 Q. Now, Doctor, you've indicated just now that

8 you did, after getting this report, did speak

9 to pathologists about it.

10 DR. COOK:

11 A. Um-hm.

12 COFFEY, Q.C.:

13 Q. Do you recall when and where that was and what

14 happened?

15 DR. COOK:

16 A. Well, Mr. Coffey, that was to a number of

17 pathologists in a number of different

18 locations, at the General, St. Clare's, in

19 offices, in corridors, that sort of thing.

20 Now there was a meeting that I held with the

21 pathologists regarding this report.

22 COFFEY, Q.C.:

23 Q. Yes.

24 DR. COOK:

25 A. Do you want me to get into that?

Page 281

1 COFFEY, Q.C.:

2 Q. Yes, if you would, please?

3 DR. COOK:

4 A. That was a meeting that I had sometime early

5 or mid November, I believe. I got permission

6 from Dr. Williams to comment on the contents

7 of this report, and that took place at Lecture

8 Theatre D sometime in November, I believe, of

9 2005. There, we had quite a number of

10 pathologists, from both the St. Clare's and

11 the General Hospital site. I read out the

12 entire contents, word for word, of Dr.

13 Banerjee's report to the pathologists. Issues

14 that were highlighted include the issue of

15 internal controls, issues of fixation, issues

16 of our high turnover, issues of reporting.

17 These were the main issues that were basically

18 highlighted in that discussion, if I remember,

19 with our pathologists.

20 COFFEY, Q.C.:

21 Q. Do you recall--so you met with them. It was

22 for this purpose, I take it, to discuss the

23 report?

24 DR. COOK:

25 A. Yeah.

Page 282

1 COFFEY, Q.C.:

2 Q. You read out the entire report to them?

3 DR. COOK:

4 A. Um-hm.

5 COFFEY, Q.C.:

6 Q. Did you tell them anything else, do you

7 recall?

8 DR. COOK:

9 A. There could have been issues surrounding our

10 management structure, issues--again, I

11 highlighted the efforts of the program

12 director and divisional manager. So those

13 basically were the main issues that I brought

14 forth.

15 COFFEY, Q.C.:

16 Q. What was their reaction or feedback on this?

17 DR. COOK:

18 A. It was--the room became very quiet. There was

19 very little feedback, if I remember correctly,

20 initially. When I started talking about

21 subspecialization and my feelings on that and

22 how I think that this could have picked up

23 from a lot earlier, there was a lot of general

24 discussion about the turnover and the lack of

25 stability in the organization, issues that we

Page 283

1 had over the last years with restructuring,

2 constant upheaval in the organization,

3 manpower issues, workload issues. Those were

4 basically issues surrounding my discussion

5 with the pathologists.

6 COFFEY, Q.C.:

7 Q. How about afterward, Doctor, did you ever talk

8 to any of the pathologists afterward about

9 this?

10 DR. COOK:

11 A. I might have, Mr. Coffey, from time to time,

12 on different things. There was a lot of

13 discussion with individuals at different time

14 periods, at different sites.

15 COFFEY, Q.C.:

16 Q. Here, Doctor, just looking at this, just want

17 to clarify this, the reference on the first

18 page of text, under heading "review of cases"

19 the doctor writes "I reviewed a number of

20 cases from the retrospective testing set with

21 Dr. Donald Cook. All of the cases that had

22 converted from negative to positive by

23 switching platforms had one or more of the

24 following characteristics."

25 DR. COOK:

Page 284

1 A. Um-hm.

2 COFFEY, Q.C.:

3 Q. And then he spells it out, one, two, three.

4 DR. COOK:

5 A. Right.

6 COFFEY, Q.C.:

7 Q. Those, the number of cases from the

8 retrospective testing set with Dr. Donald

9 Cook, and then all the cases that had

10 converted, negative to positive. Which cases

11 were they that you showed him?

12 DR. COOK:

13 A. Those were mainly cases from St. John's area.

14 COFFEY, Q.C.:

15 Q. And do you recall which grouping they were?

16 Because when we look above, and the reason I

17 ask that is the paragraph above refers to

18 "this led to a review of other 57 cases

19 reported in 2002 as negative which was retest-

20 -which on retesting on the Ventana resulted in

21 a high conversion rate from negative to

22 positive, 38 out of 57, 67 percent."

23 DR. COOK:

24 A. Um-hm.

25 COFFEY, Q.C.:

Page 285

1 Q. Do you know if Dr. Banerjee saw the original  
 2 slides for those 38?  
 3 DR. COOK:  
 4 A. He may have saw some of those. I can't be  
 5 absolutely sure, but it's possible he saw some  
 6 of the original slides from that grouping.  
 7 It's possible. I can't say for sure.  
 8 COFFEY, Q.C.:  
 9 Q. So which slides he actually saw, you know he  
 10 saw some original ER/PR slides?  
 11 DR. COOK:  
 12 A. Um-hm.  
 13 COFFEY, Q.C.:  
 14 Q. That on retesting had converted?  
 15 DR. COOK:  
 16 A. That's right.  
 17 COFFEY, Q.C.:  
 18 Q. The sample had, but which ones, there was--  
 19 there was no record kept, I take it?  
 20 DR. COOK:  
 21 A. Oh no, I wish I had kept a record, but I  
 22 didn't.  
 23 COFFEY, Q.C.:  
 24 Q. Okay. Doctor, I understand that Dr. Banerjee  
 25 returned to St. John's in, I believe, April of

Page 286

1 2006?  
 2 DR. COOK:  
 3 A. Um-hm.  
 4 COFFEY, Q.C.:  
 5 Q. Were you involved in that?  
 6 DR. COOK:  
 7 A. I was involved in meeting with him and I was  
 8 involved, I believe, with his exit interview.  
 9 I did not get a copy of his report. That was  
 10 forwarded on to Dr. Denic.  
 11 COFFEY, Q.C.:  
 12 Q. Did you subsequently see a copy of that  
 13 report?  
 14 DR. COOK:  
 15 A. I have.  
 16 COFFEY, Q.C.:  
 17 Q. And when was that?  
 18 DR. COOK:  
 19 A. That was sometime, I believe, a few months  
 20 after Dr. Denic had received it. I can't tell  
 21 exactly when I got it.  
 22 COFFEY, Q.C.:  
 23 Q. So it was sometime, probably during 2006?  
 24 DR. COOK:  
 25 A. Possibly, yes.

Page 287

1 COFFEY, Q.C.:  
 2 Q. Okay. If we could, Commissioner, just because  
 3 the Doctor had referred to it, could I ask  
 4 that Exhibit P-2148 be entered please?  
 5 THE COMMISSIONER:  
 6 Q. Sorry?  
 7 COFFEY, Q.C.:  
 8 Q. 2148, I apologize, Commissioner.  
 9 THE COMMISSIONER:  
 10 Q. 2140?  
 11 COFFEY, Q.C.:  
 12 Q. 2148.  
 13 THE COMMISSIONER:  
 14 Q. Entered.  
 15 EXHIBIT ENTERED AND MARKED EXHIBIT P-2148  
 16 COFFEY, Q.C.:  
 17 Q. And Registrar, if you would, please, when you  
 18 have a chance? And these, I take it, are your  
 19 exit notes, Doctor, of September 16th, 2005,  
 20 external review, the exit interview of Dr.  
 21 Banerjee?  
 22 DR. COOK:  
 23 A. Yeah.  
 24 COFFEY, Q.C.:  
 25 Q. Is there anything here, just looking down

Page 288

1 through this, Doctor, that--because you were  
 2 describing it to me earlier, your memory of  
 3 it, anything that we have not covered that -  
 4 DR. COOK:  
 5 A. Well, you know, as I distinctly remember  
 6 sitting with the multi-headed scope, we  
 7 referred to the slides as being in the middle  
 8 of the pack. Now there, I got comparable  
 9 service. Now he may have said service at the  
 10 time of his exit interview, but I can  
 11 certainly remember him saying slides. Do you  
 12 want me to read it out?  
 13 COFFEY, Q.C.:  
 14 Q. If you would, please, Doctor, because it is  
 15 your handwriting, and at times -  
 16 DR. COOK:  
 17 A. Yes.  
 18 COFFEY, Q.C.:  
 19 Q. - it can be a bit difficult.  
 20 DR. COOK:  
 21 A. "In terms of the immunohistochemical stains  
 22 providing a comparable service with the rest  
 23 of Canada, in some areas we were above. There  
 24 is lots of potential in the division of -  
 25 COFFEY, Q.C.:



Page 289

1 Q. I'm sorry, actually "we are above average"  
 2 actually it says, isn't it?  
 3 DR. COOK:  
 4 A. Above average, sorry. "There is lots of  
 5 potential in the division of anatomical  
 6 pathology with both pathologists and managers  
 7 wanting to achieve the same end point, that of  
 8 a good quality, reliable service. There are  
 9 issues, front line issues concerning adequate  
 10 fixation of tissue which can affect the  
 11 reliability of immunoperoxidase testing. The  
 12 need for pathology assistants to ensure that  
 13 specimens and sections are processed in a  
 14 standardized manner. Use of front line  
 15 fixation would be difficult to overcome  
 16 considering tissue coming in from out of town.  
 17 The need for highly specialized -  
 18 COFFEY, Q.C.:  
 19 Q. That should be "come in from all over the  
 20 province"  
 21 DR. COOK:  
 22 A. All over the province, sorry. "The need for  
 23 highly specialized immunoperoxidase service  
 24 with technologists dedicated for  
 25 immunoperoxidase testing. Troubleshooting.

Page 290

1 Issue of proper documentation and antigen  
 2 retrieval methodology. The need for  
 3 subspecialization with an adequate  
 4 compensation package and concerns about a  
 5 manpower problem. No matter how good you are  
 6 in providing the service, it is not if the  
 7 pathology is up to par."  
 8 COFFEY, Q.C.:  
 9 Q. "No matter how good your oncology"  
 10 DR. COOK:  
 11 A. Oh, sorry, oncology service.  
 12 COFFEY, Q.C.:  
 13 Q. Is that oncology service?  
 14 DR. COOK:  
 15 A. Yeah, "if pathology is not up to par."  
 16 COFFEY, Q.C.:  
 17 Q. So that, I take it, was a comment by him to  
 18 the effect that oncologists, to be effective,  
 19 need good pathology?  
 20 DR. COOK:  
 21 A. Yes.  
 22 COFFEY, Q.C.:  
 23 Q. Trish Wegrynowski, I take it, came to St.  
 24 John's as well in September 2005?  
 25 DR. COOK:

Page 291

1 A. Um-hm.  
 2 COFFEY, Q.C.:  
 3 Q. Did you have any interaction with her?  
 4 DR. COOK:  
 5 A. Very little. Had an hour meeting with her  
 6 with Dr. Carter and myself, and possibly an  
 7 exit interview the next day. Trish was mainly  
 8 looking at the technical aspect and that would  
 9 have been under Mr. Gulliver and Dyer, while I  
 10 concentrated the medical aspect with Dr.  
 11 Banerjee.  
 12 COFFEY, Q.C.:  
 13 Q. And do you recall--what, if anything, do you  
 14 recall about her--did you attend her exit  
 15 interview?  
 16 DR. COOK:  
 17 A. Yes, I did.  
 18 COFFEY, Q.C.:  
 19 Q. What, if anything, do you recall about that,  
 20 Doctor?  
 21 DR. COOK:  
 22 A. Well, she--first thing I remember is Dr.  
 23 Williams reassuring her that her comments  
 24 would be protected under legislation, that she  
 25 expressed appreciation for Dr. Williams in

Page 292

1 that he was listening to the concerns of the  
 2 technologists and pathologists regarding the  
 3 issue surrounding the lab. So she was greatly  
 4 appreciative of an individual like him  
 5 listening to the various concerns that we had.  
 6 She listed off a large number of deficiencies  
 7 in the lab with the lack of standardization,  
 8 standard operating procedures, issues  
 9 regarding calibration of pipettes, issues  
 10 regarding documentation, books, internet, that  
 11 sort of stuff.  
 12 COFFEY, Q.C.:  
 13 Q. Now Doctor, in terms of that, were you  
 14 surprised by what she was saying?  
 15 DR. COOK:  
 16 A. Yeah, I must say, I was very surprised. I  
 17 mean, I sort of expected Dr. Banerjee to say  
 18 what he did, but I must say, I was overwhelmed  
 19 by Trish Wegrynowski's report.  
 20 COFFEY, Q.C.:  
 21 Q. And why is that?  
 22 DR. COOK:  
 23 A. Well, I didn't expect for her to identify the  
 24 number of deficiencies that she did. The  
 25 technical aspect of the lab is not an area

Page 293

1 that I frequent usually. I mean, my main  
 2 focus is on the medical staff. The technical  
 3 aspect is under the program director and  
 4 divisional manager. So I was a bit taken  
 5 aback by the number of deficiencies outlined  
 6 in her report.  
 7 COFFEY, Q.C.:  
 8 Q. And I take it that was in the exit interview  
 9 and then in the report itself?  
 10 DR. COOK:  
 11 A. Yes.  
 12 COFFEY, Q.C.:  
 13 Q. Because her report, I take it, mirrored her  
 14 exit interview.  
 15 DR. COOK:  
 16 A. Yes, her report mainly mirrored that.  
 17 COFFEY, Q.C.:  
 18 Q. So Doctor, a lot of the deficiencies that she  
 19 identified, I take it, despite the fact that  
 20 you would, at times, be back and forth to the  
 21 laboratory, you hadn't realized that those  
 22 sorts of deficiencies were there?  
 23 DR. COOK:  
 24 A. No, I hadn't realized that.  
 25 COFFEY, Q.C.:

Page 294

1 Q. Doctor, after Trish Wegrynowski then left St.  
 2 John's, in terms of investigations as to what-  
 3 -as to the reasons for test failure, to use  
 4 Dr. Banerjee's phraseology, was there any  
 5 other investigation being conducted at that  
 6 point as to the reasons for test failure?  
 7 DR. COOK:  
 8 A. No. We relied mainly on the two external  
 9 reviewers.  
 10 COFFEY, Q.C.:  
 11 Q. That would be Dr. Banerjee and Ms.  
 12 Wegrynowski?  
 13 DR. COOK:  
 14 A. That's correct.  
 15 COFFEY, Q.C.:  
 16 Q. And as you just pointed out, Dr. Williams had  
 17 told Ms. Wegrynowski that in his view, her  
 18 review was conducted by--was protected by  
 19 legislation?  
 20 DR. COOK:  
 21 A. That's correct.  
 22 COFFEY, Q.C.:  
 23 Q. So Doctor, just so the Commissioner is clear  
 24 then, as of the end of September 2005, to your  
 25 knowledge, there was not going to be any other

Page 295

1 investigation as to why these problems had  
 2 occurred, other than the two conducted by the  
 3 external reviewers, and they would remain  
 4 secret, as it were?  
 5 DR. COOK:  
 6 A. That's correct, would remain protected under  
 7 legislation.  
 8 COFFEY, Q.C.:  
 9 Q. Protected. So protected that when you went to  
 10 talk to the pathologists about Dr. Banerjee's  
 11 report, you actually had to--you felt you had  
 12 to ask Dr. Williams' permission to do it?  
 13 DR. COOK:  
 14 A. Yes, that was made clear to me and I could not  
 15 produce copies of the report.  
 16 COFFEY, Q.C.:  
 17 Q. Were you asked for copies of the report by the  
 18 pathologists?  
 19 DR. COOK:  
 20 A. One pathologist did, Dr. Ejeckam requested  
 21 copies of the report to me and I told him that  
 22 I was unable to do that, if he had any  
 23 concerns about wanting the copies, he could  
 24 certainly relay that to the Vice President  
 25 Medical Services or if any time he wanted to

Page 296

1 look at the copies that I had, he was free to  
 2 do so.  
 3 COFFEY, Q.C.:  
 4 Q. Okay. Now if we could, please, Exhibit P-  
 5 0597? And Doctor, this is an e-mail from Dr.  
 6 Mullen to yourself, September 26th 2005.  
 7 DR. COOK:  
 8 A. Um-hm.  
 9 COFFEY, Q.C.:  
 10 Q. He is forwarding you results and an ER/PR  
 11 code. He writes, "if you have any questions,  
 12 please do not hesitate to call me, Brendan  
 13 Mullen." I take it, would this be probably  
 14 the first results, in terms of the retesting  
 15 batch?  
 16 DR. COOK:  
 17 A. I believe, yeah.  
 18 COFFEY, Q.C.:  
 19 Q. And Doctor, when you received these results,  
 20 what did you do with them?  
 21 DR. COOK:  
 22 A. I notified Dr. Williams that I had received  
 23 them.  
 24 COFFEY, Q.C.:  
 25 Q. Yes.

Page 297

1 DR. COOK:  
 2 A. And then wanted to speak to him on how we were  
 3 to handle this and how this was going to be  
 4 incorporated into hospital information systems  
 5 and how the patients were to be assessed, in  
 6 terms of treatment recommendations.  
 7 COFFEY, Q.C.:  
 8 Q. And what were you told?  
 9 DR. COOK:  
 10 A. He would get back to me. I believe there would  
 11 have--there was discussion with other  
 12 physicians, the surgeons, the oncologists, as  
 13 well as myself, regarding the formation of a  
 14 tumour panelling process.  
 15 COFFEY, Q.C.:  
 16 Q. So I take it, Doctor, before September 26th,  
 17 2005, those subject matters had not been  
 18 discussed, like the nitty gritty of what was  
 19 going to happen?  
 20 DR. COOK:  
 21 A. Not that I could recollect.  
 22 COFFEY, Q.C.:  
 23 Q. What then happened in that regard, Doctor?  
 24 DR. COOK:  
 25 A. Well, there were numerous meetings. Again,

Page 298

1 it's kind of a blur, but there were numerous  
 2 meetings going around to try to set up a  
 3 panelling process. One of the things that I  
 4 wanted to get approval for was the format on  
 5 how to report the ERs and PRs coming in from  
 6 Mount Sinai. So there was a meeting I had  
 7 with oncologists and surgeons and which I  
 8 presented the format of the reporting process  
 9 that I wanted to follow, and that got  
 10 approved.  
 11 COFFEY, Q.C.:  
 12 Q. And if we could, please, Exhibit P-1290?  
 13 Doctor, this is a letter of September 26th,  
 14 2005 from yourself to Dr. Williams. The  
 15 subject is ER and PR review. You write  
 16 "following the exit interviews about the  
 17 medical and technical consultants, one of the  
 18 issues identified in the IHC staining of  
 19 estrogen and progesterone receptors concerns  
 20 adequate fixation of the specimen. It appears  
 21 in some cases that mastectomy specimens and  
 22 other breast biopsies could very well be left  
 23 lying overnight or over the weekend in the OR  
 24 without adequate formalin fixation. I would  
 25 strongly recommend that all mastectomies,

Page 299

1 needle localizations and lumpectomies with  
 2 axillary node dissection should be booked  
 3 first thing in the morning in the OR from  
 4 Monday to Friday. Ideally, these procedures  
 5 should not be performed on Friday afternoons.  
 6 Every effort should be made to ensure these  
 7 cases are forwarded to the lab in a timely  
 8 fashion. I would appreciate it if this  
 9 information could be forwarded to those  
 10 individuals responsible for OR bookings."  
 11 Signed, Donald Cook.  
 12 Now Doctor, here, there's a note up here  
 13 on the top right-hand side, September 26th,  
 14 2005, this would be. "Spoke to Shirley"?  
 15 DR. COOK:  
 16 A. That's Shirley Taylor. She's our divisional  
 17 manager in the OR at St. Clare's.  
 18 COFFEY, Q.C.:  
 19 Q. "Regarding possibility of scheduling breast  
 20 cases early in morning. Shirley states many  
 21 issues regarding rescheduling of the breast.  
 22 Follow up to my August memo."  
 23 DR. COOK:  
 24 A. Um-hm.  
 25 COFFEY, Q.C.:

Page 300

1 Q. And we looked at that earlier today, your  
 2 August memo to the same effect.  
 3 DR. COOK:  
 4 A. Right, yes.  
 5 COFFEY, Q.C.:  
 6 Q. What then happened with respect to this issue,  
 7 Doctor?  
 8 DR. COOK:  
 9 A. Well, I spoke at great length with Shirley and  
 10 told her the issues that we had with our  
 11 reporting, particularly of the ER and PR, the  
 12 need to keep a close watch on the fixation.  
 13 Most of the cases for breast now were coming  
 14 to St. Clare's, so I said to Shirley that we  
 15 certainly have to make every effort, once the  
 16 surgery is completed, that the tissue is  
 17 forwarded immediately to the lab. Once there,  
 18 our pathologists--our technologists will then  
 19 notify our pathologists and which we would  
 20 then handle the specimen. I said if there is  
 21 any time that a specimen goes over--surgery  
 22 goes over after hours, say 6 or 7:00, the  
 23 pathologist on call is to be called in and  
 24 that individual will then handle the  
 25 mastectomy specimen. I said I would certainly

Page 301	Page 303
<p>1 appreciate not doing these cases on Friday 2 afternoons because there's always the 3 possibility that these cases could be missed 4 and left over the weekend, and I said I wanted 5 that to be avoided at all costs, if possible. 6 So Shirley was quite receptive. The other 7 thing is we were trying to reschedule a 8 particular surgeon who was doing breast 9 surgery on Friday afternoons but because of 10 scheduling problems with clinics and whatnot, 11 that was pretty difficult to do, but she 12 assured me that the breast surgery would take 13 place early in the afternoon and that we would 14 be notified of the specimens. 15 COFFEY, Q.C.: 16 Q. So did that matter actually get addressed? 17 DR. COOK: 18 A. Well, I think it did. I certainly noticed a 19 great improvement in the transportation of the 20 breast specimens to the pathology lab. There 21 was a great deal of attention paid to it by 22 the OR staff. So it didn't get addressed in 23 terms of a formal reply, but it got certainly 24 addressed in terms of what was happening with 25 the breast tissue.</p>	<p>1 DR. COOK: 2 A. Um-hm. 3 COFFEY, Q.C.: 4 Q. Then you've got "hard conversion"? 5 DR. COOK: 6 A. Yeah. 7 COFFEY, Q.C.: 8 Q. In a column with a number of percentages? 9 DR. COOK: 10 A. Yeah. 11 COFFEY, Q.C.: 12 Q. "Soft conversion" a number of numbers and 13 percentages. And "Good correlation"? 14 DR. COOK: 15 A. Um-hm. 16 COFFEY, Q.C.: 17 Q. Numbers and percentages. First of all, 18 Doctor, what's a hard correlation--I'm sorry, 19 a hard conversion? 20 DR. COOK: 21 A. Well, this looks like Dr. Carter's 22 terminology. This would be probably 23 information that I got from here. A hard 24 conversion would have been, say, you're going 25 from a negative to a positive, ie, you know,</p>
<p style="text-align: right;">Page 302</p> <p>1 COFFEY, Q.C.: 2 Q. Okay. Exhibit P-0612, please? Thank you. 3 Doctor, I understand that these are your 4 notes? 5 DR. COOK: 6 A. Yes. 7 COFFEY, Q.C.: 8 Q. It's "up to No. 4, September 30th, 2005." 9 What does that refer to? Do you know - 10 DR. COOK: 11 A. Again, must be up to the cases up to that 12 particular time, I believe. 13 COFFEY, Q.C.: 14 Q. What were - 15 DR. COOK: 16 A. Or I don't know what that means, that 17 September 30th, 2005. I can't comment on that, 18 Mr. Coffey. 19 COFFEY, Q.C.: 20 Q. And then when we look, though, this is, in 21 effect, a handwritten spreadsheet? 22 DR. COOK: 23 A. Um-hm. 24 COFFEY, Q.C.: 25 Q. The year spelled out on the first column?</p>	<p style="text-align: right;">Page 304</p> <p>1 from zero percent up to 15 or 20 percent. 2 Soft conversion possibly could mean that there 3 is conversion around the cutoff point of 0 4 percent. Like I say, you could have something 5 going from eight percent to 12 percent or 6 something like that. I believe that's what 7 she referred to in her definitions. 8 COFFEY, Q.C.: 9 Q. So is this--this is your handwriting? 10 DR. COOK: 11 A. Yeah. 12 COFFEY, Q.C.: 13 Q. But it's her terminology? 14 DR. COOK: 15 A. Yeah, because I probably would have copied 16 this off a sheet that she had submitted to me. 17 COFFEY, Q.C.: 18 Q. So I take it by this point in time she's now 19 involved in at least doing some calculations? 20 DR. COOK: 21 A. Yes, she was always there to provide advice 22 and use as a resource person. 23 COFFEY, Q.C.: 24 Q. So in terms then, just looking at, for 25 example, in the totals, the total is 142</p>

Page 305

1 cases?  
 2 DR. COOK:  
 3 A. Um-hm.  
 4 COFFEY, Q.C.:  
 5 Q. Spanning the years 1999 through 2004. You  
 6 have had conversions noted to be 35 cases in  
 7 total, 25 percent; 31 soft conversions, 22  
 8 percent; and then good correlation is 76 of  
 9 them is 53 percent?  
 10 DR. COOK:  
 11 A. Um-hm.  
 12 COFFEY, Q.C.:  
 13 Q. The purpose in creating this sort of a  
 14 spreadsheet was what?  
 15 DR. COOK:  
 16 A. Just to give an idea of the type of  
 17 conversions and our conversion rates over  
 18 those particular time period, based on a  
 19 relatively small number of patients. That's  
 20 142 out of, you know, hundreds of patients  
 21 that we had.  
 22 COFFEY, Q.C.:  
 23 Q. And, Doctor, why would that be relevant, you  
 24 know, at this stage?  
 25 DR. COOK:

Page 306

1 A. I'm not sure when I got it at this stage, it  
 2 could have been earlier, but, again, it would  
 3 have given us an idea of our conversion rate  
 4 around those years.  
 5 COFFEY, Q.C.:  
 6 Q. Doctor, up to September 30th and around that  
 7 time I take it if you had 142 cases retested,  
 8 they were not done in St. John's? They would  
 9 have had to have been involved, at least some  
 10 of them involved in Mount Sinai?  
 11 DR. COOK:  
 12 A. Now, she could have gotten that from the paper  
 13 records.  
 14 COFFEY, Q.C.:  
 15 Q. But to get a conversion wouldn't you have to  
 16 have a retest?  
 17 DR. COOK:  
 18 A. Yeah, you would. So again, I can't comment on  
 19 where I got those figures, but they look like  
 20 that's her figures.  
 21 COFFEY, Q.C.:  
 22 Q. Okay. Exhibit P-0604, please?  
 23 DR. COOK:  
 24 A. I mean, if that's at the right time, Mr.  
 25 Coffey. I can't guarantee the date. I mean,

Page 307

1 it could have been October 30th.  
 2 COFFEY, Q.C.:  
 3 Q. And, Doctor, this is your note?  
 4 DR. COOK:  
 5 A. Yes.  
 6 COFFEY, Q.C.:  
 7 Q. October the 3rd, 2005, a letter from the  
 8 cancer clinic, Kara to Pat, "Will draft a  
 9 letter to the clinicians."  
 10 DR. COOK:  
 11 A. That's correct.  
 12 COFFEY, Q.C.:  
 13 Q. That would be Kara Laing to Pat Pilgrim?  
 14 DR. COOK:  
 15 A. That's correct.  
 16 COMMISSIONER:  
 17 Q. Or and?  
 18 COFFEY, Q.C.:  
 19 Q. Pardon me?  
 20 COMMISSIONER:  
 21 Q. Is that a two or is that an and?  
 22 COFFEY, Q.C.:  
 23 Q. Oh, I apologize, Commissioner, good point. Is  
 24 it Kara -  
 25 DR. COOK:

Page 308

1 A. "Kara and".  
 2 COFFEY, Q.C.:  
 3 Q. "And" I apologize, Commissioner.  
 4 DR. COOK:  
 5 A. "And Pat."  
 6 COFFEY, Q.C.:  
 7 Q. No. 2, "Draft an addendum report."  
 8 DR. COOK:  
 9 A. Um-hm.  
 10 COFFEY, Q.C.:  
 11 Q. "That Alan and Al" -  
 12 DR. COOK:  
 13 A. That would be Dr. Felix -  
 14 COFFEY, Q.C.:  
 15 Q. To give what?  
 16 DR. COOK:  
 17 A. - and Dr. Kwan to give the okay on that.  
 18 COFFEY, Q.C.:  
 19 Q. This would be the addendum report that you had  
 20 drafted put into the Meditec system for the  
 21 retesting results?  
 22 DR. COOK:  
 23 A. That's right.  
 24 COFFEY, Q.C.:  
 25 Q. Why would you consult Alan Kwan and Al Felix

Page 309

1 about that?

2 DR. COOK:

3 A. Because they had concerns about, particularly

4 Dr. Kwan, about the original reports where the

5 ER and PRs were physically embedded on the

6 report. Some pathologists would report their

7 ERs and PRs as an addendum on the top of the

8 report, others would bury their report in the

9 microscopy. So to make it more convenient for

10 them to compare the original report as well as

11 the report from Mount Sinai, Dr. Kwan in

12 particular wanted that, the originals and the

13 reports from Mount Sinai placed in a separate

14 comment in a separate format.

15 COFFEY, Q.C.:

16 Q. Did he tell you why that was so? I take it so

17 it would be noticeable when you read it?

18 DR. COOK:

19 A. Yes, so he can actually see the original ER/PR

20 report and then compare it to the Mount Sinai

21 result.

22 COFFEY, Q.C.:

23 Q. No. 3, "Outside of St. John's send addendum

24 report to lab director, then lab director

25 would correlate original report with Mount

Page 310

1 Sinai report." Is that what that -

2 DR. COOK:

3 A. I think what I'm talking about there, sending

4 out a hard copy of the Mount Sinai report.

5 Like, if the Excel spreadsheet came in, I

6 would generate a hard copy of that and forward

7 that hard copy to the lab director. There may

8 also be times that there may be correlation

9 between certain reports we see from Mount

10 Sinai and various consultative reports also

11 received from Mount Sinai.

12 COFFEY, Q.C.:

13 Q. Exhibit P-0603, please? Doctor, these are Dr.

14 Williams' handwritten notes. But on page 2

15 apparently these relate to a meeting of

16 October 3rd, 2005. He's noted in the corner

17 of the document, "How to report. Send letter

18 to everyone, medical director of cancer

19 clinic." And there's a number of (1) overview

20 of decision, (2) results to date (3) status of

21 future results (4) long term, (5) individual

22 information, public information, living/dead."

23 DR. COOK:

24 A. Um-hm.

25 COFFEY, Q.C.:

Page 311

1 Q. And then there are a number of attendees.

2 DR. COOK:

3 A. Um-hm.

4 COFFEY, Q.C.:

5 Q. Doctors Kwan, Felix, Hunt, Laing, Mr. Tilley,

6 yourself, Ms. Bonnell, Ms. Predham, Ms.

7 Parsons, Ms. Pilgrim and Dr. Williams.

8 DR. COOK:

9 A. Um-hm.

10 COFFEY, Q.C.:

11 Q. And there's a note here, "Regional lab

12 directors to get the reports."

13 DR. COOK:

14 A. Um-hm.

15 COFFEY, Q.C.:

16 Q. I take it that's, and it cross references what

17 we just looked at for your own note?

18 DR. COOK:

19 A. That's right.

20 COFFEY, Q.C.:

21 Q. Of that meeting. And reference "Dead

22 individuals follow up when all living done."

23 So I take it that the deceased results or

24 whether not--even for the deceased were yet

25 retested, that would be done after the living

Page 312

1 were?

2 DR. COOK:

3 A. Yes.

4 COFFEY, Q.C.:

5 Q. Addressed.

6 DR. COOK:

7 A. That was the plan, I think.

8 COFFEY, Q.C.:

9 Q. And then under "Decision" here he's got,

10 "Issue addendum here to include previous

11 reports. Dr. Cook to follow up with regional

12 lab directors."

13 DR. COOK:

14 A. Um-hm.

15 COFFEY, Q.C.:

16 Q. No. 2, "Cancer clinic draft letter to

17 physicians." That should be Ms. Pilgrim and

18 Dr. Laing. And No. 3, "Set up clearing house

19 for information of patient contact.

20 Counselling available. Heather Predham and

21 Chris Parsons." I take it they were charged

22 with doing that?

23 DR. COOK:

24 A. Yes.

25 COFFEY, Q.C.:

Page 313

1 Q. If we could, please, Exhibit P-0602? Now  
 2 here, Doctor, these are some more of your  
 3 notes. I take it these are your handwriting?  
 4 DR. COOK:  
 5 A. Yes.  
 6 COFFEY, Q.C.:  
 7 Q. And reads, "October 1, 2005. Spoke to Dr.  
 8 Dankwa at NAP meeting. To send him pathology  
 9 report on St. Anthony cases." Same date,  
 10 "Updated NAP members on ER and PR situation."  
 11 DR. COOK:  
 12 A. Um-hm.  
 13 COFFEY, Q.C.:  
 14 Q. So I take it you were--this was the day before  
 15 the matter went public? October the 2nd is  
 16 the Independent story, so -  
 17 DR. COOK:  
 18 A. Yes.  
 19 COFFEY, Q.C.:  
 20 Q. The Newfoundland Association of Pathology  
 21 members, you were telling them the situation?  
 22 DR. COOK:  
 23 A. Updating on the situation and what I found and  
 24 what my concerns were.  
 25 COFFEY, Q.C.:

Page 314

1 Q. And October 3rd, 2005, "Meeting with surgeons,  
 2 oncologists. Dr. Ed Hunt to discuss media  
 3 handling."  
 4 DR. COOK:  
 5 A. Yes.  
 6 COFFEY, Q.C.:  
 7 Q. Do you recall what that was about,  
 8 particularly the reference to Dr. Hunt is what  
 9 I'm -  
 10 DR. COOK:  
 11 A. Dr. Hunt works with the Department of Health  
 12 and Community Services.  
 13 COFFEY, Q.C.:  
 14 Q. Yes.  
 15 DR. COOK:  
 16 A. He's a medical consultant. Again, we're  
 17 trying to decide how to go public, what route  
 18 we would take and what we would address and so  
 19 that was a meeting with him and the  
 20 oncologists and the surgeons, I believe.  
 21 Again, I can't remember the exact specifics of  
 22 that meeting.  
 23 COFFEY, Q.C.:  
 24 Q. Well, Doctor, in fact, when we look, if you  
 25 could go back, please, to Exhibit P-0603?

Page 315

1 DR. COOK:  
 2 A. Okay.  
 3 COFFEY, Q.C.:  
 4 Q. This is the same day, October 3rd. And I'm  
 5 going to -  
 6 DR. COOK:  
 7 A. Okay.  
 8 COFFEY, Q.C.:  
 9 Q. The third name there is Dr. Hunt's.  
 10 DR. COOK:  
 11 A. Right. That would be that.  
 12 COFFEY, Q.C.:  
 13 Q. So in this larger meeting and it certainly  
 14 does involve oncologists and surgeons, this  
 15 issue of--if we could go back then to Exhibit  
 16 P-0602, please? Yes, you've noted here,  
 17 Doctor, Ed Hunt is to discuss media handling?  
 18 DR. COOK:  
 19 A. Yes.  
 20 COFFEY, Q.C.:  
 21 Q. And up to that point had, to your knowledge,  
 22 the Department of Health and certainly Dr.  
 23 Hunt been involved in the media and how they'd  
 24 be handled?  
 25 DR. COOK:

Page 316

1 A. Well, as I said, they would have been looking  
 2 towards public disclosure at an earlier date,  
 3 so I would certainly think and if I remember  
 4 correctly, that Dr. Hunt would have been sort  
 5 of pushing for that.  
 6 COFFEY, Q.C.:  
 7 Q. By then, this is the day after, October 3rd is  
 8 the day after the Independent story, so by the  
 9 day October 3rd, by the day that happened,  
 10 this was public knowledge.  
 11 DR. COOK:  
 12 A. Yes, okay.  
 13 COFFEY, Q.C.:  
 14 Q. So and if you can't remember any more, then  
 15 you can't. October 4, 2005, "Confirm--  
 16 conference call," I'm sorry, "of CEOs and  
 17 medical directors on issues surrounding ER and  
 18 issuing of addendum report."  
 19 DR. COOK:  
 20 A. Um-hm.  
 21 COFFEY, Q.C.:  
 22 Q. I take it that was to talk to the people in  
 23 the other health authorities about the  
 24 practicalities of -  
 25 DR. COOK:

Page 317	Page 319
<p>1 A. Right.</p> <p>2 COFFEY, Q.C.:</p> <p>3 Q. - the Mount Sinai results and how they'd be</p> <p>4 entered in patients' charts?</p> <p>5 DR. COOK:</p> <p>6 A. Yeah.</p> <p>7 COFFEY, Q.C.:</p> <p>8 Q. And then "Letter to be drafted by cancer</p> <p>9 clinic."</p> <p>10 DR. COOK:</p> <p>11 A. Um-hm.</p> <p>12 COFFEY, Q.C.:</p> <p>13 Q. Which I think we've seen a reference to in</p> <p>14 your notes?</p> <p>15 DR. COOK:</p> <p>16 A. Yeah.</p> <p>17 COFFEY, Q.C.:</p> <p>18 Q. Elsewhere, October 3rd, the bottom of the</p> <p>19 page, 2005, "Spoke to Maurice Dalton regarding</p> <p>20 receipt of Grand Falls cases and 17 cases</p> <p>21 submitted to St. John's."</p> <p>22 DR. COOK:</p> <p>23 A. Yeah.</p> <p>24 COFFEY, Q.C.:</p> <p>25 Q. "In June, 2005."</p>	<p>1 about this, upset about it?</p> <p>2 DR. COOK:</p> <p>3 A. Oh, he was absolutely concerned. It struck at</p> <p>4 the heart of his well being. He was</p> <p>5 absolutely, you know, overwhelmed by all of</p> <p>6 this. I could tell there was a lot of stress</p> <p>7 over the phone. You know, Maurice, this had</p> <p>8 hit him really hard.</p> <p>9 COFFEY, Q.C.:</p> <p>10 Q. And finally here, Doctor, October 4th, 2005,</p> <p>11 you've noted, "Spoke to Alan Kwan regarding</p> <p>12 the format of the draft report." I take it</p> <p>13 that's the draft of an addendum?</p> <p>14 DR. COOK:</p> <p>15 A. Yes.</p> <p>16 COFFEY, Q.C.:</p> <p>17 Q. As to how it should be entered?</p> <p>18 DR. COOK:</p> <p>19 A. Yes.</p> <p>20 COFFEY, Q.C.:</p> <p>21 Q. Okay. If we could, please, Exhibit P-0610?</p> <p>22 This is a canned text dictionary at the top of</p> <p>23 the page here. And then I take it, Doctor,</p> <p>24 this is a draft of the sort of text that you'd</p> <p>25 use?</p>
Page 318	Page 320
<p>1 DR. COOK:</p> <p>2 A. Yeah.</p> <p>3 COFFEY, Q.C.:</p> <p>4 Q. Do you recall what that was about?</p> <p>5 DR. COOK:</p> <p>6 A. Again, more conversation with Maurice Dalton.</p> <p>7 I mean, Maurice had great concerns over the</p> <p>8 role of the pathologists in the ER/PR issue,</p> <p>9 the role of interpretation, you know, and how</p> <p>10 it was going to affect the pathologists, the</p> <p>11 patients, the overall imagine of pathology in</p> <p>12 Newfoundland. Those were various concerns</p> <p>13 that Maurice would express with me in</p> <p>14 conversations, and at times the conversations</p> <p>15 were quite lengthy, anywhere from half an hour</p> <p>16 to an hour sometimes over the phone with his</p> <p>17 concerns about the state of pathology in</p> <p>18 Newfoundland.</p> <p>19 COFFEY, Q.C.:</p> <p>20 Q. I'm going to suggest to you, Doctor, would it</p> <p>21 be unfair for me to suggest that Dr. Dalton,</p> <p>22 when you spoke to him at times about this</p> <p>23 issue, was, the word that comes to mind is</p> <p>24 "distracted", but I don't want to use that if</p> <p>25 it's too strong. Was he really concerned</p>	<p>1 DR. COOK:</p> <p>2 A. Um-hm.</p> <p>3 COFFEY, Q.C.:</p> <p>4 Q. Or you were proposing to use, anyway, in terms</p> <p>5 of entering the Mount Sinai results into the</p> <p>6 Meditec record of each patient?</p> <p>7 DR. COOK:</p> <p>8 A. Right.</p> <p>9 COFFEY, Q.C.:</p> <p>10 Q. Okay. And below this in your handwriting, I</p> <p>11 take it this is your handwriting?</p> <p>12 DR. COOK:</p> <p>13 A. Um-hm.</p> <p>14 COFFEY, Q.C.:</p> <p>15 Q. You've noted, "Spoke to Alan Kwan October 4,</p> <p>16 2005. Spoke to Al Felix re October 5, 2005."</p> <p>17 DR. COOK:</p> <p>18 A. Um-hm.</p> <p>19 COFFEY, Q.C.:</p> <p>20 Q. That's regarding this whole issue?</p> <p>21 DR. COOK:</p> <p>22 A. Um-hm.</p> <p>23 COFFEY, Q.C.:</p> <p>24 Q. Did they both finally agree with the approach</p> <p>25 you took?</p>



Page 321

1 DR. COOK:  
 2 A. Yes, they did.  
 3 COFFEY, Q.C.:  
 4 Q. And there's a note here, "Highlight the  
 5 specimen. This specimen has been retested at  
 6 Mount Sinai for immunohistochemical status  
 7 using block," and block would be filled in.  
 8 The highlight, I take it, the notion was that  
 9 somehow that would be highlighted in the text?  
 10 DR. COOK:  
 11 A. That's correct.  
 12 COFFEY, Q.C.:  
 13 Q. Can, in Meditec, things be bolded, do you  
 14 know?  
 15 DR. COOK:  
 16 A. I believe so, yeah.  
 17 COFFEY, Q.C.:  
 18 Q. And here you've noted, "Received direction to  
 19 issue Mount Sinai report in hospital  
 20 information system at meeting of October 3rd,  
 21 2005. People at the meeting included the CEO,  
 22 George Tilley, Ed Hunt, Pat Pilgrim, Susan  
 23 Bonnell, Kara Laing, Al Felix, Alan Kwan, Don  
 24 Cook, Bob Williams, Heather Predham and Nancy  
 25 Parsons. And you've noted here "Letter to be

Page 322

1 generated by cancer clinic is to be sent out  
 2 to surgeons." I take it that's this letter to  
 3 let the surgeons know, kind of a form letter?  
 4 DR. COOK:  
 5 A. I believe.  
 6 COFFEY, Q.C.:  
 7 Q. In the meantime, Doctor, why would you take  
 8 the trouble to note in a formal way who was  
 9 telling you or who had approved of you doing  
 10 it in this manner?  
 11 DR. COOK:  
 12 A. In regards to the format?  
 13 COFFEY, Q.C.:  
 14 Q. Yes.  
 15 DR. COOK:  
 16 A. Of the letter, of the -  
 17 COFFEY, Q.C.:  
 18 Q. Of the addendum.  
 19 DR. COOK:  
 20 A. Well, this was something new that was being  
 21 happening. Normally what happens whenever we  
 22 get consults from the outside and we issue  
 23 addendum reports, this would normally be  
 24 issued by the attending pathologist. In this  
 25 particular case we were going outside the

Page 323

1 normal practice. This is an unusual  
 2 situation, a unique situation and I just want  
 3 to make sure that the CEO and the vice  
 4 president of medical services knew what I was  
 5 doing and getting approval from that.  
 6 COFFEY, Q.C.:  
 7 Q. Okay. And to keep a record of the fact that  
 8 that had been done?  
 9 DR. COOK:  
 10 A. Yes.  
 11 COFFEY, Q.C.:  
 12 Q. Exhibit P-0607, please? Are these your notes,  
 13 Doctor?  
 14 DR. COOK:  
 15 A. Yeah.  
 16 COFFEY, Q.C.:  
 17 Q. Okay. It's an update from Terry Gulliver,  
 18 October 3rd, 2005?  
 19 DR. COOK:  
 20 A. Um-hm.  
 21 COFFEY, Q.C.:  
 22 Q. And I take it this is--it refers to  
 23 Gander/Carbonear, Carbonear/Grand Falls, Grand  
 24 Falls/Corner Brook and the Health Care  
 25 Corporation. And this is an update, I take

Page 324

1 it, as to the status in respect of those  
 2 geographic locations, particular years and  
 3 where you were with the cases at the time.  
 4 DR. COOK:  
 5 A. That's correct.  
 6 COFFEY, Q.C.:  
 7 Q. So, when we look down through that, I take it  
 8 as of early October there was still quite a  
 9 number of cases you expected from outside St.  
 10 John's?  
 11 DR. COOK:  
 12 A. Yes.  
 13 COFFEY, Q.C.:  
 14 Q. For example here, in Corner Brook, there's a  
 15 note here, "Terry sent off whole list of  
 16 referrals, end of August, still no cases,  
 17 however they are working on them".  
 18 DR. COOK:  
 19 A. Yes, so he would have been communicating with  
 20 Corner Brook for cases.  
 21 COFFEY, Q.C.:  
 22 Q. And for example, "Grand Falls, 2002 received  
 23 17 cases, have not been sent off" and then  
 24 there's a note above that for Grand Falls,  
 25 "came in September 30, 2005, 87 cases in total

Page 325

1 who require screening from Dr. Cook to be sent  
 2 off".  
 3 DR. COOK:  
 4 A. Um-hm.  
 5 COFFEY, Q.C.:  
 6 Q. So, as of the beginning of October 2005, there  
 7 was still a fair amount of, a number of cases  
 8 to come and to be packaged up and sent to  
 9 Mount Sinai?  
 10 DR. COOK:  
 11 A. Yeah.  
 12 COFFEY, Q.C.:  
 13 Q. Exhibit P-0614, please. This is an e-mail,  
 14 Doctor, from Heather Predham to a number of  
 15 individuals including yourself from October  
 16 4th, 2005. She begins by saying, "I just  
 17 wanted to update you on the database" and part  
 18 way through it she says, "in the results list  
 19 from yesterday, and there were several  
 20 patients who had more than one sample sent"  
 21 and she says, in bold print, "Dr. Cook, can  
 22 you let me know if you want the separate  
 23 specimens tracked or can I just track the  
 24 individual patients"? Do you recall who you  
 25 replied to that?

Page 326

1 DR. COOK:  
 2 A. We tracked the individual patients. Part of  
 3 the problem with this process is it became  
 4 quite complex. It wouldn't be unusual for a  
 5 patient to have as many as three, four, up to  
 6 five different operative procedures on the  
 7 same breast. Sometimes they were performed by  
 8 the same surgeon in the same institution or  
 9 sometimes they would be performed by the same  
 10 surgeon in different institutions or different  
 11 surgeons in different institutions. So,  
 12 trying to keep track of all this was a  
 13 monumental task indeed. And it wasn't unusual  
 14 to have as many as one or two receptors  
 15 ordered on different specimens at different  
 16 times on the same patient. So, the best way--  
 17 I probably would have advised Heather to track  
 18 the individual patient and then we would try  
 19 to track down how many specimens would be  
 20 aligned with the patient.  
 21 COFFEY, Q.C.:  
 22 Q. Exhibit P-1295, please. Now, Doctor, this is  
 23 a letter from Terry Gulliver, October 4, 2005  
 24 to Dr. Fontaine. It's copied to yourself and  
 25 Dr. Williams and he says, "I'm writing with

Page 327

1 respect to your letter of September 21st, 2005  
 2 concerning recent problems experienced with  
 3 IHC staining, specifically regarding the  
 4 estrogen and progesterone receptors". And he  
 5 continues, "Dr. Cook, Dr. Williams and myself  
 6 have received a preliminary assessment at a  
 7 debriefing session with both of these  
 8 consultants. Their recommendations would be  
 9 all encompassing. And currently Dr. Cook and  
 10 myself are putting together a strategy to deal  
 11 with the issues they referenced. The  
 12 recommendations that we will be proposing will  
 13 encompass the issues that are outlined in your  
 14 letter. I'm sure Dr. Cook will keep you  
 15 apprised of the progress that is made in  
 16 addressing these concerns".  
 17 So, Doctor, I raise this not only to show  
 18 perhaps that Dr. Fontaine was responded to by  
 19 Mr. Gulliver, but how much were people like  
 20 Dan Fontaine as the site chief kept in the  
 21 loop then in the fall of 2005 as to what was  
 22 going on, in response to the external reviews?  
 23 DR. COOK:  
 24 A. The external reviews, I mean, I would keep, I  
 25 was in contact with Dan at least once, twice a

Page 328

1 week on various issues and trying to keep him  
 2 up to date as possible with what was happening  
 3 with the ER/PR situation; what was happening  
 4 with the media; Dan's perception of public  
 5 opinion. And also I looked to Dan for some  
 6 advice and guidance on this issue as well.  
 7 So, certainly did my best to try to keep Dan  
 8 in the loop as much as possible. Usually it  
 9 was on a one-to-one basis, we'd get together  
 10 and meet at his office at the General Hospital  
 11 to discuss the situation.  
 12 COFFEY, Q.C.:  
 13 Q. And Exhibit P-0621, please. Doctor, the  
 14 source of this document is yourself and -  
 15 DR. COOK:  
 16 A. No, I think this would be Mr. Gulliver.  
 17 COFFEY, Q.C.:  
 18 Q. Actually, well -  
 19 DR. COOK:  
 20 A. From my file, but the source of it would be  
 21 Mr. Gulliver.  
 22 COFFEY, Q.C.:  
 23 Q. Okay, the person who actually created it would  
 24 be Mr. Gulliver?  
 25 DR. COOK:

Page 329

1 A. Correct.  
 2 COFFEY, Q.C.:  
 3 Q. And he would have given you a copy. It's  
 4 entitled "ER/PR cases for retest October 4th,  
 5 '05" and would this then have been his advice  
 6 as to kind of where they were overall with the  
 7 numbers?  
 8 DR. COOK:  
 9 A. That would be our status at that point in  
 10 time.  
 11 COFFEY, Q.C.:  
 12 Q. There's a note at the bottom, he says, "we  
 13 expect that all cases identified should be  
 14 sent to Mount Sinai by early next week",  
 15 that's October 10th, '05.  
 16 DR. COOK:  
 17 A. Um-hm.  
 18 COFFEY, Q.C.:  
 19 Q. Exhibit P-0087, now Doctor, these are  
 20 handwritten notes of, or typed version of  
 21 handwritten notes of Dr. Williams for October  
 22 4th, 2005 conference call. There's one of  
 23 them here at the bottom here, there's a bullet  
 24 that says, a conference call with the other  
 25 regional boards. "Specific issues reviewed

Page 330

1 with DC"--that would be yourself?  
 2 DR. COOK:  
 3 A. Um-hm.  
 4 COFFEY, Q.C.:  
 5 Q. And then there's a question of "whether we  
 6 should notify all patients who are being  
 7 retested". What was the situation at that  
 8 point in terms of notification of individual  
 9 patients about whether they were being  
 10 retested? It was already public two days  
 11 before, so.  
 12 DR. COOK:  
 13 A. Yes.  
 14 COFFEY, Q.C.:  
 15 Q. Do you recall -  
 16 DR. COOK:  
 17 A. I'm trying to remember now what went on at  
 18 that particular meeting.  
 19 COFFEY, Q.C.:  
 20 Q. If you're able to, fine, Doctor and if you're  
 21 not, Doctor, I'll just simply to have to try  
 22 to -  
 23 DR. COOK:  
 24 A. Yes, I just can't remember, Mr. Coffey.  
 25 COFFEY, Q.C.:

Page 331

1 Q. Okay, thank you. Exhibit P-0626 please. Now,  
 2 Doctor, these are, in the first pages is some  
 3 e-mails involving Susan Bonnell and Lynn  
 4 Barter. And Susan Bonnell sends a copy of a  
 5 letter that Ms. Barter of the NLMA had sent to  
 6 her. It's October 6th, 2005. The letter is  
 7 attached and it's one prepared for Dr.  
 8 Williams' signature. And just to let you  
 9 know, Ms. Barter had advised Ms. Bonnell, "now  
 10 posted to our website and will go to all  
 11 members in an e-update later today".  
 12 DR. COOK:  
 13 A. Um-hm.  
 14 COFFEY, Q.C.:  
 15 Q. In the text of this letter, the fourth last  
 16 paragraph in this third line says, "from the  
 17 results that we have retested thus far, we are  
 18 anticipating that less than 10 percent of all  
 19 breast cancer patients will convert from a  
 20 negative to a positive and may experience a  
 21 change or addition to their cancer therapy.  
 22 Patients with positive ER and PR results or  
 23 those who previously received hormone therapy  
 24 for their cancer are not impacted". Now, I  
 25 refer you to this Doctor because I wanted to

Page 332

1 ask you, did anyone ever consult you as to  
 2 what sorts of figures you were anticipating?  
 3 DR. COOK:  
 4 A. I remember speaking to Dr. Williams' regarding  
 5 this. Dr. Williams was using positivity  
 6 rates, I believe. He was--I think at that  
 7 time we were at 73 percent positivity. Bob,  
 8 in his mind was thinking about 83 percent.  
 9 So, he was just subtracting positivity rates  
 10 and trying to anticipate that that's where we  
 11 should be, ten percent or less in positivity  
 12 rates. Now, in terms--what's the date of that  
 13 letter?  
 14 COFFEY, Q.C.:  
 15 Q. Well, according to e-mail it was posted--it's  
 16 undated, but it was posted October 6, 2005.  
 17 DR. COOK:  
 18 A. Yes, that would have been a hard one to call  
 19 because we would just have gotten the results  
 20 and we wouldn't have been panelling the  
 21 patients at that particular time. And for me  
 22 to assess conversions, I would have to compare  
 23 their original results to that from Mount  
 24 Sinai. So, at that time, I would have had  
 25 very little information to guide him on, but

Page 333

1 there was pressure on Dr. Williams to put some  
 2 sort of number in the media. So, as best as I  
 3 could tell him, we were certainly thinking  
 4 around maybe 10 percent or so, possible  
 5 conversion rate. That was a realistic figure,  
 6 but I was sort of hesitant in going, releasing  
 7 those figures because we certainly didn't have  
 8 any farm idea of the conversion rates at that  
 9 particular time.  
 10 COFFEY, Q.C.:  
 11 Q. So, I take it then, Doctor, to use the  
 12 vernacular, to the effect--Dr. Williams, if  
 13 you are going to use the ten, don't quote me  
 14 on it, as it were in terms of from your own  
 15 perspective. Is that -  
 16 DR. COOK:  
 17 A. Well, I wouldn't say that. I mean, I would  
 18 say that the ten percent at that time, to me,  
 19 probably sounded reasonable.  
 20 COFFEY, Q.C.:  
 21 Q. Reasonable, and that was based, I take it -  
 22 DR. COOK:  
 23 A. I mean, I wouldn't say, you know, that Dr.  
 24 Williams' decision entirely, I mean, I would  
 25 have been looking at that and I may have had

Page 334

1 some results back from Mount Sinai, it was  
 2 probably correlating results I may have at  
 3 that time, but you know, I wouldn't say it was  
 4 a decision made entirely by himself.  
 5 COFFEY, Q.C.:  
 6 Q. Okay. So, you may have had some input into it  
 7 and you understood his rationale, in terms of  
 8 his basis he was using, but up to that point  
 9 in time, hard data, as it were for you from  
 10 your own perspective, you wouldn't have been  
 11 able to point to.  
 12 DR. COOK:  
 13 A. No, we were still expecting hundreds of cases  
 14 to come in. So, that was our best shot, is  
 15 what we were figuring at that time would be  
 16 the impact.  
 17 COFFEY, Q.C.:  
 18 Q. Exhibit P-1298 please. Doctor, this is two e-  
 19 mails of October 11th, 2005 in exchange  
 20 between yourself--well, the first of them is  
 21 the one between Dr. Mullen and yourself and  
 22 there's one below that, October 9th from  
 23 yourself to Dr. Mullen. It's about a  
 24 particular case and you raised a question  
 25 about would I take--in your October 9th e-mail

Page 335

1 you thought it was perhaps an inconsistency in  
 2 the results for a particular patient, with Dr.  
 3 Mullen, asking to clarify it. And he came  
 4 back with his response on the 11th of October,  
 5 see that?  
 6 DR. COOK:  
 7 A. Right.  
 8 COFFEY, Q.C.:  
 9 Q. And you then forwarded yours and his, your e-  
 10 mail and his response onto Dr. Williams.  
 11 DR. COOK:  
 12 A. Um-hm.  
 13 COFFEY, Q.C.:  
 14 Q. I take it then, Doctor, that when the  
 15 spreadsheets came back or as they came back  
 16 from Mount Sinai, you were examining them and  
 17 looking at whether or not there were any  
 18 earlier results or pre-existing results for  
 19 the same patients and examining them for  
 20 consistency. The first e-mail indicates that  
 21 you've actually sat apparently and -  
 22 DR. COOK:  
 23 A. What was happening was this particular lady,  
 24 if I remember her correctly, she may have been  
 25 sent up as a consultation, may have been a

Page 336

1 request -  
 2 COFFEY, Q.C.:  
 3 Q. Yes, you've noted that, yes.  
 4 DR. COOK:  
 5 A. - from our oncologist for an urgent result.  
 6 So, I would have entered her into the system.  
 7 She still would have had a block--so, we would  
 8 have sent up a separate block for the  
 9 consultation. She still would have had a  
 10 block in the review process. So, when that  
 11 got retested in the review process, it would  
 12 have come to my attention that there had been  
 13 a previous result in on the system and that's  
 14 where I would have picked that up.  
 15 COMMISSIONER:  
 16 Q. I just want to make sure I understand what  
 17 you're saying, is if--during the normal  
 18 process for the retest, a block from this lady  
 19 would have gone to Mount Sinai to be retested.  
 20 DR. COOK:  
 21 A. Um-hm.  
 22 COMMISSIONER:  
 23 Q. And in the interim an oncologist said to you,  
 24 I want an urgent result on this person. So,  
 25 you would have pulled another block for

Page 337

1 consultation.  
 2 DR. COOK:  
 3 A. That's correct, Commissioner.  
 4 COMMISSIONER:  
 5 Q. And then you have compared the results of the  
 6 two blocks when they came back.  
 7 DR. COOK:  
 8 A. Yes. What I was thinking at the time, I was  
 9 thinking if you were taking the same block  
 10 from the same tumour subjected it to the same  
 11 fixation, subjected to the same processing,  
 12 you would assume that you would get relatively  
 13 the same result. Now, what was happening when  
 14 I was sending cases up to Mount Sinai, they  
 15 were shorthanded because of their vacations  
 16 and whatnot. So, they were having, from what  
 17 I understood, trouble accessioning the blocks  
 18 and registering the blocks. So, when a  
 19 request came into me for an urgent case or a  
 20 consultation, it was much easier for us to  
 21 pull another block and forward it to Mount  
 22 Sinai for testing in the consultation route  
 23 and that would only take us five to six days  
 24 to get a result.  
 25 COFFEY, Q.C.:

Page 338

1 Q. I take it that otherwise if you wanted Mount  
 2 Sinai to treat a particular case as an urgent  
 3 case, you'd have to tell them, you go  
 4 searching in that group of blocks, you got it  
 5 there somewhere, identify that patient, pull  
 6 the block out that they've already got.  
 7 DR. COOK:  
 8 A. Yeah.  
 9 COFFEY, Q.C.:  
 10 Q. And have it done, so it was easier just for  
 11 you to pull a block.  
 12 DR. COOK:  
 13 A. It was much easier for me to do it whereas for  
 14 them, they hadn't registered it at that point  
 15 in time.  
 16 COFFEY, Q.C.:  
 17 Q. Now, Doctor, the idea here that there are two  
 18 different results for two different blocks, 2E  
 19 and 2F.  
 20 DR. COOK:  
 21 A. Um-hm.  
 22 COFFEY, Q.C.:  
 23 Q. And bearing in mind Dr. Mullen's explanation  
 24 in his e-mail of October 11th.  
 25 DR. COOK:

Page 339

1 A. Um-hm.  
 2 COFFEY, Q.C.:  
 3 Q. What was your reaction to that? What did you  
 4 think of it?  
 5 DR. COOK:  
 6 A. Well, to tell you the truth, I couldn't see  
 7 how there'd be such a difference in the  
 8 fixation and processing on the same lesion. I  
 9 mean, you got the same breast lesion, subject  
 10 to the same type of fixation, be it poor or  
 11 bad, I couldn't really see, appreciate how you  
 12 would get that much difference of an ER 1 to 5  
 13 percent up to and ER of 20 percent. I mean  
 14 that, to me, is a significant difference. I  
 15 would expect a difference of about 5, 10  
 16 percent, but we're looking at a about 15  
 17 percent there. I was a bit surprised at that  
 18 result and I had a bit of trouble accepting  
 19 his explanation for that.  
 20 COFFEY, Q.C.:  
 21 Q. Did you ever inquire any further into it?  
 22 DR. COOK:  
 23 A. No, I didn't.  
 24 COFFEY, Q.C.:  
 25 Q. The idea that a particular slide--points out

Page 340

1 there, "poorly fixed, processed in the centre,  
 2 large areas poorly fixed, processed in the  
 3 centre. ER and PR positive cells present at  
 4 the periphery".  
 5 DR. COOK:  
 6 A. Um-hm.  
 7 COFFEY, Q.C.:  
 8 Q. And then, in fact, from his--well, he explains  
 9 here, the slide appears, the other slide  
 10 appears better fixed and processed with ER and  
 11 PR cells present throughout the slide.  
 12 DR. COOK:  
 13 A. Um-hm.  
 14 COFFEY, Q.C.:  
 15 Q. Although, again, a majority at the periphery.  
 16 DR. COOK:  
 17 A. Um-hm.  
 18 COFFEY, Q.C.:  
 19 Q. Would that be possible from two different  
 20 blocks, that you'd get a problem, a particular  
 21 problem in the centre of a slide, being one  
 22 slide being poorly fixed and processed?  
 23 DR. COOK:  
 24 A. It's possible. But again, you would think,  
 25 again, depending on--you have to look at the

Page 341

1 size of the lesion, why you would get that big  
 2 a difference in variability from block to  
 3 block.  
 4 COFFEY, Q.C.:  
 5 Q. I take it that different blocks are taken from  
 6 different parts of the breast in the sense of,  
 7 you know, physically one's--it may be next to  
 8 the other, it may not, I don't know.  
 9 DR. COOK:  
 10 A. Um-hm.  
 11 COFFEY, Q.C.:  
 12 Q. But you'd have one and then another?  
 13 DR. COOK:  
 14 A. Yeah. And I -  
 15 COFFEY, Q.C.:  
 16 Q. Just on that point, if I could, Doctor, a  
 17 block like 2E and 2F, okay, would that mean  
 18 that that tissue is taken 2E and 2F were  
 19 adjacent to each other in the patient?  
 20 DR. COOK:  
 21 A. That's correct, yeah, that's what you would  
 22 assume.  
 23 COFFEY, Q.C.:  
 24 Q. You would assume? Like, they would actually  
 25 be right next to each other?

Page 342

1 DR. COOK:  
 2 A. Um-hm.  
 3 COFFEY, Q.C.:  
 4 Q. And is your view that the tissue in that  
 5 context should be fixed in the same manner in  
 6 both blocks?  
 7 DR. COOK:  
 8 A. If you got peripheral staining in one block,  
 9 one is adjacent to the other, you would have  
 10 the same type of peripheral staining in the  
 11 other, you know, if they are side by side,  
 12 right, in terms of fixation.  
 13 COFFEY, Q.C.:  
 14 Q. And that, though, I take it, Doctor, assumes  
 15 that fixation has equally occurred, doesn't  
 16 it?  
 17 DR. COOK:  
 18 A. It would make that assumption.  
 19 COFFEY, Q.C.:  
 20 Q. And in this context is that really a fair  
 21 assumption?  
 22 DR. COOK:  
 23 A. Well, now, you got to look at the peripheral  
 24 aspect of the tumour, okay.  
 25 COFFEY, Q.C.:

Page 343

1 Q. Yes.  
 2 DR. COOK:  
 3 A. I mean, if you got a slide of tissue there and  
 4 if you're taking the tissue side by side,  
 5 normally you would take the peripheral aspect  
 6 of the tissue adjacent to the peripheral  
 7 aspect of the other block. You know what I'm  
 8 saying?  
 9 COFFEY, Q.C.:  
 10 Q. Normally you would, but in this particular  
 11 case you don't know whether that happened or  
 12 not, do you?  
 13 DR. COOK:  
 14 A. Well, not for sure. But, I mean, you would--  
 15 that's, you know, what I would do and what  
 16 most pathologists would do.  
 17 COMMISSIONER:  
 18 Q. Now, you'd better run that past me again, Dr.  
 19 Cook, I'm not sure that I understood the point  
 20 you were making, the latter point. Normally,  
 21 you're saying, that these two--because E is  
 22 next to F, one assumes that, in fact, the  
 23 slices are adjacent, come from adjacent pieces  
 24 of the lesion?  
 25 DR. COOK:

Page 344

1 A. One assumes, and that they would include both  
 2 normal and tumorous tissue, the edge of the  
 3 tumour.  
 4 COMMISSIONER:  
 5 Q. And you're also assuming that in terms of the  
 6 fixation process they would have gone through  
 7 the same, shall we say, quality of fixation?  
 8 DR. COOK:  
 9 A. Yes, be it good or bad, Commissioner.  
 10 COMMISSIONER:  
 11 Q. Okay.  
 12 COFFEY, Q.C.:  
 13 Q. If we could on that, isn't one of the  
 14 characteristics of poor fixation at times  
 15 uneven fixation throughout the tumour?  
 16 DR. COOK:  
 17 A. If you got something there in the centre of  
 18 the tumour, that would be an uneven fixation  
 19 compared to what's at the peripheral aspect of  
 20 the tumour.  
 21 COFFEY, Q.C.:  
 22 Q. Exhibit P-0634? Doctor, this is a fax from  
 23 transmission cover sheet from a fax from  
 24 yourself, I'm sorry, it's from Dr. Williams to  
 25 Dr. Carter, October 12, 2005. But he refers

Page 345

1 to you, he says, "Dr. Carter, Dr. Cook has  
 2 just informed me that you have agreed to sit  
 3 on this panel."  
 4 DR. COOK:  
 5 A. Um-hm.  
 6 COFFEY, Q.C.:  
 7 Q. "Don will be on it in an ex officio capacity  
 8 to ensure that all the information is  
 9 available from the lab medicine program.  
 10 You'll be there as an expert in the area of  
 11 breast pathology and help with the  
 12 deliberations of the panel. I want to thank  
 13 you for this." Now, this panel, I take it this  
 14 is the tumour panel?  
 15 DR. COOK:  
 16 A. That's correct.  
 17 COFFEY, Q.C.:  
 18 Q. What was your role in it, Doctor?  
 19 DR. COOK:  
 20 A. To provide the reports from Mount Sinai to be  
 21 fed into this panel and to deal with any  
 22 issues concerning the blocks. If there was an  
 23 issue where we needed another tissue block to  
 24 be sent up, that would be sent up. If there  
 25 was an area of discrepancy noted on the

Page 346

1 original pathology report with an area of  
 2 discrepancy noted from Mount Sinai, we would  
 3 investigate that and go back and bring it back  
 4 to the panel.  
 5 COFFEY, Q.C.:  
 6 Q. Okay. Did your role ever change while on the  
 7 panel? I'm not suggesting it did, I'm just  
 8 asking because the panel meetings started, and  
 9 they continued, I gather, for up to six months  
 10 or more.  
 11 DR. COOK:  
 12 A. Um-hm.  
 13 COFFEY, Q.C.:  
 14 Q. So did your role or participation, the nature  
 15 of your participation ever change?  
 16 DR. COOK:  
 17 A. It was pretty much the same.  
 18 COFFEY, Q.C.:  
 19 Q. Okay. I take it the treatment recommendations  
 20 were left to the oncologists and the surgeons?  
 21 DR. COOK:  
 22 A. And the surgeons, yeah.  
 23 COFFEY, Q.C.:  
 24 Q. Exhibit P-0637, please? Now, Doctor, this is  
 25 a letter of October 13th, 2005 to Dr. Ejeckam

Page 347

1 from yourself.  
 2 DR. COOK:  
 3 A. Um-hm.  
 4 COFFEY, Q.C.:  
 5 Q. It's copied to Dan Fontaine, Mr. Gulliver and  
 6 Dr. Williams. And you write, "As discussed, I  
 7 appreciate your continuing role in overseeing  
 8 the immunoperoxidase service. As you know, we  
 9 are in the process of developing a specialized  
 10 service with technologists solely dedicated to  
 11 the IHC technique. As agreed, you will  
 12 oversee all aspects of the IHC"--I'm sorry, it  
 13 should be "IP", immunoperoxidase "operation  
 14 and have direct supervision over the  
 15 technologists involved in the service. You  
 16 will also provide direction to all  
 17 pathologists involved in immunoperoxidase  
 18 interpretation. In areas where we hope to  
 19 develop subspecialized service there will  
 20 obviously be consultation between you and the  
 21 appropriate pathologist on immunoperoxidase  
 22 staining. If you feel there is any deviation  
 23 from this, you should report this immediately  
 24 to both the clinical chief and the vice  
 25 president. Once again, I thank you for your

Page 348

1 important contribution, guidance, and  
 2 expertise." Now, Doctor, this letter to Dr.  
 3 Ejeckam, how did this come about or why did it  
 4 come about?  
 5 DR. COOK:  
 6 A. This occurred in discussion with Dr. Ejeckam  
 7 with concerns that we were seeing problems  
 8 with the management structure of the  
 9 organization who was actually overseeing who  
 10 and who was actually providing direction to  
 11 who. So there were, again, a number of  
 12 conversations between myself and Dr. Williams  
 13 and between myself and Dr. Ejeckam on the need  
 14 to have more tightening up of the management  
 15 structure and getting, I guess, more control  
 16 and authority particularly to Dr. Ejeckam over  
 17 the IHC.  
 18 COFFEY, Q.C.:  
 19 Q. And did he accept that role?  
 20 DR. COOK:  
 21 A. He did.  
 22 COFFEY, Q.C.:  
 23 Q. And in a practical way what, if any,  
 24 difference did it make?  
 25 DR. COOK:

Page 349

1 A. Well, he gave him a greater authority over the  
 2 technologists and authority for direction.  
 3 COFFEY, Q.C.:  
 4 Q. And did you ever hear any concerns, you ever  
 5 hear of any deviations from this?  
 6 DR. COOK:  
 7 A. I haven't heard.  
 8 COFFEY, Q.C.:  
 9 Q. Were the technologists consulted on this?  
 10 DR. COOK:  
 11 A. Not from me. They may have been from Dr.  
 12 Williams, but not from me. Now, I would have  
 13 had some discussions with Mr. Gulliver  
 14 outlining the need for greater medical control  
 15 which I've had with him in the past, and as I  
 16 told you, he wasn't too receptive to that, so.  
 17 But discussions concerning this concerning  
 18 ourselves and the VP medical services.  
 19 COFFEY, Q.C.:  
 20 Q. Exhibit P-0351, please? Doctor, this is a  
 21 review of immunohistochemistry lab, internal  
 22 hospital sites, prepared for Dr. Williams by  
 23 yourself and Mr. Gulliver, October 13th, 2005,  
 24 it's dated. Doctor, how did this report come  
 25 about, what was its purpose?

Page 350

1 DR. COOK:  
 2 A. This was requested by Dr. Williams to--and  
 3 this was following the external reviews of Dr.  
 4 Banerjee and Trish Wegrynowski to prepare a  
 5 report to identify what we need in the  
 6 immunohistochemistry lab and to cost it and to  
 7 forward the total cost of human and financial  
 8 resources needed to reorganize the IHC and  
 9 submit that to Dr. Williams.  
 10 COFFEY, Q.C.:  
 11 Q. Were there any disagreements between yourself  
 12 and Mr. Gulliver about the contents of the  
 13 report?  
 14 DR. COOK:  
 15 A. Basically we agreed with it. I was worried  
 16 about a word of a recommendation used by Dr.  
 17 Ejeckam, I believe, in--because most of the  
 18 report was prepared by Mr. Gulliver, I would  
 19 have added information on the role of  
 20 subspecialization and pathologists.  
 21 COFFEY, Q.C.:  
 22 Q. And having done so, you were happy then to  
 23 sign the report?  
 24 DR. COOK:  
 25 A. That's correct.

Page 351

1 COFFEY, Q.C.:  
 2 Q. Did you get any feedback on it?  
 3 DR. COOK:  
 4 A. From Dr. Williams?  
 5 COFFEY, Q.C.:  
 6 Q. Yes.  
 7 DR. COOK:  
 8 A. We did get a letter from him in November  
 9 stating that we were to proceed with that and  
 10 that assume that the monies had been approved.  
 11 COFFEY, Q.C.:  
 12 Q. Exhibit P-0638, please?  
 13 COMMISSIONER:  
 14 Q. Mr. Coffey, when you can find a convenient  
 15 spot, we'll break for the day.  
 16 COFFEY, Q.C.:  
 17 Q. Thank you, Commissioner. Doctor, this is a  
 18 memo of October 13th, 2005 to Mr. Dyer, Mr.  
 19 Gulliver and Dr. Williams, it's from yourself.  
 20 ERs and PRs is the subject. "As originally  
 21 stated in my memo (dated September 6th, 2005)  
 22 to the laboratory directors throughout the  
 23 province, it was our intent to retest all  
 24 cases involving the Ventana system from April  
 25 1, '04 to August 9th, 05." And you go on to

Page 352

1 to refer to "Considering the issues that Mount  
 2 Sinai is having concerning capacity and  
 3 turnaround times of ER and PR reports, I  
 4 believe we should concentrate our efforts on  
 5 all negative ERs performed by the Ventana for  
 6 the time being. In speaking with Dr. Laing,  
 7 one of our medical oncologists, she agrees  
 8 with this assessment. For now we will forward  
 9 only negative ER cases from '04 and '05  
 10 Ventana years. In regards to the remaining  
 11 cases, we will send these at a later date when  
 12 capacity levels at Mount Sinai permit." And  
 13 you referred to that earlier today, I take it,  
 14 that that last part of it never did happen?  
 15 DR. COOK:  
 16 A. That's right.  
 17 COFFEY, Q.C.:  
 18 Q. Okay. If we could, just before we conclude  
 19 for the day, Commissioner, if we could bring  
 20 up, please, Exhibit P-0047? Now, Doctor, this  
 21 is Trish Wegrynowski's report dated November  
 22 9th, 2005. You've referred earlier to the  
 23 debriefing of her.  
 24 DR. COOK:  
 25 A. Um-hm.



Page 353

1 COFFEY, Q.C.:

2 Q. Back in September. When you were--you would

3 have received a copy of her report in

4 November?

5 DR. COOK:

6 A. Yes.

7 COFFEY, Q.C.:

8 Q. 2005. Did you review it at the time?

9 DR. COOK:

10 A. Yes.

11 COFFEY, Q.C.:

12 Q. And you had the reaction, I take it,

13 consistent with your reaction at the

14 debriefing?

15 DR. COOK:

16 A. Yes.

17 COFFEY, Q.C.:

18 Q. Which is surprise?

19 DR. COOK:

20 A. Yes.

21 COFFEY, Q.C.:

22 Q. Did you take any issue with what was in her

23 report, do you recall?

24 DR. COOK:

25 A. No, I can't recall taking any particular issue

Page 354

1 with it.

2 COFFEY, Q.C.:

3 Q. If we could then, Commissioner, Monday?

4 COMMISSIONER:

5 Q. Mr. Coffey, do you want to give me some

6 estimate of the amount of time you'll require

7 with this witness on Monday, since we have

8 other witnesses scheduled?

9 COFFEY, Q.C.:

10 Q. By the break time, by the break.

11 COMMISSIONER:

12 Q. By break?

13 COFFEY, Q.C.:

14 Q. By break time, yeah.

15 COMMISSIONER:

16 Q. Mr. Pritchard, now that you're on your feet,

17 would you want to let me know how long you

18 think you might be with Dr. Cook?

19 MR. PRITCHARD:

20 Q. At this point I don't anticipate any

21 questions.

22 COMMISSIONER:

23 Q. All right. Mr. Simmons?

24 MR. SIMMONS:

25 Q. Very few.

Page 355

1 COMMISSIONER:

2 Q. I know we're out of order, but why not, Ms.

3 Newbury, you can tell me?

4 MS. NEWBURY:

5 Q. Half hour, 45 minutes.

6 COMMISSIONER:

7 Q. Okay. Mr. Pritchett?

8 MR. PRITCHETT:

9 Q. I don't anticipate any questions,

10 Commissioner.

11 COMMISSIONER:

12 Q. Mr. Pike?

13 MR. PIKE:

14 Q. (Unintelligible ) communications, but I can't

15 (unintelligible ).

16 COMMISSIONER:

17 Q. All right. Mr. Browne, do you want to weigh

18 in? Depends on what these other people ask?

19 MR. BROWNE:

20 Q. Yes, I would see maximum (unintelligible).

21 COMMISSIONER:

22 Q. Okay. Thank you.

23 COFFEY, Q.C.:

24 Q. And, Commissioner, I understand from speaking

25 with Mr. Crosbie, he will have some questions.

Page 356

1 I didn't ask him about how long he'd be, but

2 he did, yes. So in any case -

3 COMMISSIONER:

4 Q. Well, certainly we can say that Dr. Cook, it

5 looks like we'll need you for at least a half

6 a day on Monday.

7 DR. COOK:

8 A. Yes, okay.

9 COMMISSIONER:

10 Q. Thank you, very much. 9:30 on Monday. Thank

11 you, all. Enjoy your weekend.

12 Upon conclusion.

CERTIFICATE

1  
2 I, Judy Moss, hereby certify that the foregoing is  
3 a true and correct transcript in the matter of the  
4 Commission of Inquiry on Hormone Receptor Testing,  
5 heard on the 4th day of July, A.D., 2008 before the  
6 Honourable Justice Margaret A. Cameron,  
7 Commissioner, at the Commission of Inquiry, St.  
8 John's, Newfoundland and Labrador and was  
9 transcribed by me to the best of my ability by  
10 means of a sound apparatus.  
11 Dated at St. John's, Newfoundland and Labrador  
12 this 4th day of July, A.D., 2008  
13 Judy Moss

<p><b>-\$-</b></p> <p><b>\$240,000</b> [1] 251:24 <b>\$70,000</b> [1] 251:22</p> <hr/> <p><b>-&amp;-</b></p> <p><b>&amp;</b> [1] 175:6</p> <hr/> <p><b>-'-</b></p> <p><b>'01</b> [1] 187:14 <b>'02</b> [3] 79:23 187:14 249:11 <b>'03</b> [5] 9:20 10:10 76:11 79:23 198:21 <b>'03s</b> [1] 9:24 <b>'04</b> [6] 10:20 79:24 86:22 114:20 351:25 352:9 <b>'05</b> [12] 8:1 46:11 86:23 106:5,20 148:17 215:4 215:13 217:19 329:5,15 352:9 <b>'06</b> [1] 89:8 <b>'07</b> [1] 192:7 <b>'95</b> [2] 43:6 133:7 <b>'96</b> [1] 43:6 <b>'97</b> [13] 11:24 15:17 38:4 91:21,22 93:3,9 98:4 133:7 198:18 226:16 229:11 235:15 <b>'98</b> [7] 103:13 198:21,22 225:19 226:16 229:12 235:15 <b>'99</b> [13] 42:16 96:19 98:3 98:20 147:19,20 152:9 181:23 198:21,22 200:1 226:17 229:11 <b>'you</b> [1] 118:25</p> <hr/> <p><b>---</b></p> <p><b>-are</b> [1] 33:13 <b>-as</b> [1] 294:3 <b>-I'm</b> [1] 232:12 <b>-something</b> [1] 195:24 <b>-the</b> [1] 30:23 <b>-we</b> [1] 108:17 <b>-which</b> [1] 284:20</p> <hr/> <p><b>-0-</b></p> <p><b>0046</b> [1] 264:24 <b>05</b> [1] 351:25 <b>0569</b> [1] 162:3 <b>0589</b> [1] 230:11 <b>0597</b> [1] 296:5 <b>0910</b> [1] 27:5</p> <hr/> <p><b>-1-</b></p> <p><b>1</b> [13] 33:24 46:7 63:21 92:15 95:9 99:14 101:4 210:15 227:19 310:19 313:7 339:12 351:25 <b>10</b> [12] 69:12,19 114:20</p>	<p>120:8,9 122:7 164:3 172:21 304:3 331:18 333:4 339:15 <b>100</b> [4] 10:10 116:10 117:18 169:16 <b>10:15</b> [1] 198:16 <b>10:30</b> [3] 145:11 199:25 209:9 <b>10:45</b> [1] 188:9 <b>10:55</b> [1] 202:19 <b>10th</b> [13] 96:13 98:13 99:9 102:21 103:7 126:5 127:7 135:24 147:18 149:19 156:1 189:2 329:15 <b>11</b> [2] 69:12,19 <b>115</b> [2] 181:22 183:8 <b>11:05</b> [1] 209:18 <b>11:10</b> [1] 210:9 <b>11:45</b> [1] 169:15 <b>11:50</b> [2] 147:18 189:2 <b>11th</b> [5] 158:3 163:3 334:19 335:4 338:24 <b>12</b> [3] 120:8 304:5 344:25 <b>12:05</b> [1] 172:13 <b>12:08</b> [1] 170:24 <b>12:10</b> [1] 205:6 <b>12:15</b> [1] 205:14 <b>12:20</b> [1] 145:22 <b>12:45</b> [1] 206:8 <b>12th</b> [5] 161:10 162:8 231:21 237:12 240:4 <b>13th</b> [6] 218:13 233:5,14 346:25 349:23 351:18 <b>14</b> [2] 198:20,23 <b>142</b> [3] 304:25 305:20 306:7 <b>14th</b> [2] 162:14 233:16 <b>15</b> [8] 101:11 164:3 186:4 187:5,13 268:14 304:1 339:16 <b>150</b> [1] 173:16 <b>15th</b> [2] 52:15 163:24 <b>16</b> [2] 114:20,21 <b>16th</b> [4] 52:15 169:15 170:23 287:19 <b>17</b> [2] 317:20 324:23 <b>17.5</b> [1] 85:1 <b>17th</b> [4] 181:19 264:25 265:5,10 <b>18</b> [1] 84:20 <b>189</b> [2] 84:15,18 <b>18th</b> [6] 114:23 181:21 183:8,10,11 186:2 <b>1935</b> [1] 141:23 <b>1997</b> [1] 194:13 <b>1998</b> [1] 225:23 <b>1999</b> [5] 148:6 149:16 180:16 199:15 305:5 <b>19th</b> [3] 181:23 188:8 234:1 <b>1st</b> [10] 33:19 35:21,23</p>	<p>38:9 40:2 44:11 63:1 99:22 157:3,6</p> <hr/> <p><b>-2-</b></p> <p><b>2</b> [10] 13:5 37:22 45:20 53:22 198:13 212:1 308:7 310:14,20 312:16 <b>20</b> [12] 100:17 101:11 120:9 122:7 186:4 187:5 187:13 253:6,15 275:22 304:1 339:13 <b>200</b> [4] 134:14,20 173:16 203:1 <b>2000</b> [18] 8:1 9:17 42:16 96:17,19 98:3,20 99:3 99:13 103:17 112:17 149:17 152:9 181:23,24 277:19 278:1,7 <b>2001</b> [17] 97:23 98:17 99:14,22,23 100:9,10,17 100:25 101:4 102:8,8,9 181:23,24 186:3,3 <b>2002</b> [15] 7:21,23,24 42:15 63:21 84:8,19 112:19 156:14 163:12,13 180:20 251:22 284:19 324:22 <b>2002s</b> [1] 8:10 <b>2003</b> [16] 8:1,2 10:25 25:7 27:8,24 28:8 44:8 45:5 68:7,22 151:11 163:13 180:20 251:22 280:2 <b>2004</b> [26] 8:4 10:17,25 25:24 38:5 91:23 92:15 93:3,13 95:9 147:5 180:16,20 198:19 199:15 200:1 212:14 214:6 215:4 215:13 227:19 229:11 242:6 244:2,8 305:5 <b>2005</b> [155] 5:18,24 7:10 9:3,7,10 12:20 15:18 19:7 24:17 28:13 33:24 37:22 40:3 45:20 49:16 52:10,15 61:5 65:9 68:5 73:21 80:7,18,24 83:11 84:2 89:13 91:20,22 92:15 95:9 97:10 98:13 104:8 113:8 114:23 115:22 121:8 123:24 124:10 126:5 142:3 145:11,22 146:20 147:1 147:18 153:12 156:1,10 157:3,3 158:3 161:10 162:8,14 163:3,24 164:3 169:15 170:23 172:10 173:11 175:17 181:20,21 181:23 186:2 187:24 188:9 189:2 190:1 193:7 194:13 198:16 199:1,25 202:19 205:6,14 206:8 206:25 209:9,18 210:9 210:15 212:7,14 216:10 216:13,20 217:11 219:7 221:8 227:20 231:6,15 231:21 232:7,11 233:16 234:1,12 235:6 236:11 238:19 240:5 244:3,10 246:16 249:21 264:12,25 265:5,10 281:9 287:19</p>	<p>290:24 294:24 296:6 297:17 298:14 299:14 302:8,17 307:7 310:16 313:7 314:1 316:15 317:19,25 319:10 320:16 320:16 321:21 323:18 324:25 325:6,16 326:23 327:1,21 329:22 331:6 332:16 334:19 344:25 346:25 349:23 351:18,21 352:22 353:8 <b>2006</b> [2] 286:1,23 <b>2008</b> [3] 1:4 357:5,12 <b>2030</b> [1] 25:5 <b>21</b> [1] 244:19 <b>2135</b> [3] 4:6,8,21 <b>2140</b> [1] 287:10 <b>2148</b> [2] 287:8,12 <b>21st</b> [3] 234:12 246:16 327:1 <b>22</b> [1] 305:7 <b>23rd</b> [11] 172:10,19 173:11 193:7 198:16 199:25 202:19 205:6,14 206:8,25 <b>24</b> [3] 75:25 210:8 216:10 <b>24th</b> [13] 75:25 76:2 81:14 199:1 209:9,18 212:4,5,6 217:11,19 220:12 221:23 <b>25</b> [10] 61:16 69:19,21 114:20,23 115:5 125:20 133:8 253:8 305:7 <b>25s</b> [1] 154:13 <b>26th</b> [7] 212:4 215:21 219:7 296:6 297:16 298:13 299:13 <b>287</b> [1] 3:3 <b>28th</b> [2] 5:24 6:2 <b>29</b> [2] 63:1,21 <b>29th</b> [11] 7:10 12:20 15:4 24:17 106:5,11,22 114:20 156:10 157:2 205:9 <b>2:10</b> [1] 198:7 <b>2:15</b> [2] 142:4 144:22 <b>2E</b> [3] 338:18 341:17,18 <b>2F</b> [3] 338:19 341:17,18 <b>2nd</b> [12] 39:15 46:13,16 49:16 51:19 153:12 216:13,20,25 230:18 280:2 313:15</p> <hr/> <p><b>-3-</b></p> <p><b>3</b> [6] 56:16 146:20 180:11 309:23 310:20 312:18 <b>30</b> [33] 50:5 51:19 94:10 94:25 95:5 96:16 98:8 99:18 100:11 101:18,25 102:10 103:2,13,24 122:7 139:5,19 147:20 149:11 187:20 218:17 224:6,19 224:25 225:8,10,11,14 226:2 265:25 275:22 324:25 <b>30th</b> [4] 302:8,17 306:6</p>	<p>307:1 <b>31</b> [7] 68:22 91:23 93:3 93:13 99:13 147:5 305:7 <b>32</b> [2] 114:23 115:5 <b>33</b> [3] 61:17 125:20 253:8 <b>33s</b> [1] 154:14 <b>35</b> [1] 305:6 <b>356</b> [1] 2:3 <b>38</b> [2] 284:22 285:2 <b>3:45</b> [1] 210:15 <b>3rd</b> [12] 39:15 52:10 60:20 307:7 310:16 314:1 315:4 316:7,9 317:18 321:20 323:18</p> <hr/> <p><b>-4-</b></p> <p><b>4</b> [11] 1:4 2:3 61:5 93:21 173:8 242:6 302:8 310:21 316:15 320:15 326:23 <b>40</b> [3] 50:5 51:19 187:20 <b>400</b> [1] 139:5 <b>43</b> [2] 84:21,24 <b>45</b> [2] 265:25 355:5 <b>46</b> [1] 84:18 <b>48</b> [1] 237:9 <b>4:05</b> [2] 193:12 206:25 <b>4:15</b> [1] 147:3 <b>4:28</b> [1] 193:7 <b>4th</b> [7] 142:3 319:10 325:16 329:4,22 357:5 357:12</p> <hr/> <p><b>-5-</b></p> <p><b>5</b> [14] 3:2 65:9 68:5 73:20 95:7 96:2 122:7 145:22 147:1 187:18 310:21 320:16 339:12,15 <b>5.0</b> [1] 27:8 <b>50</b> [3] 132:8,16,21 <b>500</b> [4] 111:13 112:4 120:15 142:19 <b>500-550</b> [1] 110:9 <b>53</b> [1] 305:9 <b>550</b> [1] 112:4 <b>57</b> [2] 284:18,22 <b>58</b> [1] 62:21 <b>5:30</b> [1] 153:13 <b>5th</b> [2] 145:11 146:20</p> <hr/> <p><b>-6-</b></p> <p><b>6</b> [2] 300:22 332:16 <b>60</b> [3] 61:23 85:13 251:22 <b>60,000</b> [1] 251:23 <b>62</b> [2] 84:23,25 <b>64</b> [1] 198:19 <b>65</b> [1] 61:23 <b>66</b> [3] 61:7,19,23 <b>67</b> [1] 284:22 <b>69</b> [2] 84:21,24 <b>6th</b> [7] 221:8 222:6,17</p>
---	--	---	---	--

223:24 231:10 331:6 351:21	332:15	<b>advocating</b> [1] 261:20	82:11 325:7 354:6	172:24
<b>-7-</b>	<b>accurate</b> [4] 61:25 71:21 245:12 247:9	<b>affect</b> [4] 268:12 276:7 289:10 318:10	<b>amounts</b> [1] 256:10	<b>approval</b> [3] 26:9 298:4 323:5
<b>73</b> [1] 332:7	<b>achieve</b> [1] 289:7	<b>affected</b> [2] 190:21 195:3	<b>analysis</b> [1] 161:23	<b>approved</b> [4] 208:15 298:10 322:9 351:10
<b>76</b> [1] 305:8	<b>acknowledging</b> [1] 216:12	<b>afternoon</b> [5] 144:21 177:24 231:18 263:22 301:13	<b>anatomical</b> [1] 289:5	<b>approximate</b> [2] 110:10 111:5
<b>777-5482</b> [1] 219:20	<b>act</b> [1] 58:21	<b>afternoons</b> [3] 299:5 301:2,9	<b>annual</b> [2] 53:4 79:23	<b>April</b> [7] 27:24 68:7 92:15 95:9 227:19 285:25 351:24
<b>7:00</b> [1] 300:22	<b>action</b> [4] 1:13 14:20 15:15 166:25	<b>afterward</b> [4] 24:4 196:25 283:7,8	<b>answer</b> [1] 277:15	<b>area</b> [14] 25:18 71:2 82:22 98:20 114:7,13 138:22 187:19 206:2 284:13 292:25 345:10,25 346:1
<b>7th</b> [3] 231:6,15 235:6	<b>activities</b> [3] 82:13 136:25 271:22	<b>afterwards</b> [1] 56:7	<b>answers</b> [1] 118:20	<b>areas</b> [8] 31:20 33:7 138:19 258:21 273:5 288:23 340:2 347:18
<b>-8-</b>	<b>activity</b> [1] 44:24	<b>again</b> [46] 15:2,14 32:1 46:25 58:18 63:5 68:1 87:21 91:18 93:17 99:2 107:14 125:19 128:10 136:11 147:10 163:17 174:9 190:19 207:7,7 209:7,23 210:23 214:5 216:5 259:5 260:22 262:16 263:7 278:3 279:3 282:10 297:25 302:11 306:2,18 314:16,21 318:6 340:15,24,25 343:18 347:25 348:11	<b>Anthony</b> [4] 199:3 210:10 231:7 313:9	<b>arise</b> [3] 87:21 114:12 134:22
<b>-9-</b>	<b>added</b> [1] 350:19	<b>agreed</b> [14] 101:8 145:17 170:19 195:21,24,25 257:19,23 267:14 270:1 270:13 345:2 347:11 350:15	<b>antibodies</b> [2] 159:22 194:17	<b>arisen</b> [2] 80:24 119:8
<b>80</b> [4] 9:19 27:13 28:8,9	<b>actual</b> [11] 13:14 64:12 116:22 135:10 145:4,6 218:23 223:3,23 230:4 265:4	<b>agree</b> [1] 320:24	<b>antibody</b> [4] 208:18 254:20,21 272:25	<b>arises</b> [1] 113:15
<b>83</b> [1] 332:8	<b>addendum</b> [10] 92:8 308:7,19 309:7,23 312:10 316:18 319:13 322:18,23	<b>agreeable</b> [2] 51:6 140:5	<b>anticipate</b> [5] 12:13 50:4 332:10 354:20 355:9	<b>arising</b> [1] 155:19
<b>87</b> [6] 84:11,17,18,20 85:1 324:25	<b>addition</b> [3] 208:17 212:6 331:21	<b>agreed</b> [1] 33:5	<b>anticipated</b> [1] 200:16	<b>arm</b> [5] 40:20,21,21,22 41:1
<b>8th</b> [11] 20:14 84:2 89:13 91:20 97:10 103:18 104:8 115:22 119:7 123:24 236:11	<b>additional</b> [1] 83:5	<b>aggregate</b> [1] 173:19	<b>anticipating</b> [2] 331:18 332:2	<b>arms</b> [9] 40:19 43:23 44:1,13 45:1 57:13 58:13 58:23 59:3
<b>-A-</b>	<b>address</b> [3] 174:3 179:9 314:18	<b>aggressive</b> [1] 186:19	<b>antigen</b> [10] 194:16 254:8,14,16,18,22,25 255:8 268:15 290:1	<b>arise</b> [3] 87:21 114:12 134:22
<b>9</b> [2] 145:11 227:19	<b>addressed</b> [13] 24:18 25:7,23 28:15 29:20 58:16 65:10 73:21 246:16 301:16,22,24 312:5	<b>ago</b> [3] 4:12 30:13 102:7	<b>Anwar</b> [7] 147:17 148:6 148:13,25 150:1 152:17 189:4	<b>arisen</b> [2] 80:24 119:8
<b>90</b> [2] 9:19 272:6	<b>addressing</b> [2] 246:22 327:16	<b>agree</b> [1] 320:24	<b>anyway</b> [12] 51:18 67:15 75:2 102:15 112:18 123:10 131:23 191:7 213:25 265:11 270:7 320:4	<b>arises</b> [1] 113:15
<b>95</b> [1] 272:6	<b>adequacy</b> [1] 274:4	<b>agreed</b> [14] 101:8 145:17 170:19 195:21,24,25 257:19,23 267:14 270:1 270:13 345:2 347:11 350:15	<b>apologise</b> [2] 103:6,7	<b>arising</b> [1] 155:19
<b>9:30</b> [1] 356:10	<b>adequate</b> [9] 25:1,15 26:5 29:9 31:24 289:9 290:3 298:20,24	<b>agreement</b> [1] 270:20	<b>apologize</b> [12] 9:8 15:4 84:12 135:24 147:15 158:14 162:3 258:8 265:4 287:8 307:23 308:3	<b>arm</b> [5] 40:20,21,21,22 41:1
<b>9th</b> [12] 91:21 92:15 95:9 124:10 230:25 232:6,11 237:5 334:22,25 351:25 352:22	<b>adequately</b> [1] 30:25	<b>agrees</b> [1] 352:7	<b>apparatus</b> [1] 357:10	<b>arms</b> [9] 40:19 43:23 44:1,13 45:1 57:13 58:13 58:23 59:3
<b>A.D</b> [2] 357:5,12	<b>adheres</b> [1] 274:6	<b>ahead</b> [11] 78:11,13 88:14 207:25 253:22 256:6 257:7 258:8,13 262:14 267:20	<b>apparent</b> [2] 176:25 276:4	<b>arose</b> [4] 80:17 87:23 114:16 176:9
<b>a.m</b> [18] 56:2 60:9 62:15 145:14,16 147:18 164:3 169:15 188:9 189:2 198:16 199:25 202:19 205:7,15 209:9,18 210:9	<b>adjacent</b> [5] 341:19 342:9 343:6,23,23	<b>agreed</b> [14] 101:8 145:17 170:19 195:21,24,25 257:19,23 267:14 270:1 270:13 345:2 347:11 350:15	<b>apology</b> [12] 9:8 15:4 84:12 135:24 147:15 158:14 162:3 258:8 265:4 287:8 307:23 308:3	<b>arranged</b> [1] 262:1
<b>a.m.</b> [1] 145:12	<b>adjust</b> [1] 212:7	<b>agreement</b> [1] 270:20	<b>apologize</b> [12] 9:8 15:4 84:12 135:24 147:15 158:14 162:3 258:8 265:4 287:8 307:23 308:3	<b>arrive</b> [1] 252:17
<b>aback</b> [1] 293:5	<b>adjusted</b> [2] 212:9,12	<b>agrees</b> [1] 352:7	<b>apparatus</b> [1] 357:10	<b>arrived</b> [1] 58:15
<b>abdomen</b> [1] 179:4	<b>ADM</b> [1] 164:10	<b>ahead</b> [11] 78:11,13 88:14 207:25 253:22 256:6 257:7 258:8,13 262:14 267:20	<b>apparent</b> [2] 176:25 276:4	<b>arrow</b> [1] 98:4
<b>ability</b> [2] 201:18 357:9	<b>administration</b> [1] 270:4	<b>aides</b> [1] 129:21	<b>apologize</b> [12] 9:8 15:4 84:12 135:24 147:15 158:14 162:3 258:8 265:4 287:8 307:23 308:3	<b>ascertain</b> [1] 140:21
<b>able</b> [7] 30:16 38:18 124:22 256:1 258:22 330:20 334:11	<b>administrative</b> [6] 4:5 38:11 83:22 122:23,24 123:2	<b>al</b> [6] 1:9 157:9 308:11 308:25 320:16 321:23	<b>apologize</b> [12] 9:8 15:4 84:12 135:24 147:15 158:14 162:3 258:8 265:4 287:8 307:23 308:3	<b>ascertainable</b> [3] 277:25 278:6,11
<b>above</b> [13] 13:11 84:15 92:16 95:10 126:18 251:4 260:17 284:16,17 288:23 289:1,4 324:24	<b>admit</b> [2] 154:16 155:2	<b>Alan</b> [6] 25:22 308:11,25 319:11 320:15 321:23	<b>apology</b> [12] 9:8 15:4 84:12 135:24 147:15 158:14 162:3 258:8 265:4 287:8 307:23 308:3	<b>aside</b> [1] 236:8
<b>absence</b> [1] 275:6	<b>adopting</b> [2] 102:4 248:8	<b>alerted</b> [1] 60:20	<b>apparatus</b> [1] 357:10	<b>aspect</b> [16] 41:8 43:11 43:11 70:24 190:6 198:1 260:21 263:1 291:8,10 292:25 293:3 342:24 343:5,7 344:19
<b>absolutely</b> [14] 8:19 64:5 107:5 111:11,18 113:12 114:15 117:17 131:25 180:3 277:8 285:5 319:3 319:5	<b>advice</b> [11] 12:22 13:16 41:10 56:10 59:16 169:12 216:18 217:7 304:21 328:6 329:5	<b>aligned</b> [1] 326:20	<b>apparent</b> [2] 176:25 276:4	<b>aspect</b> [16] 41:8 43:11 43:11 70:24 190:6 198:1 260:21 263:1 291:8,10 292:25 293:3 342:24 343:5,7 344:19
<b>academic</b> [1] 247:25	<b>advise</b> [6] 48:7 217:20 219:11,11 221:13 222:3	<b>alive</b> [1] 107:23	<b>applies</b> [2] 92:10 93:21	<b>assess</b> [1] 332:22
<b>accept</b> [2] 39:7 348:19	<b>advised</b> [12] 145:23,24 146:12 147:18 168:2 180:18 181:4 188:15 209:10,23 326:17 331:9	<b>allotted</b> [1] 257:18	<b>apply</b> [3] 138:1,8 175:9	<b>assessed</b> [1] 297:5
<b>accepting</b> [2] 39:8 339:18	<b>advises</b> [1] 65:11	<b>allow</b> [1] 172:25	<b>appointed</b> [1] 46:6	<b>assessing</b> [1] 38:15
<b>accessioned</b> [1] 236:4	<b>advising</b> [3] 46:19 97:11 235:11	<b>allows</b> [1] 38:13	<b>appointment</b> [2] 119:1 195:18	<b>assessment</b> [3] 62:19 327:6 352:8
<b>accessioning</b> [1] 337:17	<b>advisory</b> [5] 25:9 27:7 39:6 46:18,24	<b>along</b> [5] 179:7 217:2 233:2 274:13,23	<b>applied</b> [3] 128:15 225:16 275:17	<b>assist</b> [1] 97:22
<b>accomplish</b> [1] 117:5		<b>Alteen</b> [1] 242:8	<b>applies</b> [2] 92:10 93:21	<b>assistance</b> [2] 50:2 247:20
<b>according</b> [2] 28:11		<b>always</b> [3] 117:15 301:2 304:21	<b>apply</b> [3] 138:1,8 175:9	<b>assistant</b> [1] 251:21
		<b>America</b> [1] 195:9	<b>appointed</b> [1] 46:6	<b>assistants</b> [29] 79:13,17 80:2,13,15,16,25 81:4 248:3 249:8,12,16,22 250:8,19 251:25 252:13 256:18,19,25 262:22 274:13,16,23 275:7,11 276:1,14 289:12
		<b>amongst</b> [10] 32:15 83:20,22 88:18 102:10 124:1 131:18 166:6 271:11 280:1	<b>appreciate</b> [11] 50:1 52:13 132:5 141:13 175:1 216:17 251:4 299:8 301:1 339:11 347:7	<b>associated</b> [1] 204:5
		<b>amount</b> [5] 44:24 82:9	<b>appreciated</b> [2] 182:16 182:19	<b>Association</b> [6] 1:14 53:5 192:24 194:4 242:20 313:20
			<b>approach</b> [3] 26:13 247:17 320:24	
			<b>appropriate</b> [6] 78:7,17 82:2 90:12 109:7 347:21	
			<b>appropriately</b> [1]	

<p><b>assume</b> [5] 92:20 337:12 341:22,24 351:10  <b>assumes</b> [3] 342:14 343:22 344:1  <b>assuming</b> [5] 9:22 10:7 178:10,13 344:5  <b>assumption</b> [3] 178:12 342:18,21  <b>assumptions</b> [1] 226:24  <b>assurance</b> [13] 81:7 83:5 83:20,23 135:15 136:21 136:25 138:9,22,23 271:19,21,22  <b>assured</b> [1] 301:12  <b>assuredly</b> [1] 252:16  <b>Atlantic</b> [3] 78:5,22 79:15  <b>attach</b> [3] 106:4,14 254:22  <b>attached</b> [8] 6:1 27:20 124:21 125:16 236:13 240:7 265:3 331:7  <b>attachment</b> [2] 6:1 125:17  <b>attachments</b> [1] 6:8  <b>attempt</b> [3] 125:1 173:6 243:19  <b>attempting</b> [2] 156:18 248:6  <b>attend</b> [4] 70:18 234:24 234:25 291:14  <b>attended</b> [1] 121:3  <b>attendees</b> [2] 180:12 311:1  <b>attending</b> [4] 167:2 171:24 179:11 322:24  <b>attention</b> [13] 36:13 128:24 203:19 223:3 256:9,20,21 274:2 276:17 277:4,6 301:21 336:12  <b>attributed</b> [4] 128:13 135:6,7 139:10  <b>August</b> [123] 20:14 33:18 33:24 35:21,23 37:22 38:9 39:15 40:2 44:11 45:20 46:7,13,16 49:16 51:18 52:10 53:22 56:16 60:20 61:5 65:9 68:5 73:20 80:7 83:11 84:2 89:13 91:20,21 92:15 95:9 96:12 97:10 98:13 99:8 102:21 103:7,18 104:8 110:23 113:7,7 115:22 119:7 123:24 124:10 126:5 127:7 135:24 142:3 145:11,22 146:20 147:1,18 149:19 149:21 153:12 155:25 157:3,6 158:3 161:9 162:8,14 163:3,23 164:3 169:15 170:23 172:10,19 173:10 175:17 181:19,21 181:22 183:8,10,11 186:2 187:24 188:8 189:1 190:1 193:7 194:13 199:1,25 201:25 202:19 205:6,9 205:14 206:7,25 207:17 207:22,22 209:9,18 210:8</p>	<p>212:4,5,6 215:21 216:9 216:12,20,25 217:11,19 219:7 220:12 221:23 227:19 232:6,11 299:22 300:2 324:16 351:25  <b>authorities</b> [3] 1:17 228:12 316:23  <b>authority</b> [7] 1:11 41:1 41:11 43:17 348:16 349:1 349:2  <b>automated</b> [8] 38:7 50:9 159:5,6,15,17 161:11,11  <b>automatic</b> [1] 180:5  <b>available</b> [14] 6:6,6 25:5 46:2 47:14 128:14 129:6 152:18,21 177:12 211:15 264:7 312:20 345:9  <b>average</b> [5] 260:17,17 260:17 289:1,4  <b>avoided</b> [1] 301:5  <b>awaiting</b> [1] 229:18  <b>aware</b> [11] 24:12,14 48:8 58:24 66:8 149:15 196:11 275:3 277:18 279:22,24  <b>axillary</b> [1] 299:2</p> <hr/> <p style="text-align: center;"><b>-B-</b></p> <hr/> <p><b>background</b> [7] 53:21 145:10 146:5 155:15 194:11 210:16 231:8  <b>backwards</b> [1] 147:6  <b>bad</b> [3] 195:19 339:11 344:9  <b>bag</b> [1] 182:14  <b>Baker</b> [3] 209:17,18 242:19  <b>ballpark</b> [1] 77:14  <b>Banerjee</b> [32] 52:11 53:7 53:9,13,15 54:5 153:10 153:15 241:12,15,21 252:16 253:1,24 257:1,2 258:3 260:15 261:5,14 261:18 264:11,15,25 266:6 285:1,24 287:21 291:11 292:17 294:11 350:4  <b>Banerjee's</b> [6] 155:10 267:5 270:25 281:13 294:4 295:10  <b>Barry</b> [7] 62:15,25 159:21 162:9 188:9 209:8 227:25  <b>Barter</b> [3] 331:4,5,9  <b>base</b> [1] 43:20  <b>based</b> [15] 72:11,25 88:25 107:19 147:10 154:11 196:16 212:7 227:2,6,7 269:2,13 305:18 333:21  <b>basis</b> [12] 16:12 56:15 77:22 78:14 109:17 167:23 177:12 231:22 247:8 253:17 328:9 334:8  <b>batch</b> [7] 61:16,16 140:3 182:24 184:16 253:8 296:15  <b>batches</b> [5] 61:16 140:4</p>	<p>140:6 154:13 232:21  <b>batching</b> [2] 177:20 182:24  <b>bearing</b> [4] 28:23 43:1 255:16 338:23  <b>became</b> [5] 38:10 43:23 45:13 282:18 326:3  <b>become</b> [3] 45:6 66:8 206:3  <b>becoming</b> [1] 120:18  <b>began</b> [1] 256:17  <b>begin</b> [3] 74:7 122:5 237:8  <b>beginning</b> [6] 45:2 59:7 99:22 149:16 229:5 325:6  <b>begins</b> [5] 37:25 219:11 222:2 246:22 325:16  <b>behalf</b> [2] 121:13 261:21  <b>belief</b> [1] 86:20  <b>belonged</b> [1] 253:19  <b>below</b> [3] 260:16 320:10 334:22  <b>benchmark</b> [2] 65:13 65:22  <b>benefit</b> [5] 8:23 12:4 85:8 120:13 248:4  <b>benefits</b> [1] 11:17  <b>benign</b> [1] 30:6  <b>Bernard</b> [3] 1:6 2:3 5:11  <b>best</b> [10] 12:22 78:20 84:4 247:18 263:16 326:16 328:7 333:2 334:14 357:9  <b>better</b> [7] 217:24 222:12 222:24 223:10 248:5 340:10 343:18  <b>between</b> [33] 13:4,21 17:24 18:22 33:1 40:3 41:4 56:4,17 57:7,8,10 58:3,22 63:1,21 91:7 117:5 137:17 159:2,17 171:19 181:5 210:24 218:16 260:22 310:9 334:20,21 347:20 348:12 348:13 350:11  <b>Bev</b> [3] 21:14 205:21 206:3  <b>Beverley</b> [1] 84:2  <b>beyond</b> [3] 147:21 232:11 247:3  <b>Bibi</b> [1] 151:5  <b>big</b> [4] 33:7 108:6 178:5 341:1  <b>biggest</b> [1] 118:19  <b>billed</b> [1] 163:7  <b>binders</b> [4] 144:15,16 144:18 145:8  <b>biopsies</b> [1] 298:22  <b>biopsy</b> [2] 30:5 33:3  <b>bit</b> [9] 23:17 30:10 153:21 216:19 256:13 288:19 293:4 339:17,18  <b>Blair</b> [1] 1:16  <b>blind</b> [1] 158:7  <b>block</b> [40] 17:4,6,16,17</p>	<p>18:17,18 92:4 105:5,10 108:19,20 142:19 182:13 184:25 185:4,8 203:14 208:10 233:1 238:25 239:2,2,4 321:7,7 336:7 336:8,10,18,25 337:9,21 338:6,11 341:2,3,17 342:8 343:7 345:23  <b>blocks</b> [71] 16:14 18:11 18:15 22:9,10 69:1 104:4 105:7 108:4,6,7,13,24 109:7,12 126:19,20,25 127:1 129:10,22,24 142:8 142:10 145:21 148:4 159:4 162:10,15 169:16 180:14,18 181:22 182:13 182:16 183:8,12,14 199:4 202:21 203:1,1,8,10,11 203:14,17,21 204:3,8 213:21,23 214:18 215:4 215:6 230:5 231:16 237:8 238:22 243:21 257:3 268:22 337:6,17,18 338:4 338:18 340:20 341:5 342:6 345:22  <b>blood</b> [1] 32:23  <b>blur</b> [1] 298:1  <b>board</b> [7] 234:16,19,24 234:25 242:19 244:18 246:8  <b>boardroom</b> [1] 149:23  <b>boards</b> [1] 329:25  <b>Bob</b> [3] 161:8 321:24 332:7  <b>body</b> [2] 220:5 223:3  <b>boiling</b> [1] 194:15  <b>bold</b> [4] 26:4,16,16 325:21  <b>bolded</b> [1] 321:13  <b>bone</b> [1] 66:21  <b>Bonnell</b> [9] 219:2,8 220:3,17 311:6 321:23 331:3,4,9  <b>booked</b> [1] 299:2  <b>bookings</b> [1] 299:10  <b>books</b> [1] 292:10  <b>bore</b> [1] 67:15  <b>bottom</b> [10] 10:17 35:18 38:25 139:25 153:19 159:21 268:6 317:18 329:12,23  <b>bowel</b> [1] 179:13  <b>bowels</b> [1] 175:15  <b>Bradbury</b> [3] 191:21 192:1,6  <b>Brazil</b> [1] 1:8  <b>break</b> [11] 107:10 112:13 115:15 196:21 263:22,23 351:15 354:10,10,12,14  <b>breast</b> [32] 1:12 36:17 38:23 39:2 42:3,4 49:25 68:24 85:9 92:11 93:23 172:24 175:14 206:20 218:15 271:17,18 272:4 272:5 298:22 299:19,21 300:13 301:8,12,20,25 326:7 331:19 339:9 341:6</p>	<p>345:11  <b>Brendan</b> [1] 296:12  <b>brief</b> [2] 244:18 246:8  <b>briefing</b> [4] 56:6 57:1 196:17,19  <b>briefly</b> [1] 194:14  <b>bring</b> [11] 27:4 36:12 129:7 142:13 153:8 163:1 251:24 252:12 270:4 346:3 352:19  <b>bringing</b> [2] 128:23 247:6  <b>broad</b> [1] 56:11  <b>Brook</b> [7] 199:2,21 200:11,22 323:24 324:14 324:20  <b>brought</b> [16] 8:22 11:16 113:19 203:19 212:23 233:16,21 234:15 256:9 256:15 258:19 260:24 261:23 262:6 265:24 282:13  <b>Browne</b> [5] 135:16 263:18,19 355:17,19  <b>Browne/Jane</b> [1] 1:9  <b>budgets</b> [1] 83:3  <b>Building</b> [1] 165:11  <b>bullet</b> [19] 59:14 60:5,13 60:15 68:21 107:17 108:4 111:20 114:19 126:11,18 128:13 130:15,20,22 212:5 227:17 229:13 329:23  <b>bunch</b> [1] 118:7  <b>bury</b> [1] 309:8  <b>business</b> [1] 226:2  <b>busy</b> [3] 32:6,10 178:10  <b>Butler</b> [3] 104:9,10,14</p> <hr/> <p style="text-align: center;"><b>-C-</b></p> <hr/> <p><b>c</b> [1] 45:21  <b>calculates</b> [2] 84:25 85:1  <b>calculations</b> [1] 304:19  <b>calibration</b> [1] 292:9  <b>calls</b> [1] 196:5  <b>Cameron</b> [2] 1:3 357:6  <b>Canada</b> [6] 5:17 6:3 208:15 259:15 261:15 288:23  <b>Canadian</b> [2] 1:15 53:5  <b>cancelled</b> [2] 4:19,25  <b>cancer</b> [17] 1:12,15 36:17 49:25 68:9 85:9 119:1 145:18 206:20 307:8 310:18 312:16 317:8 322:1 331:19,21,24  <b>cancers</b> [1] 68:24  <b>canned</b> [1] 319:22  <b>cannot</b> [1] 33:2  <b>CAP</b> [3] 53:2,9,10  <b>capacity</b> [9] 24:21 65:15 87:12,18 159:6 161:12 345:7 352:2,12</p>
---	---	---	--	---

<p><b>capture</b> [2] 116:7,11  <b>captured</b> [1] 117:19  <b>Carbonear</b> [4] 198:20  198:23 209:19 242:18  <b>Carbonear/Grand</b> [1]  323:23  <b>carcinomas</b> [1] 186:15  <b>care</b> [9] 29:5,21 38:4 84:8  84:14,19 172:2 247:25  323:24  <b>career</b> [1] 30:1  <b>carefully</b> [1] 267:5  <b>Carole</b> [1] 65:10  <b>Carolyn</b> [1] 164:14  <b>carried</b> [1] 51:4  <b>carry</b> [1] 248:22  <b>Carter</b> [42] 7:12 13:15  13:16 14:14 17:13 19:19  20:2 21:14 37:23 39:21  40:5 42:9 63:8 64:4 84:3  84:3,22 86:4 90:4,22  92:9 94:8 102:22 103:4  103:6 105:1,6,7 145:16  158:7 205:21 207:8  208:13 212:23 216:11,21  217:1 234:13 258:6 291:6  344:25 345:1  <b>Carter's</b> [8] 12:22 14:10  14:12 124:18,19 125:11  217:6 303:21  <b>case</b> [19] 10:11 30:6 53:23  146:9 147:19 148:5  172:18 184:11 194:12  206:20 211:1 239:3  322:25 334:24 337:19  338:2,3 343:11 356:2  <b>cases</b> [153] 10:17 13:8,9  14:20 16:25 18:8,9 22:11  35:4,9 36:9,11,16 50:4,5  51:2,7,19,20 62:21,25  63:8,10,17 64:19,25 69:4  72:10,21 84:7,20,20  87:11 88:5,5,6 89:15  90:14 91:21,22 92:10  93:22 107:18 109:23,25  110:6 111:7 120:9,15  127:5,18 137:12 139:5  140:19 148:7 149:6 156:5  156:14 158:2,7 159:1  163:14,17 170:4,5,7,10  170:11 173:1,4,7,14,16  173:19 181:6 186:2,4  187:6 190:12 191:4,8,8  194:13 198:17,20,20,23  198:25,25 200:2,25 201:1  201:8,13,20 202:5,11,12  204:4 208:22 209:10,25  214:18 218:14 227:25  229:13 232:17,22,25  235:11,14,18,25 253:6  253:18 257:11,12 272:7  283:18,20,21 284:7,9,10  284:13,18 298:21 299:7  299:20 300:13 301:1,3  302:11 305:1,6 306:7  313:9 317:20,20 324:3,9  324:16,20,23,25 325:7  329:4,13 334:13 337:14  351:24 352:9,11</p>	<p><b>cast</b> [1] 133:10  <b>catch</b> [1] 135:2  <b>category</b> [2] 72:20 73:3  <b>Cathi</b> [1] 191:21  <b>caught</b> [3] 276:7,8,11  <b>caused</b> [1] 55:13  <b>cells</b> [4] 10:10 257:13  340:3,11  <b>Central</b> [2] 1:16 242:7  <b>centralization</b> [1] 44:9  <b>centre</b> [6] 226:12 246:19  340:1,3,21 344:17  <b>centred</b> [1] 8:12  <b>centres</b> [4] 5:17 6:21  199:10 247:25  <b>CEO</b> [2] 321:21 323:3  <b>CEOs</b> [1] 316:16  <b>certain</b> [8] 8:19 118:9  134:2 179:1,9 218:16  275:3 310:9  <b>certainly</b> [34] 9:18 15:25  27:22 31:12 32:14 46:13  46:14 50:1 52:12 58:24  82:16 83:20,21 92:22  120:13,21 121:13 131:8  262:9 270:6 279:2 288:11  295:24 300:15,25 301:18  301:23 315:13,22 316:3  328:7 333:3,7 356:4  <b>Certificate</b> [2] 2:4 357:1  <b>certify</b> [1] 357:2  <b>cetera</b> [3] 195:8 256:23  266:9  <b>Chair</b> [1] 39:3  <b>chairperson</b> [1] 24:22  <b>challenge</b> [4] 29:12  121:20 122:3,10  <b>challenges</b> [2] 116:16  116:18  <b>challenging</b> [1] 248:14  <b>chance</b> [3] 24:24 267:4  287:18  <b>change</b> [13] 42:7,11 47:4  83:16 102:23 168:16  209:1 221:4 223:8 248:9  331:21 346:6,15  <b>changed</b> [6] 45:14 82:19  96:2,11 112:19 209:1  <b>changes</b> [6] 74:3 220:6  240:9,23 241:5 248:16  <b>characteristics</b> [2]  283:24 344:14  <b>characterized</b> [3] 71:6  102:7 187:11  <b>charged</b> [1] 312:21  <b>chart</b> [1] 185:13  <b>charts</b> [1] 317:4  <b>Chaytor</b> [1] 1:7  <b>cheaper</b> [2] 208:10  252:12  <b>check</b> [8] 13:3 20:13 64:8  96:25,25 107:23 178:1,2  <b>checked</b> [2] 64:18 65:12  <b>Ches</b> [1] 1:12</p>	<p><b>chief</b> [29] 25:21 28:6 34:6  35:10,10 36:21 42:14,15  46:3,6,10,14,16 56:5  58:21 59:4 172:8,10  175:18,24 176:4,5 217:19  220:2 246:18,21 270:8  327:20 347:24  <b>chiefs</b> [7] 25:6,8,11 27:6  58:19 234:2,7  <b>chosen</b> [3] 253:7,12,20  <b>Chris</b> [1] 312:21  <b>chromogranin</b> [2]  253:15 259:4  <b>chronic</b> [2] 29:5,20  <b>chronological</b> [1]  143:24  <b>circumstances</b> [1]  143:12  <b>City</b> [1] 193:2  <b>CK7</b> [1] 253:15  <b>Clare's</b> [19] 92:8 105:1  105:6,11 108:14 151:11  176:5 180:15 181:23,24  182:18 205:21 235:15  252:25 254:1 280:18  281:10 299:17 300:14  <b>Clareville</b> [9] 147:21  148:9,13,21 149:16  151:10,15 152:4 189:2  <b>Clareville's</b> [1] 152:19  <b>clarify</b> [2] 283:17 335:3  <b>Class</b> [1] 1:13  <b>clear</b> [3] 38:10 294:23  295:14  <b>clearing</b> [1] 312:18  <b>clearly</b> [1] 224:8  <b>clinic</b> [8] 15:10 53:20  68:6 307:8 310:19 312:16  317:9 322:1  <b>clinical</b> [28] 25:6,8,11  26:14 27:6,15 28:6 33:4  42:13,14 59:4 63:7 65:4  94:12,16 96:21 172:9  175:18,23 176:4 217:19  220:1 234:2,7 236:18  246:20 270:8 347:24  <b>clinically</b> [1] 63:9  <b>clinicians</b> [1] 307:9  <b>clinics</b> [2] 227:13 301:10  <b>close</b> [1] 300:12  <b>closely</b> [1] 180:24  <b>closer</b> [1] 58:18  <b>CME</b> [3] 82:2,13,21  <b>co-clinical</b> [1] 25:21  <b>Co-counsel</b> [2] 1:6,7  <b>co-operation</b> [1] 41:4  <b>code</b> [1] 296:11  <b>Coffey</b> [1042] 1:6 2:3 4:2  4:3,9,17,22 5:1,9,11,13  5:21 6:12,16 7:2,8,19 8:7  8:14 9:16 10:4,15,24  11:7,10,11 12:12,17 14:4  14:11,17,22 15:3,16,21  16:1,6,11 19:3,10,15,24  20:5,10,18 21:1,5,10,16</p>	<p>21:20 22:1,8,14,20,25  23:7,13 24:3,9,15 26:19  26:25 28:3,20 29:23  30:20 31:5,15 32:1 33:11  33:16,22 34:3,10,14,20  35:1,7,17 36:1,7,8,20  37:1,9,14,20 39:14,19  40:1,9,13 41:12 42:6,12  42:19,25 44:2,19 45:4  45:12,17 46:12,17 47:7  47:21 48:2,14,19,25 49:5  49:13,14 50:18 51:5,10  51:17 52:2,8,25 53:6,11  54:4,11,15,21 55:2,6,14  55:19 56:23 57:3,15,20  57:24 58:5,14 59:9,13  59:20 60:4,14,18 61:3  61:11,18 62:3,7,12 63:15  63:20 64:1,6,11,15,20  65:1,7 66:1,7,12 67:1,7  67:12,19,25 68:12,15,18  69:7,11,17,22 70:4,10  70:17 71:4,11,18 72:8  72:19 73:7,12,18,25 74:6  74:20,25 75:7,18,24 76:3  76:10,14,21 77:1,8,17  78:1,25 79:5,11,25 80:5  80:10,14,21 81:5,12,19  82:1,6,18,23 83:9,15,24  85:22 86:1,2,11,15,24  87:3,7,20,25 88:17 89:4  89:9,22 90:3,10,25 91:11  91:16 92:3,21 93:1,8,12  93:19 94:3,15,20 95:1,6  95:15,19,25 96:6,22 97:4  97:9,16,21 98:2,7,11,16  98:23 99:7,12,17,21  100:6,15,22 101:3,16,22  102:3,14,19 103:1,5,11  103:16,22 104:6,13,19  105:14,20 106:1,8,16,17  106:25 107:6,9,11,22  108:3,23 109:4,10,16,24  110:3,12,16,20,25 111:6  111:12,19,25 112:6,11  113:5,14,18 114:1,6,11  114:17 115:3,8,12,18,19  116:14,20 117:4,9,20  118:2,6,15 119:11,23  120:11,23,24 121:7,11  121:18 122:2,14 123:1,6  123:14,19 124:6,8,16  125:10,21 126:1,2,16,23  127:6,12,17,24 128:12  128:18,22 129:2,17,25  130:5,13,19 131:5,12,17  132:4,14,19,24 133:15  133:24 134:7,11,19 135:4  135:18,22 136:6,14,19  137:2,6,14,21,25 138:7  138:12,24 139:3,9,22,24  140:9,23 141:3,8,12,17  141:21 142:2,11,17,22  143:2,19 144:2,10,19  145:2,9,15 146:18,25  147:14 148:12,16,20,24  149:5,10,14 150:6,10,14  150:21 151:2,6,13 152:3  152:8,13,25 153:6,18  154:1,5,9,15,22 155:1,7  155:11,23 156:13,17  157:1,8,12,18,25 158:6  158:13,20 159:12,19</p>	<p>160:1,7,12,17,21 161:1  161:7,15,20 162:1,7,13  162:19,25 163:10,22  164:2,8,13,17,22 165:5  165:18,24 166:8,17 167:3  167:10,17,25 168:6,12  168:24 169:4,5,13,25  170:18,22 171:3,8,14,25  172:6,17 174:4,8,13,18  174:24 175:5,16,22 176:2  176:8,15,23 177:6,7  180:8 181:12,17 182:3,8  183:2,9,15 184:1,6,14  184:22 185:1,6,12,16,21  186:1,7,11,20 187:3,9  187:22 188:7,14,25 189:7  189:11,12,19,24 190:14  190:23 191:6,11,16,24  192:5,11,16,20,25 193:5  193:10,16,21,25 194:10  194:20 196:3,8,15,21,22  197:3,9,15,21 198:3,10  198:11 199:7,13,19,24  200:7,14 201:7,12,22  202:17,24 203:4,18  204:11,15,20,24 205:4  205:12,19,24 206:6,13  206:23 207:4,9,13,19,24  208:19,25 209:5,16,22  210:7,13,20 211:7,17,23  212:18,25 213:4,10 214:1  214:10,20,24 215:3,11  215:16,20 216:8 217:9  217:15 218:7 219:5,24  220:10,15,20,24 221:6  221:24 222:10,16,20  223:2,6,14,20 224:3,12  224:18,22 225:3,18,22  226:18 227:16,24 228:4  228:10,16,20,22 229:2  229:10,24 230:3,10,17  231:1,5,14,25 232:5,10  232:16 233:4,9,13,20,24  234:5,11,20 235:2,22  236:3,7,21 237:2,16  238:2,11,16 239:5,12,19  240:2,18,24 241:4,8,13  241:25 242:5,12,16,23  243:2,9,13 244:1,6,11  244:16,22 245:2,6,17,21  245:25 246:7,13 247:23  249:3,19 250:1,7,17,22  251:3,8,13,18 252:1,15  252:20 253:21 254:10,24  255:5,10,15,21,25 256:5  257:6,21 258:1,7,12  259:18,23 260:3,11,20  261:2,8 262:12 263:3,11  263:17,25 264:4,5,16,18  264:22 265:8,15,20 266:1  266:10,16 267:3,10,19  268:10 269:1,6,12,18,23  270:10,17,24 271:5 272:9  272:18 273:2,10,17,24  274:9,17 275:5,15,20  276:2,15,22 277:1,7,10  277:15,17,22 278:5,10  278:15,22 279:9,13,17  279:21,25 280:6,12,16  280:22 281:1,20 282:1,5  282:15 283:6,11,15 284:2  284:6,14,25 285:8,13,17  285:23 286:4,11,16,22</p>
--	---	--	--	---

<p>287:1,7,11,16,24 288:13 288:18,25 289:18 290:8 290:12,16,22 291:2,12 291:18 292:12,20 293:7 293:12,17,25 294:10,15 294:22 295:8,16 296:3,9 296:18,24 297:7,15,22 298:11 299:18,25 300:5 301:15 302:1,7,13,18,19 302:24 303:3,7,11,16 304:8,12,17,23 305:4,12 305:22 306:5,14,21,25 307:2,6,12,18,22 308:2 308:6,10,14,18,24 309:15 309:22 310:12,25 311:4 311:10,15,20 312:4,8,15 312:25 313:6,13,19,25 314:6,13,23 315:3,8,12 315:20 316:6,13,21 317:2 317:7,12,17,24 318:3,19 319:9,16,20 320:3,9,14 320:19,23 321:3,12,17 322:6,13,17 323:6,11,16 323:21 324:6,13,21 325:5 325:12 326:21 328:12,17 328:22 329:2,11,18 330:4 330:14,19,24,25 331:14 332:14 333:10,20 334:5 334:17 335:8,13 336:2 337:25 338:9,16,22 339:2 339:20,24 340:7,14,18 341:4,11,15,23 342:3,13 342:19,25 343:9 344:12 344:21 345:6,17 346:5 346:13,18,23 347:4 348:18,22 349:3,8,19 350:10,21 351:1,5,11,14 351:16 352:17 353:1,7 353:11,17,21 354:2,5,9 354:13 355:23</p> <p><b>coinciding</b> [1] 121:19 <b>collaborate</b> [1] 154:23 <b>collated</b> [1] 128:4 <b>College</b> [3] 78:4,21 79:15 <b>column</b> [2] 302:25 303:8 <b>combined</b> [1] 116:25 <b>comfort</b> [4] 66:17,22,25 67:20 <b>comfortable</b> [2] 16:7 117:12 <b>coming</b> [17] 17:14 39:11 40:2 52:13 54:23 70:25 78:21 113:4 156:23 170:13 195:11 201:18 206:19 275:23 289:16 298:5 300:13 <b>comment</b> [21] 98:24 99:2 137:15 138:8 154:2 155:8 255:13,20 260:4,16 262:16 267:15,17 268:3 268:9 270:11 281:6 290:17 302:17 306:18 309:14 <b>commented</b> [2] 146:7 213:16 <b>comments</b> [4] 128:14 257:9 260:18 291:23 <b>Commission</b> [5] 1:1,6 1:7 357:4,7</p>	<p><b>Commissioner</b> [119] 1:3 4:1,4,5,7,15,20,24 5:2,5 5:10 11:9,13,19 12:6,10 12:13,15 16:20,24 18:3 18:10 19:1 27:2 28:5 31:25 32:9 33:9 64:24 65:18 72:24 91:4 107:8 107:12 112:12 115:13,14 115:17,20 130:6 135:10 143:7 147:17 168:14,19 168:22 177:5,9,16 178:6 178:7,17,21 179:17,22 180:6 196:20 198:4,6,9 198:12 200:21 201:3,23 202:2,7,8,13,15 225:24 226:7,9,23 227:5,9,14 238:6 263:21 264:3,6 267:22,25 268:4 287:2,5 287:8,9,13 294:23 307:16 307:20,23 308:3 336:15 336:22 337:3,4 343:17 344:4,9,10 351:13,17 352:19 354:3,4,11,15,22 355:1,6,10,11,16,21,24 356:3,9 357:7</p> <p><b>committee</b> [12] 24:23 25:4,10 26:9 27:7,10,13 27:19,24 39:3 45:9 251:12 <b>committees</b> [2] 32:12 119:17 <b>communicate</b> [2] 103:24 195:22 <b>communicated</b> [2] 74:23 75:1 <b>communicating</b> [1] 324:19 <b>communication</b> [10] 33:8 56:3,10 58:25 59:17 60:22 135:14 136:7,8,9 <b>communications</b> [14] 56:12,17 57:19,21 60:19 137:16 140:17 164:14 171:2 196:5 219:3 242:17 264:10 355:14 <b>Community</b> [1] 314:12 <b>company</b> [1] 147:1 <b>comparability</b> [1] 13:3 <b>comparable</b> [2] 288:8 288:22 <b>compare</b> [7] 17:18 33:4 35:9 212:13 309:10,20 332:22 <b>compared</b> [3] 238:20 337:5 344:19 <b>compares</b> [1] 180:24 <b>comparison</b> [4] 157:14 159:2 181:5,7 <b>compensation</b> [1] 290:4 <b>compile</b> [1] 163:13 <b>compiled</b> [5] 84:5 166:24 183:21 217:24 222:12 <b>complain</b> [1] 44:4 <b>complaints</b> [1] 43:1 <b>complete</b> [3] 116:2 165:2 167:5</p>	<p><b>completed</b> [5] 6:2 27:11 162:9 215:8 300:16 <b>completely</b> [1] 172:21 <b>completing</b> [1] 56:14 <b>completion</b> [1] 182:21 <b>complex</b> [2] 78:18 326:4 <b>component</b> [1] 247:13 <b>components</b> [1] 248:18 <b>comprising</b> [1] 187:18 <b>computer</b> [6] 32:23 90:9 118:3 184:11 253:18 264:7 <b>computerized</b> [1] 184:3 <b>conceivably</b> [1] 102:6 <b>concentrate</b> [4] 229:6 241:22,23 352:4 <b>concentrated</b> [5] 147:12 177:1 199:14 200:1 291:10 <b>concentration</b> [1] 127:4 <b>concentrations</b> [1] 254:20 <b>concern</b> [2] 114:13 166:2 <b>concerned</b> [9] 24:2 40:24 41:7 153:21 165:21 169:11 269:19 318:25 319:3 <b>concerning</b> [12] 44:9 54:7 212:23 216:15 266:6 277:11 289:9 327:2 345:22 349:17,17 352:2 <b>concerns</b> [20] 86:6 116:1 116:7 122:17,19 138:19 175:7 290:4 292:1,5 295:23 298:19 309:3 313:24 318:7,12,17 327:16 348:7 349:4 <b>conclude</b> [3] 82:24 235:16 352:18 <b>concluded</b> [1] 276:23 <b>concludes</b> [6] 26:10 38:18 85:3 219:18 248:15 248:21 <b>conclusion</b> [6] 8:18 154:10 181:4,7,11 356:12 <b>conclusions</b> [2] 6:19 272:10 <b>conduct</b> [1] 41:19 <b>conducted</b> [3] 294:5,18 295:2 <b>conducting</b> [3] 140:20 146:6 148:3 <b>Confederation</b> [1] 165:11 <b>conference</b> [7] 165:10 243:6,10,25 316:16 329:22,24 <b>confess</b> [1] 202:3 <b>confident</b> [2] 65:22 247:7 <b>configuration</b> [3] 186:17,18 220:7 <b>confirm</b> [4] 63:1 108:17 215:25 316:15 <b>confirmation</b> [1] 7:4</p>	<p><b>confirmations</b> [2] 9:25 10:12 <b>confirmed</b> [1] 10:19 <b>confirming</b> [3] 9:12 11:2 163:5 <b>consensus</b> [3] 88:13,18 122:22 <b>consequences</b> [1] 28:24 <b>consider</b> [1] 268:21 <b>considering</b> [3] 15:11 289:16 352:1 <b>consisted</b> [1] 183:3 <b>consistency</b> [2] 250:4 335:20 <b>consistent</b> [1] 353:13 <b>constant</b> [1] 283:2 <b>consult</b> [3] 52:17 308:25 332:1 <b>consultant</b> [3] 195:11 240:8 314:16 <b>consultants</b> [3] 229:19 298:17 327:8 <b>consultation</b> [10] 13:7 52:17 169:20 170:9 335:25 336:9 337:1,20 337:22 347:20 <b>consultations</b> [3] 163:4 170:13 202:14 <b>consultative</b> [1] 310:10 <b>consulted</b> [2] 26:11 349:9 <b>consults</b> [1] 322:22 <b>consuming</b> [1] 208:5 <b>contact</b> [15] 50:9 52:18 153:10 161:17 163:16 189:9 200:4,8 206:4 210:1,2,4 219:19 312:19 327:25 <b>contacted</b> [2] 180:17 265:23 <b>contacting</b> [4] 34:22 189:14 193:17 194:1 <b>container</b> [2] 172:21 179:16 <b>containing</b> [1] 182:19 <b>contemplating</b> [3] 15:22,25 77:10 <b>contents</b> [8] 2:1 266:5 266:21 267:15 273:20 281:6,12 350:12 <b>context</b> [6] 27:4 53:1 59:21 60:10 342:5,20 <b>continue</b> [8] 42:3 67:21 90:13 104:23 105:2 163:11 167:11 188:17 <b>continued</b> [5] 5:12 31:16 208:21 262:9 346:9 <b>continues</b> [2] 26:9 327:5 <b>continuing</b> [3] 230:2 272:12 347:7 <b>continuous</b> [1] 77:22 <b>continuously</b> [1] 67:16 <b>contracts</b> [1] 79:10 <b>contribute</b> [1] 166:18</p>	<p><b>contributing</b> [1] 57:14 <b>contribution</b> [1] 348:1 <b>contributor</b> [1] 42:4 <b>control</b> [11] 39:3 40:25 41:8 75:15 77:19 153:22 158:9 205:20 279:16 348:15 349:14 <b>controls</b> [21] 73:3 151:21 154:18 158:9 206:4 212:8 213:17 215:24 216:2 257:10,14 258:15 266:24 276:19 277:4,12 278:18 278:19 279:7,8 281:15 <b>convenient</b> [2] 309:9 351:14 <b>conversation</b> [18] 49:20 53:19 54:10 58:10 106:19 153:12,14 166:19 210:25 211:9,19 226:10 254:3 259:10 266:4,11,14 318:6 <b>conversations</b> [5] 230:13 249:13 318:14,14 348:12 <b>conversion</b> [26] 8:17 9:19 53:24 61:6,7,19 62:1,4 84:10,24,25 146:8 168:21 194:25 284:21 303:4,12,19,24 304:2,3 305:17 306:3,15 333:5,8 <b>conversions</b> [9] 8:20 10:21 11:4 55:13 190:7 305:6,7,17 332:22 <b>convert</b> [2] 168:25 331:19 <b>converted</b> [10] 9:25 69:13 70:9,11 84:22 114:20 131:21 283:22 284:10 285:14 <b>converters</b> [1] 88:4 <b>converts</b> [1] 134:8 <b>conveyed</b> [1] 157:14 <b>conveying</b> [1] 154:6 <b>Cook</b> [1059] 2:2 5:11,14 5:19 6:10,14,20 7:6,17 8:5,11 9:4,14 10:2,13,22 11:5,14,18 12:8 13:19 14:9,15,19,24 15:6,19 15:24 16:4,9,17,22 17:2 18:6,16 19:8,13,17 20:1 20:8,12,20 21:3,8,12,18 21:22 22:3,12,18,23 23:3 23:9,16 24:7,13 25:5 26:11,17,23 28:1,18 29:1 30:2 31:3,9,18 32:2,3,8 33:14,20 34:1,8,12,18 34:24 35:5,15,22 36:5 36:14,24 37:3,12,17 39:12,17,22 40:7,11,16 41:16 42:8,17,23 43:3 44:6,21 45:7,15 46:9,15 46:23 47:11,24 48:5,17 48:21 49:2,11 50:16,20 51:8,12,25 52:6,19,22 53:3,8,16 54:9,13,18,24 55:4,8,17,23 56:5,7,10 56:13,21,25 57:5,18,22 58:2,7,17 59:11,18,22 60:12,16,25 61:9,14,20 62:5,10 63:4,18,23 64:3</p>
---	---	---	--	---

<p>64:9,13,17,22 65:3,24 66:5,10,15 67:5,10,17 67:23 68:10,14 69:5,10 69:15,20 70:2,8,14,20 71:9,16,22 72:14 73:5 73:10,16,23 74:4,19 75:4 75:16,22 76:1,8,12,19 76:24 77:3,13,23 78:10 79:3,7,21 80:3,8,12,19 81:2,10,15,24 82:4,8,20 83:7,13,18 85:20,25 86:5 86:13,18 87:1,5,9,22 88:2,19 89:6,20 90:1,8 90:23 91:5,14 92:1,9,19 92:24 93:4,10,14 94:1,5 94:18,22 95:3,13,17,23 96:4,10 97:2,7,14,19,25 98:5,9,14,21 99:1,10,15 99:19,25 100:13,19 101:1 101:6,20 102:1,12,17,24 103:3,9,14,20 104:1,11 104:17 105:12,18,24 106:6,12,23 107:4,20 108:1,5,12 109:2,8,14 109:18 110:1,7,14,18,22 111:3,9,15,23 112:3,8 112:15 113:3,11,16,24 114:4,9,14 115:1,6,10 116:5,17 117:2,7,14,25 118:4,10 119:9,15 120:1 120:20 121:5,9,16,23 122:12,16 123:4,11,17 124:4,13,25 125:18,25 126:14,21 127:3,10,15 127:22 128:8,16,20,25 129:4,19 130:3,10,17 131:2,10,15,24 132:12 132:17,22 133:2,22 134:5 134:9,17,24 135:12,20 136:3,10,16,22 137:4,8 137:19,23 138:4,10,17 139:1,7,21 140:7,12 141:1,6,10,15,19,25 142:6,15,20,25 143:14 143:25 144:7,13,25 145:5 145:13,16 146:4,23 147:9 147:23 148:14,18,22 149:3,8,12,18 150:8,12 150:17,24 151:4,9,16 152:6,10,16 153:2,16,24 154:3,7,12,20,24 155:5 155:9,13 156:11,15,20 157:5,10,16,20 158:4,11 158:18,23 159:16,24 160:4,10,14,19,24 161:5 161:13,18,24 162:5,11 162:14,17,23 163:8,20 163:25 164:4,6,11,15,20 164:25 165:7,20 166:1 166:11,20 167:8,14,19 168:4,10,18 169:3,9,23 170:2,20,25 171:6,10,16 172:4,15 173:9,12 174:6 174:11,16,22 175:3,11 175:20,25 176:6,13,21 177:3,10,14,18 178:15 178:19,24 179:20 180:1 180:15,17,20 181:8,15 182:1,6,22,25 183:7,13 183:19 184:4,9,18,24 185:3,10,14,19,24 186:5 186:9,14,23 187:7,12 188:3,12,23 189:5,10,17</p>	<p>189:22 190:3,18 191:2,9 191:14,19 192:3,8,14,18 192:22 193:3,8,14,19,23 194:2,18 196:1,6,13,18 197:1,5,13,19,24 199:5 199:11,17,22 200:5,12 200:19,24 201:5,10,16 202:3,6,10,22 203:2,6 203:22 204:13,18,22 205:2,10,17,22 206:1,10 206:15 207:2,6,11,15,21 208:1,23 209:3,14,20 210:5,11,18,22 211:11 211:21 212:15,20 213:2 213:7,13 214:4,12,15,22 215:1,9,14,18,25 216:4 216:10,24 217:13 218:5 218:22 219:22 220:1,4 220:13,18,22 221:2,22 222:8,14,18 223:1,12,18 224:1,10,16,20 225:1,12 225:20,25 226:6,14,21 227:4,11,22 228:2,7,14 228:19,25 229:8,22 230:1 230:8,15,23 231:3,12,23 232:3,8,14,23 233:7,11 233:18,22 234:3,9,12,18 234:22 235:4,20 236:1,5 236:19,25 237:14,25 238:9,14,21 239:7,17,22 240:16,21 241:2,6,11,18 242:3,10,14,21,25 243:5 243:11,16 244:4,9,14,20 244:25 245:4,8,19,23 246:2,9 247:21 249:1,6 249:24 250:3,11,20 251:1 251:6,11,16,20 252:4,18 252:22 253:23 254:12 255:2,7,12,19,23 256:3 256:7 257:8,24 258:5,10 258:14 259:20 260:1,7 260:13,23 261:6,10 262:15 263:5,14 264:14 264:20,24 265:6,12,18 265:22 266:3,12,19 267:8 267:13,23 268:2,8,20 269:4,10,16,21,25 270:15 270:22 271:3,8 272:16 272:21 273:4,15,22 274:7 274:12,22 275:9,19 276:10,20,24 277:5,14 277:20 278:2,8,13,20 279:1,11,15,19,23 280:4 280:10,15,24 281:3,24 282:3,8,17 283:10,21,25 284:4,9,12,23 285:3,11 285:15,20 286:2,6,14,18 286:24 287:22 288:4,16 288:20 289:3,21 290:10 290:14,20,25 291:4,16 291:21 292:15,22 293:10 293:15,23 294:7,13,20 295:5,13,19 296:7,16,21 297:1,9,20,24 299:11,15 299:23 300:3,8 301:17 302:5,10,15,22 303:1,5 303:9,14,20 304:10,14 304:20 305:2,10,15,25 306:11,17,23 307:4,10 307:14,25 308:4,8,12,16 308:22 309:2,18 310:2 310:23 311:2,8,13,18 312:2,6,11,13,23 313:4</p>	<p>313:11,17,22 314:4,10 314:15 315:1,6,10,18,25 316:11,19,25 317:5,10 317:15,22 318:1,5 319:2 319:14,18 320:1,7,12,17 320:21 321:1,10,15,24 322:4,11,15,19 323:9,14 323:19 324:4,11,18 325:1 325:3,10,21 326:1 327:5 327:9,14,23 328:15,19 328:25 329:8,16 330:2 330:12,16,23 331:12 332:3,17 333:16,22 334:12 335:6,11,22 336:4 336:20 337:2,7 338:7,12 338:20,25 339:5,22 340:5 340:12,16,23 341:9,13 341:20 342:1,7,17,22 343:2,13,19,25 344:8,16 345:1,4,15,19 346:11,16 346:21 347:2 348:5,20 348:25 349:6,10 350:1 350:14,24 351:3,7 352:15 352:24 353:5,9,15,19,24 354:18 356:4,7 <b>Cook's</b> [2] 134:3 212:6 <b>cooperation</b> [2] 32:4 58:18 <b>coordination</b> [1] 57:7 <b>coordinator</b> [1] 138:23 <b>copied</b> [7] 24:19 37:24 216:11 246:19 304:15 326:24 347:5 <b>copies</b> [7] 90:11 171:12 295:15,17,21,23 296:1 <b>copy</b> [31] 96:24 97:6,6,8 104:8 105:1 169:21 170:14,14 171:22,23 172:13 188:18 209:7 210:1,2 218:23 219:2 220:16,17 238:18 249:10 265:3 286:9,12 310:4,6 310:7 329:3 331:4 353:3 <b>copying</b> [1] 239:14 <b>core</b> [5] 195:7 250:12,14 271:12 276:1 <b>corner</b> [8] 172:12 199:2 199:21 200:11,22 310:16 324:14,20 <b>Corporation</b> [6] 38:4 84:8,14,19 172:2 323:25 <b>correct</b> [63] 5:20 7:18 9:15 10:14 11:19 22:13 26:18 34:9,25 35:2 37:13 45:16 51:9 52:1,7 66:6 67:6,18 73:17 80:4,20 91:6 100:1 104:18 105:19 115:7 118:5 153:17 156:12 162:6,18 178:16 182:2 199:12 200:13,20 205:18 209:15,21 219:23 220:14 223:5 231:4,24 233:23 234:4 235:21 236:20 249:25 273:23 294:14,21 295:6 307:11 307:15 321:11 324:5 329:1 337:3 341:21 345:16 350:25 357:3 <b>correction</b> [1] 87:17</p>	<p><b>correctly</b> [5] 165:8 177:23 282:19 316:4 335:24 <b>correlate</b> [3] 32:24 50:7 309:25 <b>correlating</b> [2] 259:7 334:2 <b>correlation</b> [14] 18:22 29:14 33:1 52:3 91:7 125:7 156:21 159:17 171:19 181:1 303:13,18 305:8 310:8 <b>correlations</b> [4] 17:24 181:9,10 229:16 <b>correspond</b> [1] 238:8 <b>corresponding</b> [1] 127:19 <b>Correspondingly</b> [1] 132:15 <b>corridors</b> [1] 280:19 <b>cost</b> [2] 350:6,7 <b>Costello</b> [4] 192:17 193:18 194:9 196:10 <b>costs</b> [3] 50:12 52:16 301:5 <b>Counselling</b> [1] 312:20 <b>counterpart</b> [2] 198:1 239:11 <b>couple</b> [5] 4:4,12 85:12 203:12 252:13 <b>course</b> [8] 12:13 15:14 50:11 52:16 225:4 241:14 265:3 270:18 <b>cover</b> [3] 48:13 224:8 344:23 <b>covered</b> [1] 288:3 <b>covering</b> [1] 254:16 <b>cracks</b> [1] 243:23 <b>create</b> [3] 18:22 166:6 195:23 <b>created</b> [5] 22:9,16,21 35:19 328:23 <b>creates</b> [1] 273:13 <b>creating</b> [1] 305:13 <b>criteria</b> [8] 100:21 101:9 101:13 102:23 118:8 133:4,25 134:6 <b>critical</b> [1] 194:15 <b>Crosbie</b> [2] 1:12 355:25 <b>cross</b> [2] 145:18 311:16 <b>crosslinks</b> [2] 254:15,21 <b>crude</b> [1] 85:15 <b>culmination</b> [1] 236:22 <b>cultural</b> [2] 31:1,12 <b>curiosity</b> [1] 224:14 <b>current</b> [33] 18:8 20:6,9 22:11 36:15 38:6,11 51:2 51:7,19,20 55:3,9 84:4 89:15 170:5,10 200:2 201:8,13 202:4,11 208:22 209:10,24 215:8 216:15 218:11 232:17,21 245:9 245:15 247:14 <b>currents</b> [1] 51:16</p>	<p><b>cut</b> [2] 22:16 164:10 <b>cutoff</b> [21] 63:6,7,7 84:17 94:8,10,14 96:15,20,21 98:8,18 99:24 100:4,12 101:12,18 149:11,11 224:6 304:3 <b>cutoffs</b> [2] 100:3 218:17 <b>cutting</b> [5] 79:16 231:16 235:17 237:7 249:17 <b>cytoplasmic</b> [1] 72:17</p> <hr/> <p style="text-align: center;"><b>-D-</b></p> <p><b>d</b> [3] 45:21,21 281:8 <b>daily</b> [1] 253:17 <b>DAKO</b> [20] 85:5 87:17 88:16 93:7,15 146:9 147:11,12 156:22 157:23 158:15 180:24 181:2,6 194:22 272:15,20,23 273:7,9 <b>Dalton</b> [7] 127:2 205:6 210:14 211:19 317:19 318:6,21 <b>Dan</b> [14] 46:4,10 47:16 56:6 74:8 172:8 206:24 246:18 249:4 327:20,25 328:5,7 347:5 <b>Dan's</b> [1] 328:4 <b>Daniel</b> [1] 1:10 <b>Dankwa</b> [4] 210:8,9 231:7 313:8 <b>data</b> [5] 184:12 217:23 222:11 236:18 334:9 <b>database</b> [12] 115:24 116:2,9 117:19 124:20 125:12,14,22,23 135:3 147:6 325:17 <b>date</b> [17] 15:1 69:24 93:9 93:13 101:4 127:11 144:3 144:8 239:23 265:13 306:25 310:20 313:9 316:2 328:2 332:12 352:11 <b>dated</b> [8] 7:10 84:2 242:6 265:4 349:24 351:21 352:21 357:11 <b>dates</b> [5] 52:14 75:20 218:16 224:5,7 <b>days</b> [8] 4:12 13:25 77:11 170:12 176:11 252:23 330:10 337:23 <b>DC</b> [1] 330:1 <b>dead</b> [2] 114:22 311:21 <b>deal</b> [9] 79:10 131:13 134:8 179:19,23 206:22 301:21 327:10 345:21 <b>dealing</b> [8] 30:4 43:19 50:4 116:8 146:17 215:12 237:22,23 <b>dealt</b> [1] 239:15 <b>Debbie</b> [2] 124:12,12 <b>debriefing</b> [4] 56:2 327:7 352:23 353:14 <b>deceased</b> [5] 91:24 107:24 131:9 311:23,24</p>
--	--	--	---	--



<p><b>December</b> [5] 27:8 28:8 96:17,19 99:13</p> <p><b>decide</b> [3] 82:11 195:16 314:17</p> <p><b>decided</b> [5] 25:11 26:2 151:24 159:8 208:7</p> <p><b>decision</b> [13] 11:21 69:3 87:14,15 88:11,25 98:18 140:15 216:13 310:20 312:9 333:24 334:4</p> <p><b>decisions</b> [1] 38:13</p> <p><b>dedicated</b> [10] 75:11,20 76:6 247:10 248:24 249:14 271:16,25 289:24 347:10</p> <p><b>deemed</b> [1] 179:11</p> <p><b>deficiencies</b> [13] 135:8 135:12,13 136:8,15,20 136:24 137:15 292:6,24 293:5,18,22</p> <p><b>deficient</b> [2] 27:14 28:10</p> <p><b>defined</b> [4] 63:14 92:13 93:24 224:14</p> <p><b>definition</b> [2] 64:25 65:2</p> <p><b>definitions</b> [1] 304:7</p> <p><b>degree</b> [7] 40:25 41:3 66:22,25 107:19 187:21 276:12</p> <p><b>degrees</b> [2] 173:23 187:15</p> <p><b>delay</b> [2] 127:19,23</p> <p><b>deliberations</b> [1] 345:12</p> <p><b>deliver</b> [1] 248:13</p> <p><b>delivered</b> [1] 247:7</p> <p><b>demographic</b> [1] 182:14</p> <p><b>Denic</b> [5] 88:21 261:12 261:18 286:10,20</p> <p><b>Denise</b> [1] 236:12</p> <p><b>denominator</b> [1] 84:11</p> <p><b>Department</b> [5] 156:2 165:10 248:16 314:11 315:22</p> <p><b>depended</b> [1] 120:2</p> <p><b>depending</b> [4] 67:13 127:19 128:9 340:25</p> <p><b>depth</b> [1] 256:22</p> <p><b>dermatology</b> [1] 31:21</p> <p><b>described</b> [3] 91:3 133:18 264:10</p> <p><b>describes</b> [1] 65:20</p> <p><b>describing</b> [2] 211:1 288:2</p> <p><b>description</b> [1] 183:4</p> <p><b>descriptions</b> [1] 47:3</p> <p><b>designed</b> [2] 35:24 170:6</p> <p><b>despite</b> [3] 31:16 100:23 293:19</p> <p><b>destroyed</b> [1] 214:7</p> <p><b>detail</b> [2] 124:7 266:15</p> <p><b>detailed</b> [4] 24:25 49:9 211:8 266:21</p> <p><b>detected</b> [2] 271:2,6</p> <p><b>determinations</b> [1]</p>	<p>227:1</p> <p><b>determine</b> [4] 96:14 125:3,4 170:3</p> <p><b>determined</b> [2] 28:7 229:15</p> <p><b>develop</b> [1] 347:19</p> <p><b>developed</b> [2] 43:15 44:3</p> <p><b>developing</b> [2] 271:18 347:9</p> <p><b>development</b> [2] 26:12 38:14</p> <p><b>deviation</b> [1] 347:22</p> <p><b>deviations</b> [1] 349:5</p> <p><b>devote</b> [1] 252:7</p> <p><b>diagnosed</b> [9] 36:17 49:25 51:2 170:11 201:1 201:20 202:11 206:20 232:25</p> <p><b>diagnoses</b> [1] 32:24</p> <p><b>diagnosis</b> [6] 12:9,11 30:10,17 247:7,9</p> <p><b>diagnostic</b> [1] 29:10</p> <p><b>dialogue</b> [1] 57:23</p> <p><b>Diamond</b> [1] 242:8</p> <p><b>dictated</b> [1] 90:6</p> <p><b>dictionary</b> [1] 319:22</p> <p><b>difference</b> [10] 103:24 132:10 160:2 257:3 339:7 339:12,14,15 341:2 348:24</p> <p><b>different</b> [26] 6:21,22 7:23 33:2 42:24 51:15 117:24 118:3,7 156:25 194:16 280:17 283:12,13 283:14 326:6,10,10,11 326:15,15 338:18,18 340:19 341:5,6</p> <p><b>differential</b> [1] 30:9</p> <p><b>difficult</b> [7] 42:11 43:5 50:13 118:8 288:19 289:15 301:11</p> <p><b>difficulty</b> [2] 30:24 202:4</p> <p><b>dilution</b> [1] 194:17</p> <p><b>dinner</b> [1] 262:7</p> <p><b>Diponkar's</b> [2] 244:23 254:7</p> <p><b>direct</b> [2] 201:15 347:14</p> <p><b>direction</b> [5] 271:14 321:18 347:16 348:10 349:2</p> <p><b>directly</b> [5] 200:2,22 201:8 209:11,24</p> <p><b>director</b> [15] 40:23 41:9 43:9,12 44:18 164:14 172:7 242:17 246:17 282:12 293:3 309:24,24 310:7,18</p> <p><b>directors</b> [16] 127:8 147:25 190:12 201:19 217:16 218:9,9 221:9 223:24 230:7,20 243:1 311:12 312:12 316:17 351:22</p> <p><b>disagreement</b> [1] 85:14</p>	<p><b>disagreements</b> [1] 350:11</p> <p><b>disciplines</b> [1] 33:2</p> <p><b>disclose</b> [1] 119:21</p> <p><b>disclosed</b> [1] 166:4</p> <p><b>disclosure</b> [6] 165:1,15 165:23 166:13 167:16 316:2</p> <p><b>discontinue</b> [1] 151:24</p> <p><b>discontinued</b> [5] 93:15 150:2,3 152:19 207:16</p> <p><b>discovered</b> [1] 38:6</p> <p><b>discrepancy</b> [2] 345:25 346:2</p> <p><b>discuss</b> [11] 14:13 74:9 119:2 146:21 223:7,11 249:7 281:22 314:2 315:17 328:11</p> <p><b>discussed</b> [19] 13:25 41:13 49:20 52:12 53:13 53:18 56:8 116:16,16 121:2 124:7 156:3 168:7 168:11 182:9 260:22 263:10 297:18 347:6</p> <p><b>discussing</b> [5] 110:4 135:23 223:13 256:17,24</p> <p><b>discussion</b> [35] 8:16 14:2 14:16 23:15 24:25 25:20 27:20 40:15 48:24 49:3 49:4 50:14 51:14 53:14 53:22 62:20 70:5 74:12 96:11,15 102:18 121:3 124:5 146:2 188:20 258:20 261:14 266:21 280:1 281:18 282:24 283:4,13 297:11 348:6</p> <p><b>discussions</b> [10] 13:20 25:10 50:21 51:15 74:24 109:20,21 190:11 349:13 349:17</p> <p><b>disease</b> [1] 68:8</p> <p><b>dissection</b> [1] 299:2</p> <p><b>distinctly</b> [1] 288:5</p> <p><b>distraught</b> [1] 318:24</p> <p><b>distressed</b> [1] 41:17</p> <p><b>distribution</b> [1] 33:5</p> <p><b>division</b> [4] 1:15 27:12 288:24 289:5</p> <p><b>divisional</b> [4] 41:9 282:12 293:4 299:16</p> <p><b>doctor</b> [215] 5:15 6:7 7:9 7:20 8:8 9:5 12:19 13:14 15:4 19:4 24:4,16 27:1 27:21 28:4 30:21 33:12 33:17 35:18 37:22 39:10 45:18,22 50:13 52:9 54:5 55:20 56:16 62:4 65:9 66:8 67:2 70:5 71:5 73:19 74:16 78:8 79:1 80:22 83:10,25 86:3 89:10 91:17 92:17 93:2 95:7 96:1,23 97:22 100:7 101:17 102:20 107:13 108:9 115:21,25 116:22 117:10,21 118:16 119:2 119:24 120:12,25 122:4 123:7 126:4 130:23</p>	<p>134:12 135:23 139:13,13 140:24 141:23 142:23 143:3 146:19 147:22 151:7,7 153:9 155:25 156:19 158:21 160:3 162:4 163:2 164:18 165:6 167:11 169:6,14 170:1 171:15 172:1 173:9 174:19 176:9 180:9 182:23 183:16 185:22 187:23 192:1,13 196:9 197:10 198:13 200:15 203:5 205:25 207:25 209:6 210:21 211:25 212:4,14 216:19 218:19 219:6 221:17 223:21,25 224:4,13 227:17 229:3 230:11 232:1,17 234:17 236:9,15 237:4,17 240:3 240:10,14 242:1,24 244:13 246:22 249:20 252:16 256:6 258:8,13 264:6 265:16 267:4,20 267:21 269:24 270:11,25 272:10 280:7 283:7,16 283:19 285:24 287:3,19 288:1,14 291:20 292:13 293:18 294:1,23 296:5 296:19 297:16,23 298:13 299:12 300:7 302:3 303:18 305:23 306:6 307:3 310:13 313:2 314:24 315:17 318:20 319:10,23 322:7 323:13 325:14 326:22 327:17 328:13 329:19 330:20,21 331:2,25 333:11 334:18 335:14 338:17 341:16 342:14 344:22 345:18 346:24 348:2 349:20,24 351:17 352:20</p> <p><b>Doctors</b> [2] 1:9 311:5</p> <p><b>document</b> [3] 240:14 310:17 328:14</p> <p><b>documentation</b> [9] 47:3 47:6 152:21,23 153:5 214:8 262:25 290:1 292:10</p> <p><b>doesn't</b> [3] 39:7 75:21 342:15</p> <p><b>Don</b> [4] 52:19 55:23 321:23 345:7</p> <p><b>Donald</b> [8] 2:2 5:11 173:9 182:22 220:1 283:21 284:8 299:11</p> <p><b>done</b> [40] 8:10 16:8 18:19 20:9,17 22:2,4,22 66:4,4 76:18 85:24 86:16 89:16 95:20 109:5 111:22 112:9 143:9 145:3 161:10 173:7 176:20 180:23 202:1 204:21 207:10,14 208:14 208:21 209:4 212:8 215:17 216:1 306:8 311:22,25 323:8 338:10 350:22</p> <p><b>double</b> [1] 16:21</p> <p><b>down</b> [29] 7:20 9:21 15:15,15 32:16 48:7 54:1 54:19 66:23 67:3 81:17 97:17 143:17 164:21</p>	<p>169:21 170:14,15 171:17 171:18 177:25 178:1,2 202:20 203:15 204:3 274:24 287:25 324:7 326:19</p> <p><b>Dr</b> [1385] 2:2 5:11,14,19 5:25 6:10,14,20 7:6,11 7:12,14,17 8:5,11 9:4,14 10:2,13,22 11:5,14,18 12:8,19,21,24 13:14,15 13:16,17,19,21,24 14:9 14:10,13,14,15,19,24 15:6,19,24 16:4,9,17,22 17:2,13 18:6,16 19:8,13 19:17,19 20:1,2,8,12,20 21:3,8,12,13,18,22 22:3 22:12,18,23 23:3,9,16 24:7,13,18,18,21 25:5 25:22,25 26:11,17,23 28:1,18 29:1,19 30:2 31:3,9,18 32:2,3,8 33:14 33:20 34:1,8,12,16,18 34:24 35:5,15,22 36:5 36:14,24 37:3,10,12,17 37:23,24 39:12,17,21,22 40:5,7,11,16 41:16 42:8 42:9,17,23 43:3 44:6,7 44:21 45:7,15 46:1,2,4,5 46:9,10,15,20,23 47:11 47:16,19,23,24 48:4,5 48:11,15,17,21 49:2,11 49:18 50:14,16,20 51:8 51:12,25 52:6,10,20,21 52:22,23 53:3,7,8,12 53:14,16 54:5,9,13,18 54:24 55:4,8,17,21,23 56:5,6,7,10,13,21,25 57:5,18,22 58:2,3,7,11 58:17,23 59:11,12,18,22 59:24,24 60:3,10,12,16 60:25 61:6,9,14,20 62:5 62:10 63:4,7,18,23 64:3 64:4,9,13,17,22 65:3,24 66:5,10,15 67:5,10,17 67:23 68:2,3,4,10,14 69:5,9,15,20 70:2,8,14 70:20 71:9,16,22 72:14 73:5,10,16,21,23 74:4,8 74:19,23 75:4,16,22 76:1 76:6,8,12,19,24 77:3,13 77:23 78:10 79:2,3,7,19 79:21,23 80:3,8,12,19 81:2,10,15,24 82:4,8,20 83:7,13,18 84:1,3,22 85:20,25 86:4,5,13,18 87:1,5,9,15,22 88:2,19 88:22,24 89:6,12,20 90:1 90:4,8,22,23 91:5,14,19 92:1,9,9,19,24 93:4,10 93:14 94:1,5,8,18,22 95:3,13,17,23 96:4,10 96:12 97:2,7,12,14,19 97:25 98:5,9,12,14,21 99:1,9,10,15,19,25 100:13,19 101:1,6,20 102:1,12,17,22,24 103:3 103:4,6,6,8,9,14,20 104:1,11,17 105:1,6,6 105:12,18,24 106:6,12 106:23 107:4,14,18,20 108:1,5,5,9,12,14,25 109:2,8,14,18 110:1,7 110:14,18,22 111:3,9,15</p>
---	--	--	---	---

Inquiry on Hormone Receptor Testing

<p>111:23 112:3,8,13,14,15 112:16 113:3,4,11,16,19 113:24 114:4,9,14 115:1 115:6,10,22 116:5,17 117:2,7,14,25 118:4,10 119:9,15 120:1,20 121:5 121:9,13,16,23 122:12 122:15,16,17 123:4,7,11 123:17 124:4,13,18,19 124:25 125:11,18,25 126:4,9,9,14,21 127:3 127:10,15,22 128:8,16 128:20,23,25 129:4,19 130:3,10,17 131:2,10,15 131:24 132:12,17,22 133:2,22 134:3,5,9,17 134:24 135:12,20 136:3 136:10,16,22 137:4,8,19 137:23 138:4,10,17 139:1 139:7,15,21 140:7,12,14 141:1,6,10,15,19,25 142:6,15,20,25 143:14 143:25 144:7,13,25 145:5 145:13,16,23 146:2,4,23 147:3,9,17,23 148:6,13 148:14,18,22,25 149:3,8 149:12,18 150:1,8,12,13 150:15,17,18,24 151:4,5 151:9,16 152:6,10,16,17 153:2,10,15,16,24 154:3 154:7,12,20,24 155:5,9 155:10,13 156:3,11,15 156:20 157:5,10,16,20 158:4,7,11,18,23 159:16 159:24 160:4,10,14,19 160:24 161:5,8,9,13,18 161:24 162:5,11,14,15 162:17,23 163:3,8,20,25 164:3,4,4,6,11,15,20,25 165:7,20 166:1,3,11,13 166:20 167:8,14,19 168:4 168:10,18 169:3,9,23 170:2,16,20,25 171:6,10 171:16 172:4,7,15 173:12 174:6,11,16,22 175:3,11 175:20,25 176:6,13,21 177:3,10,14,18 178:15 178:19,24 179:20 180:1 180:10,12,14,17,20 181:3 181:8,15 182:1,6,25 183:7,13,19 184:4,9,18 184:24 185:3,10,14,19 185:24 186:5,9,14,23 187:7,12 188:3,9,12,23 189:4,5,8,10,17,22,25 190:3,18 191:1,2,9,12 191:14,17,19,23 192:3,6 192:8,14,18,22 193:3,8 193:14,17,19,23 194:2,7 194:8,18 196:1,6,9,13 196:18 197:1,5,13,19,24 199:5,11,17,22 200:5,12 200:19,24 201:5,10,16 201:24 202:3,6,10,22 203:2,6,22 204:13,18,22 205:2,10,17,22 206:1,10 206:15 207:2,6,8,11,15 207:21 208:1,12,23 209:3 209:14,20 210:5,8,9,11 210:18,22 211:11,19,21 211:25 212:6,15,20,22 213:2,7,13 214:4,12,12 214:15,22 215:1,9,14,18</p>	<p>215:22,25 216:4,10,11 216:11,21,24 217:1,5,13 217:18 218:5,22,23 219:8 219:22 220:4,9,13,16,18 220:22 221:2,11,22 222:8 222:14,18 223:1,12,18 224:1,10,16,20 225:1,12 225:20,25 226:6,8,10,14 226:21 227:4,11,22 228:2 228:7,14,19,25 229:8,22 230:1,8,15,23 231:3,7 231:12,23 232:3,8,14,23 233:7,11,18,22 234:3,9 234:12,12,16,18,22,23 235:4,20 236:1,5,9,19 236:25 237:13,14,25 238:5,7,9,12,14,17,18 238:20,21 239:6,7,10,14 239:17,21,22 240:5,16 240:17,21 241:2,6,11,12 241:15,18,19,21 242:3,6 242:10,14,21,25 243:5,7 243:11,16 244:4,9,14,17 244:20,25 245:4,8,19,23 246:2,9,11,20,21,21 247:21 249:1,4,6,13,24 250:3,8,11,20 251:1,6,7 251:11,16,20 252:4,16 252:18,22,25 253:23,24 254:12 255:2,7,12,19,23 256:3,7 257:1,8,24 258:3 258:5,6,10,14 259:20 260:1,7,13,15,23,25 261:4,6,10,12,13,18,18 262:2,2,5,15,18 263:5 263:14 264:11,14,15,20 264:24,25 265:6,12,18 265:22,23 266:3,5,6,12 266:14,19 267:4,6,8,13 267:23 268:2,8,20 269:4 269:10,16,21,25 270:15 270:22,25 271:3,8 272:16 272:21 273:4,15,22 274:7 274:12,22 275:9,19 276:10,20,24 277:5,14 277:20 278:2,8,13,20 279:1,11,15,19,23 280:2 280:4,10,15,24 281:3,6 281:12,24 282:3,8,17 283:10,21,25 284:4,8,12 284:23 285:1,3,11,15,20 285:24 286:2,6,10,14,18 286:20,24 287:20,22 288:4,16,20 289:3,21 290:10,14,20,25 291:4,6 291:10,16,21,22,25 292:15,17,22 293:10,15 293:23 294:4,7,11,13,16 294:20 295:5,10,12,13 295:19,20 296:5,7,16,21 296:22 297:1,9,20,24 298:14 299:15,23 300:3 300:8 301:17 302:5,10 302:15,22 303:1,5,9,14 303:20,21 304:10,14,20 305:2,10,15,25 306:11 306:17,23 307:4,10,14 307:25 308:4,8,12,13,16 308:17,22 309:2,4,11,18 310:2,13,23 311:2,7,8 311:13,18 312:2,6,11,13 312:18,23 313:4,7,11,17 313:22 314:2,4,8,10,11</p>	<p>314:15 315:1,6,9,10,18 315:22,25 316:4,11,19 316:25 317:5,10,15,22 318:1,5,21 319:2,14,18 320:1,7,12,17,21 321:1 321:10,15 322:4,11,15 322:19 323:9,14,19 324:4 324:11,18 325:1,3,10,21 326:1,24,25 327:5,5,9 327:14,18,23 328:15,19 328:25 329:8,16,21 330:2 330:12,16,23 331:7,12 332:3,4,5,17 333:1,12 333:16,22,23 334:12,21 334:23 335:2,6,10,11,22 336:4,20 337:2,7 338:7 338:12,20,23,25 339:5 339:22 340:5,12,16,23 341:9,13,20 342:1,7,17 342:22 343:2,13,18,25 344:8,16,24,25 345:1,1 345:4,15,19 346:11,16 346:21,25 347:2,6 348:2 348:5,6,12,13,16,20,25 349:6,10,11,22 350:1,2 350:3,9,14,16,24 351:3 351:4,7,19 352:6,15,24 353:5,9,15,19,24 354:18 356:4,7</p> <p><b>draft</b> [10] 73:20 82:24 220:3,11 307:8 308:7 312:16 319:12,13,24</p> <p><b>drafted</b> [5] 7:11 219:25 220:11 308:20 317:8</p> <p><b>draw</b> [1] 253:18</p> <p><b>drawn</b> [1] 176:19</p> <p><b>drew</b> [1] 133:3</p> <p><b>dropping</b> [1] 223:8</p> <p><b>drove</b> [1] 252:24</p> <p><b>due</b> [3] 12:13 87:18 268:18</p> <p><b>during</b> [17] 26:12 38:10 52:14 63:17 64:21,23 115:25 152:4 173:16 175:23 178:11 189:13 244:7 261:9 264:10 286:23 336:17</p> <p><b>duty</b> [1] 48:13</p> <p><b>Dyer</b> [22] 23:12,18 45:20 46:20 64:7 89:12 91:19 97:12 104:5,9 117:1 129:24 183:21 184:20 213:15 215:23 217:2 228:1 262:1 263:6 291:9 351:18</p> <hr/> <p style="text-align: center;"><b>-E-</b></p> <hr/> <p><b>e</b> [11] 45:21,21,21 52:9 163:2 175:6 238:6 240:3 334:18 335:9 343:21</p> <p><b>e-mail</b> [26] 5:22 6:1,8 53:12 61:4 62:13,24 115:21 118:16 124:10 153:11 219:7 220:21 235:5 237:4,13,18 238:3 238:17 240:25 296:5 325:13 332:15 334:25 335:20 338:24</p> <p><b>e-mails</b> [2] 239:13 331:3</p>	<p><b>e-update</b> [1] 331:11</p> <p><b>earliest</b> [1] 127:13</p> <p><b>early</b> [15] 19:21 110:23 149:21 173:7 201:25 207:17,22,22 278:1,7 281:4 299:20 301:13 324:8 329:14</p> <p><b>easier</b> [3] 337:20 338:10 338:13</p> <p><b>Eastern</b> [17] 1:10 38:12 39:4 42:1 49:24 76:22 83:21 89:12,19 91:19 123:2 165:21 171:12 232:17 234:15 237:21,23</p> <p><b>Ed</b> [3] 314:2 315:17 321:22</p> <p><b>edge</b> [2] 160:9 344:2</p> <p><b>effect</b> [14] 7:3 131:23 153:20 156:8 189:3,21 196:16 198:15 200:17 218:8 290:18 300:2 302:21 333:12</p> <p><b>effective</b> [3] 43:19 46:7 290:18</p> <p><b>effects</b> [1] 268:17</p> <p><b>efficiency</b> [3] 252:5,9 252:10</p> <p><b>effort</b> [3] 215:24 299:6 300:15</p> <p><b>efforts</b> [4] 31:17 236:23 282:11 352:4</p> <p><b>eight</b> [1] 304:5</p> <p><b>either</b> [4] 21:23 30:5 65:2 65:4</p> <p><b>Ejeckam</b> [22] 24:18,21 29:19 45:23 46:1,2,20 47:23 48:4,11,15 59:24 60:3,11 262:2 295:20 346:25 348:3,6,13,16 350:17</p> <p><b>Ejeckam's</b> [2] 76:7 280:2</p> <p><b>elaborate</b> [2] 216:19 255:11</p> <p><b>elected</b> [1] 208:11</p> <p><b>element</b> [1] 194:21</p> <p><b>eliminated</b> [1] 254:21</p> <p><b>elsewhere</b> [6] 15:18 16:15 127:8 273:3,5 317:18</p> <p><b>embedded</b> [1] 309:5</p> <p><b>emergencies</b> [2] 178:18 178:20</p> <p><b>emergency</b> [1] 178:9</p> <p><b>emphasis</b> [3] 83:2,4,19</p> <p><b>emphasizes</b> [1] 39:5</p> <p><b>emphasizing</b> [1] 229:5</p> <p><b>employment</b> [1] 78:6</p> <p><b>enables</b> [1] 32:20</p> <p><b>enclosed</b> [3] 90:21 156:4 182:12</p> <p><b>encompass</b> [1] 327:13</p> <p><b>encompassing</b> [1] 327:9</p> <p><b>encourage</b> [1] 81:21</p>	<p><b>end</b> [24] 5:17 11:1 19:5,6 28:13 62:24 82:25 87:23 96:17 103:17 111:4 114:18 127:2,14 163:14 169:7 192:6 228:17 231:2 248:11 252:11 289:7 294:24 324:16</p> <p><b>ends</b> [1] 36:23</p> <p><b>Enjoy</b> [1] 356:11</p> <p><b>enlarged</b> [2] 179:3,5</p> <p><b>ensure</b> [8] 51:4 145:20 173:7 243:22 245:12 289:12 299:6 345:8</p> <p><b>ensuring</b> [1] 28:16</p> <p><b>enter</b> [2] 171:18 253:17</p> <p><b>entered</b> [12] 5:3,7,8 90:6 124:20 125:12 287:4,14 287:15 317:4 319:17 336:6</p> <p><b>entering</b> [1] 320:5</p> <p><b>enthusiastic</b> [1] 78:3</p> <p><b>entire</b> [3] 66:24 281:12 282:2</p> <p><b>entirely</b> [2] 333:24 334:4</p> <p><b>entitled</b> [2] 163:23 329:4</p> <p><b>entry</b> [5] 9:9 147:8 170:23 184:12 188:19</p> <p><b>envelopes</b> [1] 235:10</p> <p><b>envisage</b> [1] 119:24</p> <p><b>envisaged</b> [1] 131:22</p> <p><b>envisaging</b> [1] 51:22</p> <p><b>envisioned</b> [1] 120:4</p> <p><b>equal</b> [1] 63:12</p> <p><b>equally</b> [1] 342:15</p> <p><b>equate</b> [1] 274:15</p> <p><b>equipment</b> [2] 6:22 7:1</p> <p><b>ER</b> [109] 6:4 9:20 10:9 13:23 48:8,23 54:1,7 55:24 56:14 62:8,11 65:14 67:3 69:6 84:13 84:16 85:12 88:8,9 91:9 91:20,23 92:4,11,12,14 93:7,20,22,23 95:11 96:7 100:16 104:16 105:3 108:19 112:20,21,22 113:2,9,22,25 116:3 125:1 131:20 132:1,7,15 132:25 133:4 134:4 136:5 136:18,23 137:3,5,18 138:1 139:4 147:19,20 151:25 156:24 163:4 165:14 182:20 186:16 187:2 188:1,4,6,17 193:20 194:9 195:1 199:8 209:10,24 213:23 215:24 216:7 218:14 228:13,24 229:16 233:16 234:1,14 235:7 245:11 254:2 260:5 268:12 271:1 277:3 298:15 300:11 309:5 313:10 316:17 331:22 339:12,13 340:3,10 352:3 352:9</p> <p><b>ER/Pr</b> [39] 12:25 17:7 21:6 34:11 38:3 39:9 57:16 80:17,23 90:16 112:17 125:5 126:7</p>
--	---	---	---	---

Inquiry on Hormone Receptor Testing

<p>140:15 149:17 156:4,7 175:2 181:20 182:17 186:21 188:15 195:8 212:21 216:15 218:11,12 229:21,23 233:14 243:18 243:20 253:9 285:10 296:10 309:19 318:8 328:3 329:4 <b>error</b> [3] 73:9 154:16 155:2 <b>errors</b> [1] 171:22 <b>ERs</b> [17] 50:23 89:18,24 90:13 95:8 104:22 208:8 213:19 227:18 228:5 253:3,5 260:9 298:5 309:7 351:20 352:5 <b>especially</b> [1] 25:18 <b>essential</b> [2] 247:10 248:16 <b>established</b> [3] 75:14 77:19 80:17 <b>establishment</b> [2] 75:9 81:7 <b>estimate</b> [2] 111:17 354:6 <b>estimated</b> [1] 85:7 <b>estimating</b> [1] 85:11 <b>estrogen</b> [14] 7:15 49:22 84:6 89:14 104:20 182:11 217:19,21 219:12 221:14 222:4 247:1,3 298:19 <b>estrogren</b> [1] 327:4 <b>et</b> [5] 1:9 157:9 195:8 256:23 266:9 <b>etcetera</b> [1] 195:18 <b>evaluation</b> [4] 27:17 37:6 170:17 240:1 <b>evaluations</b> [1] 252:8 <b>evening</b> [1] 231:22 <b>event</b> [2] 46:1 48:10 <b>eventually</b> [1] 43:22 <b>everybody</b> [3] 43:15 117:12 118:9 <b>evidence</b> [4] 5:8 12:4 121:12 273:13 <b>evolving</b> [1] 211:2 <b>ex</b> [1] 345:7 <b>exact</b> [4] 128:10 213:22 265:13 314:21 <b>exactly</b> [8] 8:21 12:3 43:16 106:15 152:11 270:3,3 286:21 <b>Examination</b> [3] 2:3 5:11 236:12 <b>examinations</b> [1] 250:13 <b>examining</b> [2] 335:16 335:19 <b>example</b> [10] 73:2 100:8 127:25 144:20 178:8 185:8 269:8 304:25 324:14,22 <b>Excel</b> [3] 170:7 171:20 310:5 <b>excellent</b> [1] 181:1</p>	<p><b>except</b> [3] 73:14 91:23 178:18 <b>exchange</b> [1] 334:19 <b>exchanged</b> [1] 210:23 <b>exchanges</b> [1] 237:18 <b>excision</b> [1] 268:15 <b>Excuse</b> [1] 177:6 <b>executive</b> [4] 45:9 53:10 169:22 251:12 <b>exhibit</b> [10] 3:2,3 4:6 4:25 5:3,4,8,15 7:9 9:6 10:6,18 11:8 12:18 14:5 24:16 27:4 28:12 33:12 37:21 45:18 49:15 52:9 55:20 61:4 65:8 68:1 73:19 83:25 89:10 91:17 96:23 102:20 105:21 107:13 115:20 124:9 126:3,6 135:5 141:22 142:13 143:20 147:16 152:14 153:8 155:24 156:8 158:1 162:2 163:1 172:1 180:9,11 181:18 185:22 192:12 198:12 209:6 211:24 212:2 216:9 217:10 219:6 221:7 223:22 230:11 235:3 236:8 237:3 240:3,13 242:1 244:12 246:14,15 264:23 287:4,15,15 296:4 298:12 302:2 306:22 310:13 313:1 314:25 315:15 319:21 323:12 325:13 326:22 328:13 329:19 331:1 334:18 344:22 346:24 349:20 351:12 352:20 <b>EXHIBITS</b> [1] 3:1 <b>existed</b> [1] 173:21 <b>exit</b> [14] 260:24 262:10 264:8,9,19 286:8 287:19 287:20 288:10 291:7,14 293:8,14 298:16 <b>expect</b> [6] 217:25 219:13 221:14 292:23 329:13 339:15 <b>expectation</b> [1] 246:4 <b>expected</b> [4] 113:1 200:16 292:17 324:9 <b>expecting</b> [1] 334:13 <b>expeditious</b> [1] 56:15 <b>expensive</b> [1] 208:4 <b>experience</b> [2] 30:23 331:20 <b>experienced</b> [2] 246:24 327:2 <b>experiencing</b> [3] 87:19 261:16 270:7 <b>expert</b> [3] 38:23 62:14 345:10 <b>expertise</b> [1] 348:2 <b>experts</b> [1] 13:12 <b>explain</b> [1] 28:4 <b>Explained</b> [1] 194:14 <b>explains</b> [1] 340:8 <b>explanation</b> [3] 150:4</p>	<p>338:23 339:19 <b>explicitly</b> [1] 248:2 <b>explore</b> [1] 11:15 <b>exposed</b> [1] 77:21 <b>express</b> [5] 79:1 213:5 248:5 249:18 318:13 <b>expressed</b> [5] 121:20 208:13 254:4 279:6 291:25 <b>expressing</b> [2] 122:21 123:7 <b>expression</b> [1] 272:25 <b>extends</b> [2] 240:13 247:3 <b>extent</b> [6] 119:19 121:25 125:9 146:17 155:16 187:10 <b>external</b> [11] 54:3 136:17 138:6 240:11 265:1 287:20 294:8 295:3 327:22,24 350:3 <b>extra</b> [3] 14:1 206:21 252:14</p> <hr/> <p style="text-align: center;"><b>-F-</b></p> <hr/> <p><b>f</b> [3] 45:21 158:16 343:22 <b>facilitate</b> [1] 249:18 <b>fact</b> [32] 26:1 40:18,24 41:7 50:23 57:12 66:23 67:2 68:19 75:20 76:4 100:23 106:20 107:3 113:8 117:22 123:21 137:10 138:15 148:2 151:20 155:21 167:15 168:2 185:7 193:11 276:23 293:19 314:24 323:7 340:8 343:22 <b>factor</b> [1] 103:2 <b>failure</b> [7] 195:5 255:8 272:11 273:1,7 294:3,6 <b>faint</b> [1] 158:16 <b>fair</b> [4] 71:6,20 325:7 342:20 <b>Fairmont</b> [1] 262:6 <b>fall</b> [5] 73:4,8 237:19 238:18 327:21 <b>falling</b> [1] 243:23 <b>Falls</b> [7] 128:1 199:2 205:13 317:20 323:23 324:22,24 <b>Falls/Corner</b> [1] 323:24 <b>false</b> [6] 86:10 88:10,11 89:2,3 273:13 <b>far</b> [5] 11:21,25 20:23 247:3 331:17 <b>farm</b> [1] 333:8 <b>fashion</b> [2] 275:3 299:8 <b>fast</b> [2] 101:5,7 <b>fat</b> [1] 204:4 <b>faulty</b> [2] 272:15,20 <b>favour</b> [1] 80:1 <b>favouring</b> [1] 166:12 <b>fax</b> [3] 104:25 344:22,23 <b>faxed</b> [4] 49:17 182:20 188:19 236:9</p>	<p><b>FDA</b> [1] 208:15 <b>fear</b> [1] 166:6 <b>fed</b> [1] 345:21 <b>fee</b> [1] 52:17 <b>feedback</b> [4] 230:6 282:16,19 351:2 <b>feeding</b> [1] 140:13 <b>feeling</b> [3] 88:3 167:21 169:10 <b>feelings</b> [1] 282:21 <b>feels</b> [1] 65:22 <b>feet</b> [1] 354:16 <b>Felix</b> [5] 308:13,25 311:5 320:16 321:23 <b>fell</b> [1] 100:20 <b>fellow</b> [2] 234:7 278:16 <b>fellowship</b> [1] 39:2 <b>felt</b> [8] 41:25 66:21 88:8 112:23 122:18 133:10 263:6 295:11 <b>few</b> [14] 13:1,22,25 23:25 137:1 150:25 191:4 218:1 219:14 221:15 250:10 272:23 286:19 354:25 <b>fifth</b> [2] 107:16 126:11 <b>figure</b> [4] 77:14 84:15 114:15 333:5 <b>figured</b> [1] 258:2 <b>figures</b> [6] 61:24 84:5 306:19,20 332:2 333:7 <b>figuring</b> [2] 202:4 334:15 <b>file</b> [1] 328:20 <b>fill</b> [5] 28:25 29:8 30:24 31:23 90:14 <b>filled</b> [7] 26:20 28:17 31:7,10 104:24 236:23 321:7 <b>filling</b> [3] 28:24 29:4 191:23 <b>final</b> [2] 43:17 170:23 <b>finally</b> [5] 162:8 210:14 229:12 319:10 320:24 <b>Finances</b> [1] 250:21 <b>financial</b> [5] 83:6 129:15 129:20 130:2 350:7 <b>finding</b> [1] 85:13 <b>findings</b> [1] 32:25 <b>fine</b> [4] 109:12 221:5 275:20 330:20 <b>finished</b> [1] 259:11 <b>firm</b> [2] 69:2 166:14 <b>firmly</b> [1] 276:12 <b>first</b> [53] 7:21,24 21:6 38:25 52:20 60:5 61:15 69:19,21 79:22 92:18 107:2,14 114:19 120:19 121:21 122:7 129:9 130:15,22 131:14 142:3 145:25 173:19 176:22 180:16 182:23 189:9 193:24 196:11,14 203:7 212:5 222:1 227:17 230:24 231:19 248:20,21</p>	<p>254:5,7 255:20 261:25 264:11 283:17 291:22 296:14 299:3 302:25 303:17 331:2 334:20 335:20 <b>five</b> [18] 8:3 30:12 33:25 83:1 101:11 105:23 112:22,24 113:21 126:5 142:9 157:7 170:12 218:4 250:23 272:7 326:6 337:23 <b>fixation</b> [57] 160:16,20 161:3,4,6 173:1,3,22,23 186:3 187:4,15,17,19,21 188:1 190:24 191:5 247:13 254:17 256:9,10 256:11,12,20 257:5 268:11,18 274:1,5,5,10 274:15,18 275:4,4,14,17 275:21 276:6,12 281:15 289:10,15 298:20,24 300:12 337:11 339:8,10 342:12,15 344:6,7,14,15 344:18 <b>fixative</b> [1] 268:14 <b>fixed</b> [6] 28:15 340:1,2 340:10,22 342:5 <b>Fleming</b> [4] 164:4 181:4 191:13,23 <b>Fleming's</b> [1] 191:17 <b>flipping</b> [2] 257:16 260:18 <b>flood</b> [1] 214:5 <b>flow</b> [3] 57:9 136:13 228:23 <b>focus</b> [4] 83:23 113:8 272:3 293:2 <b>follow</b> [8] 13:10 25:20 26:2 57:25 298:9 299:22 311:22 312:11 <b>follow-up</b> [2] 55:25 56:11 <b>followed</b> [3] 188:21 229:11,11 <b>following</b> [18] 12:21 44:10 74:12,13 84:4 96:18 105:4 119:1 156:5 163:15 173:18 218:3 219:15 221:17 261:22 283:24 298:16 350:3 <b>follows</b> [1] 221:20 <b>Fontaine</b> [27] 46:5,5,10 47:16,19 56:6 58:23 59:24 74:8 108:5,10,15 108:25 162:15 172:8 206:25 246:18,22 249:5 249:14 250:8 262:3,5 326:24 327:18,20 347:5 <b>footnote</b> [1] 268:17 <b>forefront</b> [1] 38:21 <b>foregoing</b> [1] 357:2 <b>forewarning</b> [1] 249:4 <b>forget</b> [2] 102:21 257:14 <b>Forgive</b> [1] 202:3 <b>form</b> [16] 26:3,7,13,16 28:14,25 29:25 90:15,21 104:23,25 169:20 236:13</p>
--	--	--	---	---

<p>236:15,16 322:3 <b>formal</b> [2] 301:23 322:8 <b>formalin</b> [8] 172:22 173:1 175:7 179:15,25 254:17 268:11 298:24 <b>Formalized</b> [1] 91:17 <b>format</b> [10] 13:18 170:3 170:19 220:7 232:19 298:4,8 309:14 319:12 322:12 <b>formation</b> [2] 27:23 297:13 <b>forms</b> [14] 25:11 26:8 27:12,14,25 28:9,16,24 29:8,22 30:25 31:24 170:9 236:23 <b>formulating</b> [1] 246:12 <b>forth</b> [4] 259:11 270:5 282:14 293:20 <b>forward</b> [23] 17:13,16 18:5 21:13 26:8 90:15 90:22 105:7 119:22 201:20 218:14 219:1 220:17 227:25 232:11,12 234:15 238:12 243:21 310:6 337:21 350:7 352:8 <b>forwarded</b> [18] 17:9 18:12,19 89:24 90:12 92:5 105:6 170:16 171:23 172:23 235:18 237:13 238:4 286:10 299:7,9 300:17 335:9 <b>forwarding</b> [6] 5:24 18:14 23:4 217:4 239:15 296:10 <b>found</b> [8] 21:14 27:13 41:20 64:18 107:2 149:20 179:5 313:23 <b>Foundation</b> [1] 145:19 <b>four</b> [16] 8:2 51:24 108:8 109:13 126:12 140:4 142:9,21 195:14 198:22 250:15,23 272:12 276:16 326:5 <b>four-page</b> [1] 7:10 <b>fourth</b> [8] 8:2 9:8 10:6 10:18 107:16 130:15,22 331:15 <b>frame</b> [4] 152:5,12 166:22 177:2 <b>Fraser</b> [1] 245:20 <b>free</b> [2] 219:19 296:1 <b>freeing</b> [1] 252:11 <b>frequent</b> [1] 293:1 <b>Friday</b> [7] 169:17 233:10 262:10 299:4,5 301:1,9 <b>fridge</b> [1] 22:6 <b>front</b> [3] 206:19 289:9 289:14 <b>frozen</b> [3] 178:3,25 180:4 <b>full</b> [5] 67:15 78:5 170:14 196:17 202:12 <b>fully</b> [4] 38:19 41:8 248:18,20 <b>functioning</b> [1] 248:18 <b>funding</b> [4] 82:2,9,21</p>	<p>206:22 <b>future</b> [3] 16:13 245:12 310:21 <hr/><b>-G-</b><hr/><b>Gallagher</b> [4] 188:10 189:8,25 209:9 <b>Gander</b> [3] 188:11 191:10 198:18 <b>Gander's</b> [1] 191:8 <b>Gander/Carbonear</b> [1] 323:23 <b>Gardiner</b> [2] 68:4 147:3 <b>Gary</b> [3] 209:17,18 242:18 <b>gather</b> [9] 4:10 73:20 113:6 119:7 142:18 149:6 198:14 212:1 346:9 <b>general</b> [34] 17:22 18:24 46:3 56:5 77:6,16 82:10 82:15 91:9 108:16 109:3 109:5 137:11 149:23 150:3 151:25 156:3 172:8 188:20,22 229:17 253:9 257:9 258:20 259:25 261:14,23 262:21 266:4 269:8 280:18 281:11 282:23 328:10 <b>generalist</b> [2] 271:21 272:2 <b>generally</b> [8] 31:7,10 66:18 137:18 138:2 185:20 190:10 267:14 <b>generate</b> [2] 145:17 310:6 <b>generated</b> [3] 39:10 145:21 322:1 <b>geographic</b> [1] 324:2 <b>George</b> [5] 38:8 164:4 219:8 242:20 321:22 <b>Gershon</b> [1] 45:23 <b>Gillian</b> [1] 242:9 <b>given</b> [21] 13:16 23:11 30:8 53:20 57:2 93:5,18 101:5 102:16 110:10 130:1 132:2 146:5 155:15 167:1 180:14 224:23 234:6 263:2 306:3 329:3 <b>giving</b> [3] 62:2 197:22 211:14 <b>glandular</b> [1] 186:18 <b>glean</b> [1] 6:25 <b>gleaned</b> [2] 157:13 190:1 <b>go-between</b> [1] 238:22 <b>go-forward</b> [2] 16:12 18:7 <b>goes</b> [12] 25:25 27:22 29:16 33:1 38:7 68:24 184:25 247:5,10 248:3 300:21,22 <b>gone</b> [9] 26:8 55:16 165:22 178:2 182:5 184:8 215:24 336:19 344:6 <b>good</b> [37] 5:14 29:13,14 29:15 31:19 32:20 57:9</p>	<p>66:22 69:24 70:21 154:19 154:21,23 171:19 195:12 231:16 232:12,12,13,15 232:17 233:14 235:8 237:6 238:4 254:18 270:2 274:11 275:13 289:8 290:5,9,19 303:13 305:8 307:23 344:9 <b>Government</b> [1] 261:20 <b>Gown</b> [2] 35:12 37:2 <b>Gown's</b> [2] 37:10,10 <b>GPs</b> [4] 118:23 123:21 123:25 124:3 <b>Grace</b> [2] 108:14 180:15 <b>grade</b> [4] 186:8,12 187:1 195:2 <b>Grand</b> [7] 128:1 199:2 205:13 317:20 323:23 324:22,24 <b>great</b> [7] 66:16 125:8 210:15 300:9 301:19,21 318:7 <b>greater</b> [9] 65:6 83:23 208:11 252:5 262:25 268:18 270:12 349:1,14 <b>greatly</b> [3] 85:6 216:17 292:3 <b>Green</b> [4] 21:24 104:10 104:14 205:14 <b>grew</b> [2] 44:3,4 <b>gritty</b> [1] 297:18 <b>gross</b> [2] 249:17 250:13 <b>grossing</b> [7] 79:16 247:17 248:10 250:10 256:15,16 274:3 <b>group</b> [13] 70:6 88:7 127:1 157:4 195:7 197:11 250:12,14,14 271:16,25 276:1 338:4 <b>grouping</b> [5] 115:5 176:18 182:23 284:15 285:6 <b>groups</b> [2] 57:10 258:23 <b>guarantee</b> [5] 78:7 116:11 117:17 230:25 306:25 <b>guess</b> [9] 8:20 140:16 165:8 183:23 206:2 211:3 212:21 241:19 348:15 <b>guidance</b> [5] 41:11 57:6 217:8 328:6 348:1 <b>guide</b> [1] 332:25 <b>Gulliver</b> [52] 40:23 45:20 46:20 56:11 58:1 58:11,11 59:5 65:10,12 82:10 89:12 91:20 93:6 93:18 97:13 104:5,9 107:15 110:11 115:23 116:25 129:24 161:8,16 180:12 183:22 197:25 198:16 213:14,16 215:23 217:3 246:17,23 261:1 262:1,19 263:6 291:9 323:17 326:23 327:19 328:16,21,24 347:5 349:13,23 350:12,18 351:19</p>	<p><b>gynecology</b> [2] 25:19 31:21 <hr/><b>-H-</b><hr/><b>H</b> [1] 175:6 <b>H&amp;E's</b> [1] 259:6 <b>half</b> [8] 111:14,21 112:1 210:25 259:9 318:15 355:5 356:5 <b>hand</b> [2] 48:23 57:14 <b>handle</b> [7] 51:1 145:25 201:19 237:9 297:3 300:20,24 <b>handled</b> [3] 179:1 276:13 315:24 <b>handling</b> [2] 314:3 315:17 <b>hands</b> [1] 38:16 <b>handwriting</b> [30] 14:7 14:8 49:18 61:8 74:1,2,3 97:18 105:22 142:23 143:16 156:14,16 158:2 158:17 163:19,19 172:14 183:5 192:12,15 242:2 243:4 244:13,15 288:15 304:9 313:3 320:10,11 <b>handwritten</b> [22] 135:10 139:11,16 141:24 156:8 156:9 161:22 162:3 180:10 181:13 182:4 184:2,5,17,19 185:23 198:14 212:2 302:21 310:14 329:20,21 <b>happening</b> [12] 8:16 20:22 44:23 58:9 203:17 204:12 301:24 322:21 328:2,3 335:23 337:13 <b>happy</b> [5] 39:1 78:15 151:17,20 350:22 <b>hard</b> [19] 90:11 101:4,7 139:12 171:12,22,23 263:7 303:4,18,19,23 305:6 310:4,6,7 319:8 332:18 334:9 <b>harder</b> [2] 59:8,8 <b>Hay</b> [3] 79:22 249:8,10 <b>he'd</b> [1] 356:1 <b>head</b> [1] 263:18 <b>headed</b> [1] 271:13 <b>heading</b> [2] 272:10 283:18 <b>heads</b> [3] 197:22 200:17 211:15 <b>health</b> [35] 1:11,17 29:5 29:21 38:3,12 39:4 42:1 49:24 76:23 83:21 84:7 84:14,19 89:12,19 91:19 123:3 165:11,21 171:13 172:2 208:15 228:12 232:18 234:15 237:22,23 242:19 246:19 248:7 314:11 315:22 316:23 323:24 <b>hear</b> [4] 56:13 62:18 349:4,5 <b>heard</b> [6] 27:2 121:12</p>	<p>196:14 203:7 349:7 357:5 <b>hearing</b> [1] 196:12 <b>heart</b> [1] 319:4 <b>heat</b> [1] 268:15 <b>Heather</b> [27] 55:23 56:2 56:4,19 57:2 61:5 68:3 68:25 74:9 88:20 108:2 115:22 124:17 130:14 131:3,3 145:17 147:4 149:21 150:19 240:4,10 262:20 312:20 321:24 325:14 326:17 <b>heavy</b> [2] 128:19 208:6 <b>Heidi</b> [1] 242:13 <b>held</b> [3] 55:25 83:11 280:20 <b>help</b> [9] 42:2 47:14 50:8 50:13,24 145:24 163:18 249:16 345:11 <b>henceforth</b> [1] 89:17 <b>Hennebury</b> [1] 1:9 <b>Hennessey</b> [2] 164:7,9 <b>HER2/neu</b> [9] 205:20 206:12,16,19 207:8,10 208:3,14,21 <b>HER2/neus</b> [2] 206:5 208:9 <b>Herceptin</b> [2] 206:9,11 <b>hereby</b> [1] 357:2 <b>herself</b> [1] 41:18 <b>hesitant</b> [3] 203:10 248:8 333:6 <b>hesitate</b> [1] 296:12 <b>Hi</b> [1] 124:19 <b>high</b> [7] 186:8,12 187:1 194:25 266:24 281:16 284:21 <b>higher</b> [1] 157:22 <b>highlight</b> [2] 321:4,8 <b>highlighted</b> [4] 281:14 281:18 282:11 321:9 <b>highly</b> [4] 78:2,18 289:17 289:23 <b>himself</b> [2] 68:4 334:4 <b>hindsight</b> [3] 120:14,21 120:22 <b>hiring</b> [2] 79:12 252:14 <b>HIROC</b> [1] 37:4 <b>histochemical</b> [2] 30:11 246:5 <b>histological</b> [1] 27:17 <b>histology</b> [4] 29:14 60:23 61:2 108:17 <b>historic</b> [1] 72:22 <b>historically</b> [1] 47:1 <b>history</b> [6] 27:15 29:9 29:14 31:24 32:17,20 <b>hit</b> [1] 319:8 <b>hold</b> [9] 49:21 50:23 87:16 89:17 104:21 165:3 167:21 188:15 218:10 <b>holding</b> [2] 34:11 166:14 <b>holidays</b> [1] 205:8</p>
---	---	---	--	---

<p><b>honestly</b> [1] 83:11  <b>Honourable</b> [2] 1:3 357:6  <b>hope</b> [3] 215:5 231:17 347:18  <b>hopefully</b> [3] 163:14 166:23 198:25  <b>hoping</b> [1] 163:11  <b>hormonal</b> [2] 85:8 131:19  <b>hormone</b> [4] 1:2 38:15 331:23 357:4  <b>hospital</b> [23] 15:8 46:4 85:14 90:5 91:2 92:9 108:16,25 117:24 148:10 149:23 150:4 151:25 171:11 172:9 181:24 188:19 261:23 281:11 297:4 321:19 328:10 349:22  <b>Hospital's</b> [1] 269:9  <b>hospitals</b> [6] 6:3 41:2 43:6 128:6 214:21 235:13  <b>Hotel</b> [1] 252:24  <b>hotline</b> [2] 118:17,18  <b>hour</b> [5] 210:25 291:5 318:15,16 355:5  <b>hours</b> [5] 173:5 237:10 259:9,9 300:22  <b>house</b> [8] 16:16,19,25 18:15,17,18 20:9 312:18  <b>Howse</b> [1] 242:19  <b>HSC</b> [1] 181:23  <b>human</b> [3] 83:5 194:21 350:7  <b>hundred</b> [2] 67:9 142:9  <b>hundreds</b> [6] 122:9 213:17,19,20 305:20 334:13  <b>Hunt</b> [8] 311:5 314:2,8 314:11 315:17,23 316:4 321:22  <b>Hunt's</b> [1] 315:9</p>	<p>68:25 78:2 107:24 125:1 162:15 195:6 243:20 292:23 338:5 350:5  <b>identifying</b> [3] 116:3 136:4 257:13  <b>IHC</b> [34] 60:21,24 67:8 76:23 89:25 90:15,16 104:23 137:7,10,22 138:2 138:3,11 182:11 230:2 247:8,10,13 248:23,25 253:5,11,13 259:21,24 260:6,10 298:18 327:3 347:11,12 348:17 350:8  <b>imagine</b> [2] 212:16 318:11  <b>imaging</b> [1] 29:11  <b>immediate</b> [1] 16:13  <b>immediately</b> [4] 122:19 172:23 300:17 347:23  <b>immersed</b> [1] 172:21  <b>immuno</b> [3] 75:14 76:16 82:16  <b>immunohisto</b> [1] 249:15  <b>immunohistochemical</b> [10] 50:2 60:2 66:24 104:25 245:14 246:25 259:2,7 288:21 321:6  <b>immunohistochemistry</b> [15] 45:22,24,25 46:21 47:10 48:12 52:14 56:1 57:17 60:7,9 240:12 265:2 349:21 350:6  <b>immunoperoxidase</b> [20] 9:2 34:7 37:5 74:11 75:10,12 78:6,19 81:9 188:21 194:14 213:22 245:10 289:11,23,25 347:8,13,17,21  <b>immunostains</b> [1] 30:11  <b>immunotechnologists</b> [1] 82:3  <b>impact</b> [5] 133:13 195:20 206:11 261:17 334:16  <b>impacted</b> [1] 331:24  <b>Impala</b> [1] 156:2  <b>implication</b> [1] 266:23  <b>importance</b> [2] 29:13 32:19  <b>important</b> [3] 27:16 256:24 348:1  <b>impress</b> [1] 25:13  <b>impression</b> [4] 6:18 7:4 146:14 157:19  <b>improve</b> [1] 26:14  <b>improvement</b> [1] 301:19  <b>improvements</b> [2] 25:17 245:11  <b>in-depth</b> [1] 211:8  <b>in-house</b> [1] 215:5  <b>inadequate</b> [3] 268:15 274:2 276:17  <b>inaudible</b> [2] 263:20 268:1  <b>incidents</b> [1] 272:23</p>	<p><b>include</b> [5] 62:23 111:7 281:14 312:10 344:1  <b>included</b> [3] 137:11 175:14 321:21  <b>includes</b> [2] 72:10 221:11  <b>including</b> [5] 34:4 52:17 70:6 124:11 325:15  <b>inconsistency</b> [1] 335:1  <b>incorporated</b> [1] 297:4  <b>incorrect</b> [1] 178:12  <b>increased</b> [3] 82:21 129:15 261:21  <b>incubation</b> [1] 254:19  <b>incurred</b> [2] 50:12 52:16  <b>indeed</b> [1] 326:13  <b>independent</b> [5] 92:12 93:23 218:15 313:16 316:8  <b>index</b> [4] 53:23 146:9 194:12 211:1  <b>indicate</b> [3] 36:11 49:19 189:25  <b>indicated</b> [14] 4:13 5:23 49:17 53:12 104:3 106:19 160:15 161:21 176:9 272:24 273:18 279:7,14 280:7  <b>indicates</b> [1] 335:20  <b>individual</b> [28] 6:17 21:2 21:4 37:7 41:22 54:2 72:7,7 100:3,23 143:18 167:23 168:8 189:14 190:21 200:4 210:1,2,4 216:17 217:6 292:2 300:24 310:21 325:24 326:2,18 330:8  <b>individually</b> [2] 20:16 168:2  <b>individuals</b> [23] 47:1 53:18,19 77:6 78:3,5,12 78:20,21 79:14 83:22 117:18 124:11 126:8 157:11 183:23 261:25,25 280:2 283:13 299:10 311:22 325:15  <b>induced</b> [1] 268:15  <b>infiltrating</b> [1] 68:23  <b>inform</b> [1] 37:25  <b>information</b> [57] 12:1 25:1,15,18 26:5,14 29:22 30:16 52:18 53:25 57:10 90:5 91:2 92:10 93:5,17 112:25 113:20 119:18 134:25 136:13 140:13 142:18 146:6 148:5,10 150:1,20 157:13 165:2,3 167:5 171:11 182:14 183:20 188:20 195:2,16 210:16,23 218:1 219:14 221:15 231:9 239:8,9 245:13 297:4 299:9 303:23 310:22,22 312:19 321:20 332:25 345:8 350:19  <b>informed</b> [3] 161:8 167:23 345:2</p>	<p><b>informing</b> [2] 118:23 123:25  <b>initial</b> [8] 16:15 50:21 53:14 87:2 108:20 153:10 254:3 267:6  <b>initiatives</b> [1] 27:9  <b>injected</b> [1] 138:21  <b>input</b> [6] 119:5,14 140:11 192:2,4 334:6  <b>inquire</b> [1] 339:21  <b>inquiries</b> [9] 24:4 45:24 46:2 47:8,9 49:7 152:15 204:25 230:21  <b>Inquiry</b> [3] 1:1 357:4,7  <b>inside</b> [2] 159:22 279:5  <b>instance</b> [2] 78:18 272:4  <b>instances</b> [1] 72:24  <b>institution</b> [2] 247:12 326:8  <b>institutions</b> [4] 43:7 259:15 326:10,11  <b>instruction</b> [1] 23:11  <b>instruments</b> [4] 65:13 65:16,21,23  <b>Integrated</b> [2] 1:10,17  <b>intended</b> [1] 199:16  <b>intent</b> [2] 158:24 351:23  <b>intents</b> [1] 95:4  <b>interaction</b> [3] 74:10 264:13 291:3  <b>interest</b> [1] 208:13  <b>interested</b> [2] 239:23,24  <b>interfere</b> [1] 173:3  <b>interim</b> [1] 336:23  <b>internal</b> [17] 73:2 153:22 158:9 257:10,14 258:15 266:24 276:19 277:4,12 278:17,18 279:7,8,16 281:15 349:21  <b>internationally</b> [1] 38:23  <b>internet</b> [1] 292:10  <b>interns</b> [1] 31:11  <b>interpretation</b> [30] 17:10,12,19,19 18:21 29:15 32:16,21 47:15 71:15 72:6,9,16 73:14 85:6 90:21 94:13,14,17 142:19 148:8 151:23 182:10,15,20 190:17 211:5 260:9 318:9 347:18  <b>interpretations</b> [6] 17:25 18:1 71:1 91:7 188:5 190:10  <b>interpretative</b> [1] 50:3  <b>interpreted</b> [1] 190:13  <b>interpreting</b> [3] 72:17 94:11 96:14  <b>interpretive</b> [2] 71:8 73:8  <b>interrupt</b> [1] 32:1  <b>interval</b> [1] 173:17  <b>interview</b> [13] 56:6 262:11 264:8,9,19,21</p>	<p>286:8 287:20 288:10 291:7,15 293:8,14  <b>interviewed</b> [1] 234:13  <b>interviews</b> [2] 55:25 298:16  <b>intro</b> [1] 222:1  <b>introduce</b> [1] 248:6  <b>introduced</b> [1] 261:24  <b>introduction</b> [1] 247:19  <b>invalid</b> [2] 73:6 153:23  <b>investigate</b> [3] 47:18 152:22 346:3  <b>investigated</b> [1] 85:9  <b>investigating</b> [1] 85:18  <b>investigation</b> [4] 38:2 85:23 294:5 295:1  <b>investigations</b> [1] 294:2  <b>involve</b> [2] 77:20 315:14  <b>involved</b> [24] 42:5 56:1 60:6,8 101:14 117:23 119:16 124:2 149:1 183:24 213:15 216:14,22 249:21 251:19 286:5,7,8 304:19 306:9,10 315:23 347:15,17  <b>involvement</b> [4] 115:25 191:17 195:3 217:1  <b>involves</b> [2] 71:7 248:9  <b>involving</b> [5] 60:22 71:17 247:15 331:3 351:24  <b>IP</b> [1] 347:13  <b>isolation</b> [1] 33:3  <b>issue</b> [72] 11:24 13:23 24:1,1,25 25:3 27:25 29:17,18,20 47:22 48:8 48:23 56:3,8,17 57:10 57:14,16,19 62:21 63:5 63:6,13 71:25 74:9 88:9 118:23 121:4 124:1 146:17 165:15 169:8 171:22 174:3 188:16 194:9 202:25 203:16,20 208:2 212:21 217:8,25 222:13,25 223:10 233:16 234:15 239:24 243:18 256:20 258:16,25 262:21 267:11 273:19 281:14 290:1 292:3 300:6 312:10 315:15 318:8,23 320:20 321:19 322:22 328:6 345:23 353:22,25  <b>issued</b> [2] 92:8 322:24  <b>issues</b> [60] 38:6 44:8,11 44:25 55:24 56:12 58:12 60:19 62:16 66:19 70:25 71:8,8,10 136:4 155:21 160:15,20 161:2 190:5 211:2,5 214:14 262:21 263:2,7 266:6,7,23,24 266:25 267:1,20 270:5 271:17 281:13,15,15,16 281:17 282:9,10,13,25 283:3,3,4 289:9,9 292:8 292:9 298:18 299:21 300:10 316:17 327:11,13 328:1 329:25 345:22</p>	
<p><b>-I-</b></p>		<p><b>ID</b> [2] 35:8 36:9  <b>ID'ed</b> [1] 35:4  <b>idea</b> [37] 15:17 17:12,15 18:21 49:6 70:21 75:19 75:20 76:4,5,15 80:1 85:5 101:23 108:9 119:4 123:20 139:18 140:24 154:21,23 168:8 195:12 196:23 211:12 215:12 217:24 222:12,24 223:10 274:10,11 305:16 306:3 333:8 338:17 339:25  <b>Ideally</b> [1] 299:4  <b>identification</b> [1] 116:23  <b>identified</b> [12] 53:25 56:12 79:14 84:16 117:13 118:21 146:8 247:5 266:7 293:19 298:18 329:13  <b>identify</b> [12] 37:4 55:12</p>	<p><b>include</b> [5] 62:23 111:7 281:14 312:10 344:1  <b>included</b> [3] 137:11 175:14 321:21  <b>includes</b> [2] 72:10 221:11  <b>including</b> [5] 34:4 52:17 70:6 124:11 325:15  <b>inconsistency</b> [1] 335:1  <b>incorporated</b> [1] 297:4  <b>incorrect</b> [1] 178:12  <b>increased</b> [3] 82:21 129:15 261:21  <b>incubation</b> [1] 254:19  <b>incurred</b> [2] 50:12 52:16  <b>indeed</b> [1] 326:13  <b>independent</b> [5] 92:12 93:23 218:15 313:16 316:8  <b>index</b> [4] 53:23 146:9 194:12 211:1  <b>indicate</b> [3] 36:11 49:19 189:25  <b>indicated</b> [14] 4:13 5:23 49:17 53:12 104:3 106:19 160:15 161:21 176:9 272:24 273:18 279:7,14 280:7  <b>indicates</b> [1] 335:20  <b>individual</b> [28] 6:17 21:2 21:4 37:7 41:22 54:2 72:7,7 100:3,23 143:18 167:23 168:8 189:14 190:21 200:4 210:1,2,4 216:17 217:6 292:2 300:24 310:21 325:24 326:2,18 330:8  <b>individually</b> [2] 20:16 168:2  <b>individuals</b> [23] 47:1 53:18,19 77:6 78:3,5,12 78:20,21 79:14 83:22 117:18 124:11 126:8 157:11 183:23 261:25,25 280:2 283:13 299:10 311:22 325:15  <b>induced</b> [1] 268:15  <b>infiltrating</b> [1] 68:23  <b>inform</b> [1] 37:25  <b>information</b> [57] 12:1 25:1,15,18 26:5,14 29:22 30:16 52:18 53:25 57:10 90:5 91:2 92:10 93:5,17 112:25 113:20 119:18 134:25 136:13 140:13 142:18 146:6 148:5,10 150:1,20 157:13 165:2,3 167:5 171:11 182:14 183:20 188:20 195:2,16 210:16,23 218:1 219:14 221:15 231:9 239:8,9 245:13 297:4 299:9 303:23 310:22,22 312:19 321:20 332:25 345:8 350:19  <b>informed</b> [3] 161:8 167:23 345:2</p>	<p><b>informing</b> [2] 118:23 123:25  <b>initial</b> [8] 16:15 50:21 53:14 87:2 108:20 153:10 254:3 267:6  <b>initiatives</b> [1] 27:9  <b>injected</b> [1] 138:21  <b>input</b> [6] 119:5,14 140:11 192:2,4 334:6  <b>inquire</b> [1] 339:21  <b>inquiries</b> [9] 24:4 45:24 46:2 47:8,9 49:7 152:15 204:25 230:21  <b>Inquiry</b> [3] 1:1 357:4,7  <b>inside</b> [2] 159:22 279:5  <b>instance</b> [2] 78:18 272:4  <b>instances</b> [1] 72:24  <b>institution</b> [2] 247:12 326:8  <b>institutions</b> [4] 43:7 259:15 326:10,11  <b>instruction</b> [1] 23:11  <b>instruments</b> [4] 65:13 65:16,21,23  <b>Integrated</b> [2] 1:10,17  <b>intended</b> [1] 199:16  <b>intent</b> [2] 158:24 351:23  <b>intents</b> [1] 95:4  <b>interaction</b> [3] 74:10 264:13 291:3  <b>interest</b> [1] 208:13  <b>interested</b> [2] 239:23,24  <b>interfere</b> [1] 173:3  <b>interim</b> [1] 336:23  <b>internal</b> [17] 73:2 153:22 158:9 257:10,14 258:15 266:24 276:19 277:4,12 278:17,18 279:7,8,16 281:15 349:21  <b>internationally</b> [1] 38:23  <b>internet</b> [1] 292:10  <b>interns</b> [1] 31:11  <b>interpretation</b> [30] 17:10,12,19,19 18:21 29:15 32:16,21 47:15 71:15 72:6,9,16 73:14 85:6 90:21 94:13,14,17 142:19 148:8 151:23 182:10,15,20 190:17 211:5 260:9 318:9 347:18  <b>interpretations</b> [6] 17:25 18:1 71:1 91:7 188:5 190:10  <b>interpretative</b> [1] 50:3  <b>interpreted</b> [1] 190:13  <b>interpreting</b> [3] 72:17 94:11 96:14  <b>interpretive</b> [2] 71:8 73:8  <b>interrupt</b> [1] 32:1  <b>interval</b> [1] 173:17  <b>interview</b> [13] 56:6 262:11 264:8,9,19,21</p>	<p>286:8 287:20 288:10 291:7,15 293:8,14  <b>interviewed</b> [1] 234:13  <b>interviews</b> [2] 55:25 298:16  <b>intro</b> [1] 222:1  <b>introduce</b> [1] 248:6  <b>introduced</b> [1] 261:24  <b>introduction</b> [1] 247:19  <b>invalid</b> [2] 73:6 153:23  <b>investigate</b> [3] 47:18 152:22 346:3  <b>investigated</b> [1] 85:9  <b>investigating</b> [1] 85:18  <b>investigation</b> [4] 38:2 85:23 294:5 295:1  <b>investigations</b> [1] 294:2  <b>involve</b> [2] 77:20 315:14  <b>involved</b> [24] 42:5 56:1 60:6,8 101:14 117:23 119:16 124:2 149:1 183:24 213:15 216:14,22 249:21 251:19 286:5,7,8 304:19 306:9,10 315:23 347:15,17  <b>involvement</b> [4] 115:25 191:17 195:3 217:1  <b>involves</b> [2] 71:7 248:9  <b>involving</b> [5] 60:22 71:17 247:15 331:3 351:24  <b>IP</b> [1] 347:13  <b>isolation</b> [1] 33:3  <b>issue</b> [72] 11:24 13:23 24:1,1,25 25:3 27:25 29:17,18,20 47:22 48:8 48:23 56:3,8,17 57:10 57:14,16,19 62:21 63:5 63:6,13 71:25 74:9 88:9 118:23 121:4 124:1 146:17 165:15 169:8 171:22 174:3 188:16 194:9 202:25 203:16,20 208:2 212:21 217:8,25 222:13,25 223:10 233:16 234:15 239:24 243:18 256:20 258:16,25 262:21 267:11 273:19 281:14 290:1 292:3 300:6 312:10 315:15 318:8,23 320:20 321:19 322:22 328:6 345:23 353:22,25  <b>issued</b> [2] 92:8 322:24  <b>issues</b> [60] 38:6 44:8,11 44:25 55:24 56:12 58:12 60:19 62:16 66:19 70:25 71:8,8,10 136:4 155:21 160:15,20 161:2 190:5 211:2,5 214:14 262:21 263:2,7 266:6,7,23,24 266:25 267:1,20 270:5 271:17 281:13,15,15,16 281:17 282:9,10,13,25 283:3,3,4 289:9,9 292:8 292:9 298:18 299:21 300:10 316:17 327:11,13 328:1 329:25 345:22</p>

<p>352:1  <b>issuing</b> [3] 171:4,11                  316:18  <b>item</b> [1] 17:15  <b>items</b> [5] 4:5 14:2 15:13                  118:21 263:9  <b>itself</b> [9] 14:18 48:1 62:13                  96:9 137:7 139:17 145:4                  272:20 293:9</p>	<p><b>Kettering</b> [1] 15:10  <b>key</b> [9] 140:10,24,25                  141:7,16,18 247:8,13                  248:17  <b>Khalifa's</b> [2] 225:13,19  <b>kind</b> [9] 34:5 114:13                  125:7 143:23 144:6                  181:13 298:1 322:3 329:6  <b>King</b> [1] 171:1  <b>kit</b> [1] 208:14  <b>kits</b> [2] 208:3,4  <b>knew</b> [7] 43:16 121:24                  144:21 146:16 204:3                  255:17 323:4  <b>knowing</b> [1] 32:17  <b>knowledgable</b> [1] 167:7  <b>knowledge</b> [20] 65:15                  71:7,14,15 76:17 84:5                  117:22 176:5 226:11,16                  226:20 273:1,6 277:11                  278:17,18 279:6 294:25                  315:21 316:10  <b>known</b> [8] 52:20,21,23                  130:24 145:25 148:17                  213:21 277:3  <b>Kwan</b> [9] 25:22 308:17                  308:25 309:4,11 311:5                  319:11 320:15 321:23</p>	<p><b>lagged</b> [1] 71:3  <b>Laidley</b> [1] 5:23  <b>Laing</b> [28] 1:9 68:3 88:24                  96:12 98:12 99:9 103:7                  103:8 107:18 112:16                  113:4,19 118:24 121:13                  122:15 126:9 147:4 161:9                  164:4 166:3,13 226:8,10                  307:13 311:5 312:18                  321:23 352:6  <b>large</b> [10] 36:3 138:25                  139:2 140:4,6 172:20                  186:24,25 292:6 340:2  <b>larger</b> [2] 35:20 315:13  <b>Larry</b> [1] 242:8  <b>last</b> [15] 8:8 59:14 83:1                  98:24 99:2 111:20 114:19                  128:13 130:15 147:7                  227:17 229:13 283:1                  331:15 352:14  <b>late</b> [9] 72:22 149:21                  175:17 201:24 207:16,20                  207:22,22 258:11  <b>latter</b> [1] 343:20  <b>lay</b> [2] 254:8 255:14  <b>LCA</b> [1] 253:15  <b>lead</b> [1] 217:2  <b>leadership</b> [1] 26:2  <b>leaned</b> [1] 8:25  <b>least</b> [19] 15:22 16:13                  19:5 34:23 75:11 79:12                  117:23 126:10 186:4                  187:5 196:10 211:1                  235:24 236:15 277:25                  304:19 306:9 327:25                  356:5  <b>leave</b> [1] 114:18  <b>Lecture</b> [1] 281:7  <b>led</b> [1] 284:18  <b>left</b> [10] 40:3 173:2 174:1                  175:7 179:25 262:5 294:1                  298:22 301:4 346:20  <b>left-hand</b> [1] 195:23  <b>legal</b> [2] 155:19,21  <b>legislation</b> [3] 291:24                  294:19 295:7  <b>length</b> [3] 210:15 247:11                  300:9  <b>lengthy</b> [2] 196:19                  318:15  <b>Les</b> [2] 21:23 104:10  <b>lesion</b> [6] 92:12 93:23                  339:8,9 341:1 343:24  <b>lesions</b> [6] 33:6 186:8,13                  186:19 187:1 218:15  <b>less</b> [33] 63:10,12 68:22                  92:13 93:25 96:16,21                  98:8 99:18 112:21,24                  113:21 116:9 139:4                  147:20 198:19 224:6,7                  224:15,19,24,24,24 225:4                  225:7,8,10,10,11,11,15                  331:18 332:11  <b>letter</b> [57] 7:10 12:19                  14:6,13,18 15:1 24:17                  37:22,25 39:11,25 40:4</p>	<p>40:10 49:16 73:19,20                  74:16,17 75:25 79:24                  81:14,17 82:24 84:1 86:4                  86:12,17 118:24 155:25                  165:3 174:14 216:10,12                  223:4 246:16 261:19                  264:24 298:13 307:7,9                  310:17 312:16 317:8                  321:25 322:2,3,16 326:23                  327:1,14 331:5,6,15                  332:13 346:25 348:2                  351:8  <b>letterhead</b> [1] 172:3  <b>letters</b> [5] 7:14 26:4,16                  152:21 201:24  <b>levels</b> [2] 27:20 352:12  <b>liaison</b> [3] 58:22,25                  239:10  <b>licensure</b> [1] 38:21  <b>likely</b> [1] 47:12  <b>limit</b> [1] 23:25  <b>limited</b> [7] 60:20 71:13                  71:14 96:7 174:25 260:4                  277:12  <b>line</b> [5] 221:18,19 289:9                  289:14 331:16  <b>lines</b> [1] 179:7  <b>list</b> [23] 3:1 17:23 18:24                  35:3,18 68:3 74:14 91:9                  107:23 114:19,23 130:21                  133:3 145:18,19 162:8                  229:4 230:19 235:7,9                  253:13 324:15 325:18  <b>listed</b> [5] 5:6 198:23                  235:24 270:20 292:6  <b>listening</b> [2] 292:1,5  <b>listing</b> [2] 144:5 156:6  <b>lists</b> [1] 84:9  <b>literal</b> [1] 71:19  <b>live</b> [1] 147:6  <b>living</b> [5] 83:3 131:13,18                  311:22,25  <b>living/dead</b> [1] 310:22  <b>lobular</b> [2] 68:9,23  <b>localizations</b> [1] 299:1  <b>locally</b> [2] 38:22 181:6  <b>locate</b> [1] 263:24  <b>located</b> [1] 148:13  <b>locations</b> [2] 280:18                  324:2  <b>log</b> [3] 184:11 198:19,24  <b>logged</b> [1] 235:25  <b>logistics</b> [1] 142:7  <b>longer</b> [1] 211:20  <b>look</b> [45] 7:20 9:6 10:17                  13:13 14:5 28:12 32:15                  32:22,23 33:3,15 35:12                  36:22 37:7 43:8 93:21                  97:17 108:17 122:4                  133:12,19 134:15 139:15                  143:22 154:11 155:24                  168:9 218:3 219:3 220:8                  220:8 221:25 225:6 239:3                  241:21 243:1 274:14                  284:16 296:1 302:20</p>	<p>306:19 314:24 324:7                  340:25 342:23  <b>looked</b> [13] 72:22 88:3                  143:5 153:11 176:25                  190:5 221:5,5 257:10                  263:15 300:1 311:17                  328:5  <b>looking</b> [57] 15:7 41:22                  50:24 71:10 72:2 77:24                  78:11,20 81:25 82:2 91:6                  91:9 119:12 120:8 127:16                  129:14 130:7 138:18,22                  139:11 154:13 157:21                  166:22 167:5 170:11                  174:19 175:2 176:18                  181:9,14 188:4 190:20                  191:4,25 208:16 216:19                  233:6 251:23 255:18                  259:6 267:18 269:2 270:3                  271:17 272:10 274:21                  276:4 277:23,24 283:16                  287:25 291:8 304:24                  316:1 333:25 335:17                  339:16  <b>looks</b> [6] 9:21 156:22                  232:15 235:8 303:21                  356:5  <b>loop</b> [4] 105:16 239:21                  327:21 328:8  <b>lose</b> [1] 186:17  <b>lots</b> [2] 288:24 289:4  <b>LSAB</b> [1] 182:12  <b>lumpectomies</b> [1] 299:1  <b>lunch</b> [2] 198:5 261:12  <b>lung</b> [2] 30:8,15  <b>lungs</b> [1] 175:15  <b>lying</b> [2] 178:5 298:23  <b>lymph</b> [3] 179:4,5 195:3  <b>lymphadenopathy</b> [1]                  179:3  <b>lymphoma</b> [1] 179:7  <b>Lynn</b> [1] 331:3</p>	
<p><b>-J-</b></p>		<p><b>-L-</b></p>		<p><b>-M-</b></p>	
<p><b>Janet</b> [1] 5:22  <b>January</b> [7] 96:18,19                  98:17 99:14,22,22 101:4  <b>Jean</b> [1] 242:19  <b>Jennifer</b> [1] 1:15  <b>Jesso</b> [1] 171:1  <b>Jewish</b> [2] 77:6,16  <b>job</b> [3] 47:3 78:7 275:8  <b>John</b> [1] 242:18  <b>John's</b> [57] 38:4 51:23                  52:11,13 84:8,14 95:21                  97:12 111:7,13 113:10                  118:13 126:20,22,25                  127:1,5,13,20 128:2,3,6                  149:17 151:8 160:23                  172:3 183:17 188:18                  190:17,25 191:7 198:18                  200:11,23 201:1,14                  207:10,14 209:13 210:1                  214:25 226:20 227:8                  228:12 243:21 279:4,5                  284:13 285:25 290:24                  294:2 306:8 309:23                  317:21 324:10 357:8,11  <b>Joy</b> [1] 7:11  <b>Judy</b> [2] 357:2,13  <b>July</b> [23] 1:4 5:18,24 6:2                  7:10 8:9 11:1 12:20 15:4                  19:7 24:17 28:13 72:22                  114:23 149:21 156:10                  157:2 207:20,22 258:9                  258:11 357:5,12  <b>June</b> [9] 25:24 63:1,19                  63:21 76:11 114:19 127:2                  218:13 317:25  <b>Justice</b> [2] 1:3 357:6</p>	<p><b>I</b> [1] 45:21  <b>lab</b> [63] 13:1 29:9,10 35:8                  36:9 43:8,16 52:14 55:10                  55:11 75:14 76:17,23                  77:2,15 94:13 129:8,21                  135:19 136:5 138:13,16                  138:19,21,25 139:2                  145:25 163:17 172:23                  177:11,21 178:10,23                  179:14 190:8 193:1 195:5                  206:12,22 208:6 217:16                  218:9 241:21 247:6,10                  248:19 263:1 269:9                  275:23 292:3,7,25 299:7                  300:17 301:20 309:24,24                  310:7 311:11 312:12                  345:9 349:21 350:6  <b>laboratory</b> [31] 27:6                  28:6 30:18 38:13,17                  39:10 40:19 41:6 42:21                  43:9,10,13,21 44:9,17                  44:18,25 49:23 50:10,24                  54:25 129:13 147:24                  173:8 190:12 217:16                  221:9 254:1 270:8 293:21                  351:22  <b>laboratory's</b> [1] 50:1  <b>laborious</b> [1] 248:11  <b>Labrador</b> [4] 192:23                  242:18 357:8,11  <b>Labrador-Grenfell</b> [1]                  1:16  <b>labs</b> [2] 6:3 43:12  <b>lack</b> [11] 32:4,4,14 56:3                  57:6,6 195:8 250:4                  278:18 282:24 292:7  <b>lady</b> [2] 335:23 336:18</p>	<p><b>kar</b> [1] 1:9 96:12                  118:23 161:9 307:8,13                  307:24 308:1 321:23  <b>keenly</b> [1] 239:24  <b>keep</b> [15] 52:18 195:21                  218:2 219:15 221:16                  237:10 239:21 274:25                  300:12 323:7 326:12                  327:14,24 328:1,7  <b>keeping</b> [3] 183:17                  196:23 239:23  <b>Ken</b> [6] 21:23 34:16                  50:22 104:10 109:22                  205:14  <b>kept</b> [6] 178:4 184:12                  197:2 285:19,21 327:20</p>	<p><b>M</b> [1] 158:16  <b>MAC</b> [1] 233:17  <b>machine</b> [4] 67:14,21                  237:9 273:9  <b>mail</b> [4] 52:10 163:3                  240:4 335:10  <b>mails</b> [2] 238:7 334:19  <b>main</b> [7] 220:5 237:21                  237:23 274:14 281:17                  282:13 293:1  <b>maintaining</b> [1] 184:7  <b>maintenance</b> [2] 66:3                  66:19  <b>Majesty</b> [1] 1:8  <b>major</b> [11] 24:1 75:13                  76:16 77:2 79:9 88:9                  89:1 186:3 187:5,11                  256:13  <b>majority</b> [1] 340:15  <b>makes</b> [1] 124:22  <b>malignant</b> [1] 30:6</p>		
<p><b>-K-</b></p>		<p><b>-L-</b></p>		<p><b>-M-</b></p>	



<p><b>nationally</b> [1] 38:22  <b>nature</b> [8] 29:2,3 203:24  255:6 256:13 267:2  275:22 346:14  <b>near</b> [1] 87:23  <b>necessarily</b> [1] 31:6  <b>necessary</b> [1] 179:12  <b>need</b> [41] 25:14 26:5  44:14 45:2 52:19 54:2  56:8 58:8,24 59:15  130:21 135:15 138:13,20  165:1 167:4 195:6 239:11  240:9 245:12 249:7,14  249:15 256:17 258:18  261:21 262:22,22,24,24  272:7 289:12,17,22 290:2  290:19 300:12 348:13  349:14 350:5 356:5  <b>needed</b> [9] 29:19 50:25  62:16 66:21 179:5 206:21  270:4 345:23 350:8  <b>needle</b> [1] 299:1  <b>needs</b> [2] 85:17 118:19  <b>negative</b> [69] 9:11,12,18  9:24 10:9,12,20 13:6  28:23 35:8 56:14 62:6,8  62:9 63:3,9,13,14 68:7  84:10,16,18 85:2,16 88:5  88:10 91:23 92:11,12  93:20,22,24 95:12 100:25  102:7 112:17,22,22 113:2  113:10,22,25 116:4  131:21 132:1,1,16 133:5  134:4 147:19,20 149:6  153:22 158:12,14 186:16  218:14 228:6,8,23 254:6  283:22 284:10,19,21  303:25 331:20 352:5,9  <b>negatives</b> [13] 10:1,19  62:22 68:22 85:1 86:25  89:2 96:7 139:4 146:11  153:21 187:2 253:11  <b>negotiations</b> [1] 79:9  <b>Neil</b> [2] 199:21 200:9  <b>net</b> [1] 133:11  <b>never</b> [4] 46:24 87:6  101:24 352:14  <b>new</b> [14] 12:24 16:25 18:9  26:7,13 56:24 70:23  206:12,18,20 212:8  236:16 248:9 322:20  <b>Newbury</b> [3] 1:15 355:3  355:4  <b>Newfoundland</b> [13]  111:17 123:23 192:23  217:17 230:20 252:24  261:17,22 313:20 318:12  318:18 357:8,11  <b>newly</b> [8] 36:16 49:24  51:1 170:10 201:1,20  202:11 232:25  <b>next</b> [32] 6:7 7:22 10:5  10:11 13:1,22 81:20  105:22 108:4,7 109:11  125:15 149:23 156:7  163:14 173:24 183:12  218:1 219:14 221:15  229:3 237:8 248:1 259:1</p>	<p>260:25 262:8,8 291:7  329:14 341:7,25 343:22  <b>Nexus</b> [1] 161:10  <b>night</b> [1] 262:7  <b>nitty</b> [1] 297:18  <b>NL</b> [3] 1:8,14,15  <b>NLMA</b> [2] 197:23 331:5  <b>node</b> [2] 195:3 299:2  <b>nodes</b> [3] 179:4,5,6  <b>none</b> [1] 20:23  <b>noon</b> [2] 205:16 237:12  <b>nor</b> [2] 71:14 226:15  <b>normal</b> [5] 173:4 257:11  323:1 336:17 344:2  <b>normally</b> [6] 141:20  322:21,23 343:5,10,20  <b>North</b> [4] 78:4,22 79:15  195:9  <b>note</b> [57] 68:5 69:23  106:2,4,9,13,15 107:16  112:13 114:18 126:10  142:14 143:3,21 144:6  144:24 145:11 146:22  147:22 153:20 154:16  162:4 180:14,22 188:8  189:3 193:11 195:22  199:1,14,20 200:1 202:18  205:5 206:7,24 209:17  209:23 211:18 214:11  215:21 216:13 218:2  219:15 221:16 224:13  230:19 233:5 299:12  307:3 311:11,17 321:4  322:8 324:15,24 329:12  <b>noted</b> [20] 75:8 160:8  181:21 189:1 193:6  198:18 214:11 215:4  231:15 242:17 305:6  310:16 315:16 319:11  320:15 321:18,25 336:3  345:25 346:2  <b>notes</b> [52] 6:5 33:13,18  34:4 55:21,22,24 68:2  68:20 99:8 107:13 110:24  111:20 126:4 139:4,16  140:2 141:24 143:8,11  143:13 144:12,18 146:19  153:8,14 159:20 180:10  182:4 185:23 189:20  196:4,17 198:14 209:8  211:25 214:12 230:12  232:2 247:24 263:15,18  264:8,19 287:19 302:4  310:14 313:3 317:14  323:12 329:20,21  <b>nothing</b> [7] 45:6,13,14  82:14,14,15 272:22  <b>notice</b> [5] 160:8 198:24  200:16 222:21 235:1  <b>noticeable</b> [1] 309:17  <b>noticed</b> [3] 173:20  190:25 301:18  <b>notification</b> [3] 169:8  214:17 330:8  <b>notified</b> [8] 118:25 173:6  175:13 177:11 184:21  197:12 296:22 301:14</p>	<p><b>notify</b> [5] 120:16 197:17  218:24 300:19 330:6  <b>notifying</b> [2] 119:4,5  <b>notion</b> [1] 321:8  <b>November</b> [10] 25:8  27:7 63:1,21 214:6 281:5  281:8 351:8 352:21 353:4  <b>now</b> [114] 5:22 7:9 17:14  18:4 27:1 28:11 30:14  36:6 37:21 39:10 42:7  48:15 49:15 59:5 62:13  65:8 76:23 78:12 79:1  80:11,15 83:4,10,19  87:16 92:17,22 93:2,20  95:7 104:7 108:9 110:4  111:7 112:24 114:2  115:21 119:2,24 120:13  124:9 126:3,4 138:13  141:23 142:12,13,23  146:1 149:19 155:25  159:20 163:2 172:1 173:9  174:19 175:17 179:12  183:16 187:15 189:8  202:18 206:18 208:12  215:12 217:5 218:19  219:6 223:21,22 224:4  234:12 235:5 236:8 237:3  237:17 241:14 249:4,20  252:16 258:17 264:24  267:4 271:23 280:7,7,20  288:8,9 292:13 296:4  299:12 300:13 304:18  306:12 313:1 326:22  329:19 330:17 331:1,9  331:24 332:12 337:13  338:17 342:23 343:18  345:13 346:24 348:2  349:12 352:8,20 354:16  <b>nuclear</b> [1] 10:9  <b>number</b> [73] 9:25 13:11  13:11 27:17 29:6 30:9  34:17 44:7 52:23 53:23  74:14 84:9,13 85:7,11  88:4,6 110:6,8,10 112:23  113:9 114:3 124:11 126:8  142:14 143:22 153:4  170:8 176:19 185:9  186:25,25 189:20 193:13  195:21 198:17 204:4  213:22 214:13 219:16,20  219:20 230:21 235:8  244:18,23 253:2,4,5  257:10 261:24 263:24  270:18 279:2 280:16,17  281:9 283:19 284:7 292:6  292:24 293:5 303:8,12  305:19 310:19 311:1  324:9 325:7,14 333:2  348:11  <b>numbers</b> [7] 84:9 85:4  85:10 156:6 303:12,17  329:7  <b>numerator</b> [1] 84:12  <b>numerous</b> [3] 117:23  297:25 298:1</p>	<p><b>observation</b> [6] 186:2  257:19,20,22 259:12,12  <b>observations</b> [4] 54:6  212:22 254:4 269:14  <b>obstacles</b> [1] 250:18  <b>obstetrics</b> [2] 25:19  31:21  <b>obtain</b> [1] 129:18  <b>obviously</b> [5] 8:10 74:15  155:18 249:12 347:20  <b>occasions</b> [2] 44:8 153:4  <b>occassion</b> [1] 176:16  <b>occur</b> [2] 173:4 237:18  <b>occurred</b> [4] 254:16  295:2 342:15 348:6  <b>October</b> [46] 19:22 20:21  22:16 23:14 25:6 106:20  107:1 198:16 242:6  264:25 265:4,10 307:1,7  310:16 313:7,15 314:1  315:4 316:7,9,15 317:18  319:10 320:15,16 321:20  323:18 324:8 325:6,15  326:23 329:4,15,21 331:6  332:16 334:19,22,25  335:4 338:24 344:25  346:25 349:23 351:18  <b>off</b> [21] 22:10 87:16 108:8  109:12 120:3,4 128:4  139:16 140:5 164:10  165:3 166:14 167:21  182:24 228:17 254:1  292:6 304:16 324:15,23  325:2  <b>offer</b> [1] 241:5  <b>offhand</b> [1] 263:16  <b>office</b> [14] 39:18 96:12  96:24 97:6,8 144:16  149:24 151:12 182:18,21  219:21 236:10 243:7  328:10  <b>office's</b> [1] 93:2  <b>offices</b> [1] 280:19  <b>officio</b> [1] 345:7  <b>okayed</b> [1] 147:2  <b>old</b> [2] 154:17 155:3  <b>omission</b> [1] 223:15  <b>omitted</b> [1] 222:25  <b>once</b> [11] 42:9 90:19 92:6  163:17 217:23 222:11  235:12 300:15,17 327:25  347:25  <b>oncologist</b> [12] 8:22  11:16 13:8 98:17 100:9  100:10,24 101:24 206:18  232:25 336:5,23  <b>oncologists</b> [35] 11:23  36:10 88:24 94:11,24  96:14 98:19 99:4,6 100:4  101:10,14 102:10 114:13  114:24 115:4 121:14  122:22 133:6,8,20 140:16  166:2 226:4,11,25 227:6  290:18 297:12 298:7  314:2,20 315:14 346:20  352:7  <b>oncology</b> [4] 99:3 290:9</p>	<p>290:11,13  <b>one</b> [83] 4:6 5:6 6:18 9:7  9:17,20 10:6 13:11,12  15:13 28:10 30:12,11,11  43:9 63:12 65:6 66:2  67:14 68:17 71:2,24 75:2  79:2 97:17 102:5 108:6  111:21 112:1 119:25  120:4,7 122:20 124:14  124:14 133:18 140:3  143:5 144:12 171:1  173:24 177:23,23 178:1  181:14 184:10 185:20  212:11 218:17 220:11  222:1 223:15,24,25 237:5  238:4 244:18,18 246:8  252:25 269:19 270:11,12  272:14 283:23 284:3  295:20 298:3,17 325:20  326:14 329:22 331:7  332:18 334:21,22 340:21  341:12 342:8,9 343:22  344:1,13 352:7  <b>one's</b> [1] 341:7  <b>one-to-one</b> [1] 328:9  <b>ones</b> [3] 168:16 239:15  285:18  <b>ongoing</b> [1] 128:19  <b>onto</b> [1] 335:10  <b>onward</b> [2] 98:17 99:23  <b>operated</b> [1] 179:3  <b>operating</b> [2] 66:18  292:8  <b>operation</b> [5] 32:11  38:21 93:16 195:11  347:13  <b>operational</b> [1] 216:14  <b>operationalize</b> [2]  229:20,21  <b>operative</b> [1] 326:6  <b>operators</b> [1] 184:12  <b>opinion</b> [12] 39:1 42:10  42:11 122:22 247:2  248:15 258:22 259:14,16  272:8,17 328:5  <b>opportunity</b> [1] 211:14  <b>opposed</b> [10] 42:5 88:10  89:3 94:13 120:6 147:11  169:19 209:12,25 271:20  <b>options</b> [1] 27:18  <b>order</b> [6] 90:13 108:20  143:24 144:4 248:22  355:2  <b>ordered</b> [7] 106:3,4,13  108:19 206:16,19 326:15  <b>ordering</b> [3] 90:18,20  105:4  <b>organization</b> [9] 25:24  43:15 78:12,24 136:12  197:20 282:25 283:2  348:9  <b>organizational</b> [1] 38:2  <b>organizing</b> [1] 197:11  <b>origin</b> [2] 26:24 27:1  <b>original</b> [40] 9:13,22  10:1,19 11:2 12:7 17:8,9</p>
---	---	---	---	---

-O-

**o** [2] 45:21,21  
**obligation** [1] 165:1



<p>17:10 18:22 47:20 54:7 72:12,21,23 74:16 108:18 108:25 125:19 158:24 212:23 220:5,11 221:21 221:23 225:13,16 236:14 253:3,8 273:9 285:1,6 285:10 309:4,10,19,25 332:23 346:1 <b>originally</b> [7] 9:18,23 10:8 92:5 114:7 117:24 351:20 <b>originals</b> [1] 309:12 <b>originates</b> [1] 274:25 <b>otherwise</b> [4] 53:2 269:7 270:13 338:1 <b>ours</b> [2] 158:25 159:3 <b>ourselves</b> [4] 101:15 177:25 271:12 349:18 <b>outline</b> [1] 26:4 <b>outlined</b> [4] 13:10 57:12 293:5 327:13 <b>outlining</b> [2] 89:16 349:14 <b>outreach</b> [1] 227:12 <b>outside</b> [11] 13:1 14:21 128:6 198:17 214:25 226:12 279:4 309:23 322:22,25 324:9 <b>overall</b> [12] 6:18 57:19 61:19 65:17,18 66:21 115:24 136:24 137:20 157:19 318:11 329:6 <b>overcome</b> [1] 289:15 <b>overly</b> [1] 23:18 <b>overnight</b> [5] 173:2 174:1 175:8 178:5 298:23 <b>overriding</b> [1] 165:16 <b>oversee</b> [1] 347:12 <b>overseeing</b> [3] 48:11 347:7 348:9 <b>overtime</b> [3] 129:15,21 231:22 <b>overview</b> [1] 310:19 <b>overwhelmed</b> [2] 292:18 319:5 <b>own</b> [21] 7:12 17:7 18:23 37:8 42:13,20 43:7 50:7 117:10 119:14 121:22,24 128:14 134:2 161:23 190:22 256:16 258:3 311:17 333:14 334:10</p>	<p><b>P-0542</b> [1] 45:18 <b>P-0543</b> [1] 49:15 <b>P-0545</b> [1] 55:20 <b>P-0551</b> [1] 68:1 <b>P-0552</b> [1] 65:8 <b>P-0556</b> [1] 73:19 <b>P-0557</b> [1] 107:13 <b>P-0559</b> [1] 102:20 <b>P-0560</b> [1] 89:10 <b>P-0561</b> [1] 91:17 <b>P-0562</b> [1] 124:9 <b>P-0564</b> [1] 126:3 <b>P-0569</b> [1] 162:2 <b>P-0571</b> [1] 163:1 <b>P-0573</b> [1] 180:9 <b>P-0574</b> [1] 181:18 <b>P-0576</b> [1] 185:22 <b>P-0579</b> [2] 192:12 198:13 <b>P-0580</b> [2] 217:10 221:25 <b>P-0581</b> [1] 209:6 <b>P-0582</b> [1] 211:24 <b>P-0585</b> [1] 216:9 <b>P-0590</b> [2] 221:7 223:22 <b>P-0591</b> [1] 235:3 <b>P-0592</b> [1] 237:3 <b>P-0602</b> [2] 313:1 315:16 <b>P-0603</b> [2] 310:13 314:25 <b>P-0604</b> [1] 306:22 <b>P-0607</b> [1] 323:12 <b>P-0610</b> [1] 319:21 <b>P-0612</b> [1] 302:2 <b>P-0614</b> [1] 325:13 <b>P-0621</b> [1] 328:13 <b>P-0626</b> [1] 331:1 <b>P-0634</b> [1] 344:22 <b>P-0637</b> [1] 346:24 <b>P-0638</b> [1] 351:12 <b>P-0935</b> [1] 5:15 <b>P-0937</b> [1] 14:5 <b>P-0938</b> [2] 24:16 28:12 <b>P-0939</b> [1] 52:9 <b>P-0940</b> [1] 61:4 <b>P-0941</b> [1] 115:20 <b>P-0942</b> [1] 96:23 <b>P-1282</b> [1] 236:8 <b>P-1283</b> [1] 240:3 <b>P-1288</b> [2] 242:1 246:14 <b>P-1289</b> [1] 244:12 <b>P-1290</b> [1] 298:12 <b>P-1295</b> [1] 326:22 <b>P-1298</b> [1] 334:18 <b>P-1935</b> [1] 143:20 <b>P-1936</b> [2] 142:13 147:16 <b>P-1938</b> [1] 155:24 <b>P-1939</b> [1] 172:1 <b>P-1992</b> [1] 153:9 <b>P-2135</b> [1] 4:6 <b>P-2137</b> [3] 3:2 5:4,8</p>	<p><b>P-2148</b> [3] 3:3 287:4,15 <b>p.m</b> [13] 56:7 142:4 145:11,22 146:20 147:3 157:7 170:24 173:8 193:7 193:12 205:8 210:15 <b>pack</b> [7] 215:6 259:13,17 259:24 260:12 262:17 288:8 <b>package</b> [2] 108:6 290:4 <b>packaged</b> [2] 232:21 325:8 <b>page</b> [59] 7:21,22,24 8:2 8:3 9:5,9,10 10:5,6,7 10:18 35:19 38:25 55:21 59:14 68:1 81:20 105:21 125:15 126:5 130:15,22 135:5,11,25 139:14 140:1 147:15,16 153:19 156:8 158:1 167:12 169:14 180:11 198:13 212:1 222:1 227:17,18 229:3,5 229:14 240:13 244:19 246:8,14,15 248:1,21 268:6 272:11,12 283:18 310:14 317:19 319:23 <b>pages</b> [2] 217:12 331:2 <b>paid</b> [4] 274:2 276:17 277:6 301:21 <b>Pam</b> [1] 171:1 <b>panel</b> [8] 345:3,12,13,14 345:21 346:4,7,8 <b>panelling</b> [5] 101:9,13 297:14 298:3 332:20 <b>paper</b> [10] 8:23 11:16 12:2,3,14 13:24 14:2 144:17 145:7 306:12 <b>par</b> [2] 290:7,15 <b>para-professional</b> [1] 38:16 <b>paraffin</b> [12] 92:4 105:5 105:7,10 142:8,19 182:16 199:4 204:6 213:21 233:1 268:22 <b>paragraph</b> [22] 13:5 24:23 27:8 38:9 78:2 79:12 81:21 89:23 93:21 95:7 96:2 105:23 247:11 248:20,21 272:12,14 273:11,25 276:16 284:17 331:16 <b>parallel</b> [2] 105:17 144:11 <b>Pardon</b> [1] 307:19 <b>Parsons</b> [5] 124:12,12 311:7 312:21 321:25 <b>part</b> [7] 25:7 137:11 253:20 270:1 325:17 326:2 352:14 <b>participants</b> [1] 136:2 <b>participate</b> [1] 38:19 <b>participation</b> [2] 346:14 346:15 <b>particular</b> [68] 17:4,6 17:15,20 18:2 19:6 30:17 41:25 43:8,16 44:22 47:16 48:9 51:14 67:14 71:2,24 72:4 82:17 87:10</p>	<p>100:10 108:19 130:24 137:22 138:3 146:14,16 148:5 165:14,17,22 166:4 184:16 185:8,9 187:14 188:2 193:13 198:21 211:18 218:16 219:20 223:8 224:5,5 229:7 238:3 253:20 263:24 271:24,25 301:8 302:12 305:18 309:12 322:25 324:2 330:18 332:21 333:9 334:24 335:2,23 338:2 339:25 340:20 343:10 353:25 <b>particularize</b> [1] 224:25 <b>particularly</b> [14] 27:15 31:20 49:4 66:22 71:23 78:15 188:4 245:10 262:25 266:22 300:11 309:3 314:8 348:16 <b>parts</b> [1] 341:6 <b>pass</b> [2] 54:5 110:13 <b>passing</b> [1] 191:12 <b>past</b> [12] 47:2 55:7 76:5 83:1 113:9 134:2 187:23 205:16 237:12 249:20 343:18 349:15 <b>Pat</b> [7] 68:3 147:4 206:7 307:8,13 308:5 321:22 <b>pathological</b> [1] 182:15 <b>pathologist</b> [37] 13:3 17:10 23:5,5 39:2 47:20 56:9 59:16 72:16 73:1 90:19,20 104:2 105:4 150:25 173:5 188:10 199:21 205:13 209:19 210:10 241:16 250:5,5 272:2 274:13 276:11,18 277:2,16,24 278:3,6 295:20 300:23 322:24 347:21 <b>pathologist's</b> [1] 275:7 <b>pathologists</b> [76] 18:23 21:2,4 23:25 26:12 32:6 33:19,24 34:16 35:25 36:2 45:19 46:19 53:5 56:4,18 57:9 61:2 74:11 89:11,18 90:13 91:18 97:11 104:23,24 137:18 138:6 146:21 150:23 189:14 190:21 211:10,13 247:16 248:8,12 252:6 252:14 256:14,16 261:22 266:8,23 271:13,16,24 272:3 274:3,20 275:18 275:23 276:9 278:17 279:2,4 280:9,17,21 281:10,13,19 283:5,8 289:6 292:2 295:10,18 300:18,19 309:6 318:8 318:10 343:16 347:17 350:20 <b>pathologists'</b> [1] 17:24 <b>pathology</b> [73] 13:7 24:22 25:2,4 26:3 27:10 27:12,19,24 28:10 38:24 39:4 42:3,4 64:12 79:13 79:17 80:2,13,15,15,25 81:3 141:5 156:2 172:23 195:7 199:4,6 230:5,20</p>	<p>233:1 236:12 247:19 248:3 249:7,12,15,22 250:8,19 251:21,24 252:11,13 256:18,19,25 262:22 269:9 271:17,18 272:4,5 274:15,23,23 275:7,11 276:1,13 289:6 289:12 290:7,15,19 301:20 313:8,20 318:11 318:17 345:11 346:1 <b>patient</b> [32] 8:1 9:10 30:14 33:5,6 35:8 72:1,1 98:19 100:16,17,20,25 130:24 131:19 147:6 179:2 185:7,8 195:17 227:2 243:23 247:9 312:19 320:6 326:5,16 326:18,20 335:2 338:5 341:19 <b>patient's</b> [1] 185:13 <b>patients</b> [50] 8:1,3,4 12:1 49:25 68:6,8,25 69:12 70:7 84:13,15 85:12 91:24 107:25 113:9 116:23 119:4,6 120:16 122:6,7 125:2,5 131:14 131:18 132:1 133:5,10 133:14 134:1 145:20 167:1,18 168:8 180:25 243:20 297:5 305:19,20 318:11 325:20,24 326:2 330:6,9 331:19,22 332:21 335:19 <b>patients'</b> [1] 317:4 <b>pattern</b> [2] 176:24,25 <b>patterns</b> [1] 247:15 <b>Paul</b> [2] 199:20 200:9 <b>pay</b> [1] 277:4 <b>paying</b> [1] 223:2 <b>peer</b> [2] 240:8 241:20 <b>people</b> [31] 18:5,7,15 28:25 32:6 60:7 78:16 78:22 83:21 113:22 116:3 122:23,24 123:2 130:8 130:16,21,23 134:14 135:2 136:1 140:17 157:15 171:2 249:21 250:10,12 316:22 321:21 327:19 355:18 <b>people's</b> [1] 69:23 <b>per</b> [4] 50:5 120:6,9 219:9 <b>percent</b> [96] 10:10 27:14 28:8,9 61:7,23 63:10,12 65:6 84:16,18,23,25 85:2 85:13 92:13 93:24 94:4 94:7,10,19,21,25 95:5 96:9,16,21 97:24 98:8 98:18 99:18,23 100:11 100:17 101:11,11,12,18 101:25 102:11 103:2,13 103:19,25 112:22,24 113:22 116:10 117:18 132:21 139:5,19 147:20 149:11 172:22 186:4 187:5,13,18,20 198:19 218:17,18 224:6,6,7,14 224:19 225:2,4,8,14,17 226:2,2 272:6,7 284:22 304:1,1,4,5,5 305:7,8,9</p>
<p><b>-P-</b></p>				
<p><b>P</b> [4] 27:4 141:22 264:23 296:4 <b>P-0047</b> [1] 352:20 <b>P-0079</b> [1] 37:21 <b>P-0081</b> [1] 83:25 <b>P-0087</b> [1] 329:19 <b>P-0334</b> [1] 219:6 <b>P-0351</b> [1] 349:20 <b>P-0535</b> [1] 7:9 <b>P-0536</b> [2] 11:8 12:18 <b>P-0538</b> [1] 33:12</p>				

<p>331:18 332:7,8,11 333:4 333:18 339:13,13,16,17 <b>percentages</b> [7] 156:7 157:23 181:16 223:4 303:8,13,17 <b>percentile</b> [1] 85:16 <b>perception</b> [1] 328:4 <b>perceptors</b> [1] 298:19 <b>perfect</b> [2] 116:10 117:17 <b>perforated</b> [1] 179:13 <b>perform</b> [2] 16:16 79:16 <b>performance</b> [2] 85:6 182:10 <b>performed</b> [9] 92:5,14 95:8 227:18 268:16 299:5 326:7,9 352:5 <b>performing</b> [2] 16:19 50:2 <b>perhaps</b> [9] 79:20 97:22 113:21 139:19 178:12 190:15 211:20 327:18 335:1 <b>peri-operative</b> [2] 25:21 175:19 <b>period</b> [26] 8:24 19:18 19:20 24:11 41:25 43:23 50:6 51:21 61:22 63:2 64:19,21 87:10 111:5 120:6 128:11 133:7,9 176:10 189:13 226:4 243:8 250:23 261:11 279:3 305:18 <b>periods</b> [2] 224:8 283:14 <b>peripheral</b> [6] 342:8,10 342:23 343:5,6 344:19 <b>periphery</b> [2] 340:4,15 <b>permanently</b> [1] 227:6 <b>permeation</b> [1] 172:25 <b>permission</b> [2] 281:5 295:12 <b>permit</b> [1] 352:12 <b>person</b> [15] 34:6 42:3 45:24 46:21 47:14 49:7 135:17,19 138:13,16 206:4 207:1 304:22 328:23 336:24 <b>personally</b> [3] 117:11 211:13 230:9 <b>personnel</b> [1] 252:2 <b>perspective</b> [27] 28:5 29:24 36:12 42:13 45:14 54:22 71:19 72:11,20 116:21,24 117:10 118:20 119:12 131:7 133:16 134:3,3 190:16,20 191:18 196:12 197:16 248:20 277:2 333:15 334:10 <b>Peter</b> [1] 1:9 <b>Pg</b> [2] 3:2,3 <b>PGR</b> [1] 65:14 <b>Pgs</b> [1] 2:3 <b>pH</b> [1] 194:16 <b>Pharmacy</b> [1] 124:24 <b>phone</b> [9] 34:17 142:14 143:9 196:4 197:6 243:3</p>	<p>266:22 318:16 319:7 <b>phonetic</b> [1] 242:9 <b>phrase</b> [2] 140:25 141:4 <b>phrased</b> [1] 120:25 <b>phraseology</b> [1] 294:4 <b>physically</b> [2] 309:5 341:7 <b>physician</b> [8] 37:5 43:13 44:18 45:3 90:12 118:25 132:2 171:24 <b>physicians</b> [20] 29:3,8 30:24 31:2,4,6,8,10,23 32:10 33:8 40:25 119:6 123:20,22 124:2 167:2 194:4 297:12 312:17 <b>picked</b> [8] 102:5,15 173:18 252:23 258:24 277:8 282:22 336:14 <b>picking</b> [1] 86:7 <b>picture</b> [1] 33:4 <b>pieces</b> [1] 343:23 <b>Pike</b> [3] 1:14 355:12,13 <b>Pilgrim</b> [9] 68:3 115:24 126:9 147:4 206:7 307:13 311:7 312:17 321:22 <b>pipettes</b> [1] 292:9 <b>place</b> [14] 21:7 25:20 32:11 41:4 51:1 57:7 58:20 118:19 120:19 159:1 243:7 257:1 281:7 301:13 <b>placed</b> [5] 83:2,4 172:20 268:13 309:13 <b>placing</b> [1] 38:20 <b>plan</b> [5] 14:20 107:17 162:22 166:25 312:7 <b>planned</b> [1] 169:1 <b>planning</b> [1] 38:5 <b>plans</b> [1] 58:15 <b>plastic</b> [1] 182:13 <b>platforms</b> [2] 156:25 283:23 <b>plus</b> [2] 68:23 112:23 <b>point</b> [63] 8:21 11:14 12:7 15:22 19:4 26:24 27:1 32:18 34:6 35:19 42:14 51:18,22 64:7 69:2 70:12 71:20 77:10 82:7 94:23 95:11,16 100:5,7 101:8 107:9 111:8 113:6 122:8 125:23 126:24 130:7,25 132:25 133:18 152:20 169:1 175:17 187:23 190:2,8 193:18 200:15 206:25 229:6 249:21 267:22 274:14 289:7 294:6 304:3,18 307:23 315:21 329:9 330:8 334:8,11 338:14 341:16 343:19,20 354:20 <b>pointed</b> [2] 270:12 294:16 <b>points</b> [10] 76:5 96:15 116:15 218:3,4 219:16 219:16 221:17 250:9 339:25</p>	<p><b>pool</b> [1] 253:9 <b>poor</b> [2] 339:10 344:14 <b>poorly</b> [3] 340:1,2,22 <b>population</b> [5] 111:17 137:12 166:7 186:24 187:1 <b>portering</b> [1] 177:15 <b>position</b> [1] 169:7 <b>positions</b> [3] 47:2 78:16 80:16 <b>positive</b> [34] 62:6 63:17 64:19,25 72:18 85:12,15 87:17 88:11 95:11 112:20 112:20,21,21,23 113:2 113:10,23,25 125:2,5 131:21 133:5 158:9 228:6 228:9 273:14 283:22 284:10,22 303:25 331:20 331:22 340:3 <b>positives</b> [11] 62:23 86:8 86:10,25 87:2,4,6 88:16 89:3 228:13 253:10 <b>positivity</b> [8] 6:23 10:10 107:19 257:13 332:5,7,9 332:11 <b>posits</b> [1] 272:14 <b>possibilities</b> [1] 71:12 <b>possibility</b> [4] 19:6 268:19 299:19 301:3 <b>possible</b> [19] 36:6 37:19 101:2 102:13 123:13 133:11 180:19 243:22 258:24 269:13,17 285:5 285:7 301:5 328:2,8 333:4 340:19,24 <b>possibly</b> [8] 50:6 51:21 208:16 233:6 278:14 286:25 291:6 304:2 <b>post-menopausal</b> [1] 112:18 <b>posted</b> [4] 237:10 331:10 332:15,16 <b>potential</b> [4] 28:23 203:20 288:24 289:5 <b>PR</b> [79] 6:4 9:20 13:23 48:8,23 54:1,7 55:24 56:14 62:9 67:4 69:6 88:9,10 91:9,21 92:4,12 93:7,23 104:16 105:3 108:19 112:21,21,23 113:2,10,22,25 125:2 132:1,16,21 133:5 136:5 136:18,23 137:3,5,18 138:2 151:25 156:24 163:4 165:14 182:20 186:16 187:2 188:1,4,6 188:17 193:20 194:9 195:1 199:8 209:10 213:23 215:24 216:7 218:15 229:16 233:16 234:1,15 235:7 245:11 254:2 260:5 271:2 277:3 298:15 300:11 313:10 331:22 340:3,11 352:3 <b>practical</b> [1] 348:23 <b>practicalities</b> [1] 316:24 <b>practice</b> [7] 97:1 112:19 245:9 247:15,24 248:10</p>	<p>323:1 <b>practised</b> [1] 193:4 <b>praise</b> [1] 263:1 <b>pre-existing</b> [1] 335:18 <b>precaution</b> [1] 222:22 <b>precautionary</b> [5] 217:22 222:5,23 223:9 229:18 <b>Predham</b> [28] 5:25 24:21 55:23 56:2,5,19 60:8 61:5 68:4,25 74:9 88:21 108:2 115:22 116:25 124:17 131:4 145:17 147:4 149:22 150:7,19 240:4 262:20 311:6 312:20 321:24 325:14 <b>Predham's</b> [1] 130:14 <b>preferably</b> [1] 78:3 <b>preferred</b> [1] 209:12 <b>preliminary</b> [2] 85:4 327:6 <b>preparation</b> [1] 18:13 <b>prepare</b> [1] 350:4 <b>prepared</b> [8] 26:8 54:17 54:19 73:22 240:15 331:7 349:22 350:18 <b>prescribed</b> [1] 124:23 <b>present</b> [8] 9:3 68:5 126:8 167:6 234:16 243:10 340:3,11 <b>presented</b> [2] 157:3 298:8 <b>president</b> [7] 149:24 192:23 194:3 261:13 295:24 323:4 347:25 <b>president's</b> [1] 92:23 <b>pressing</b> [1] 165:23 <b>pressure</b> [3] 41:24 201:18 333:1 <b>pressures</b> [1] 208:6 <b>presumably</b> [1] 179:18 <b>presume</b> [1] 235:9 <b>pretty</b> [4] 117:15 122:21 301:11 346:17 <b>previous</b> [3] 154:13 312:10 336:13 <b>previously</b> [2] 149:20 331:23 <b>price</b> [1] 208:10 <b>primarily</b> [5] 87:14 129:14 170:6 239:15 253:7 <b>primary</b> [6] 8:12 92:11 93:22 167:16 218:15 254:21 <b>print</b> [2] 26:16 325:21 <b>printed</b> [1] 28:14 <b>priority</b> [3] 131:9 147:10 229:4 <b>Pritchard</b> [2] 354:16,19 <b>Pritchard/Jackie</b> [1] 1:8 <b>Pritchett</b> [3] 1:16 355:7 355:8</p>	<p><b>Pritzker</b> [9] 49:18 50:14 52:21,23 109:22 145:23 146:2 163:4 239:10 <b>Pritzker's</b> [1] 34:16 <b>problem</b> [49] 28:15 29:5 29:10 31:13 47:17 57:12 69:25 70:24 71:3,24 72:4 72:5,9 88:9 89:1 119:19 121:25 174:1 186:3 187:5 187:10 190:4,7,24 191:5 194:11 195:13 203:9 247:3 250:2,4 254:8 255:1,3,6,14 271:1 272:13 273:21,25 274:18 274:19 276:3,6,6 290:5 326:3 340:20,21 <b>problematic</b> [2] 30:1,3 <b>problems</b> [26] 31:22 38:3 58:12 87:13,18 161:3,6 173:21,23 187:16 187:17,20 188:1 190:17 246:24 256:11,12 258:21 270:6,6 272:25 276:12 295:1 301:10 327:2 348:7 <b>procedure</b> [2] 65:13 182:12 <b>procedures</b> [9] 13:10 39:9 66:3,20 245:9,15 292:8 299:4 326:6 <b>proced</b> [6] 12:23 13:22 23:12 105:2 235:16 351:9 <b>process</b> [40] 11:20 13:1 38:19 41:18,23 42:5 43:13 47:6 51:3 59:5 75:6 80:11 87:24 91:3 101:10,13 183:25 190:9 211:2,6 213:9,11,16 214:3 217:1,3 240:1 241:20 248:11 254:13,13 297:14 298:3,8 326:3 336:10,11,18 344:6 347:9 <b>processed</b> [9] 26:7 90:17 169:18 215:7 289:13 340:1,2,10,22 <b>processed/reported</b> [1] 236:17 <b>processing</b> [6] 13:5 22:6 89:25 105:17 337:11 339:8 <b>produce</b> [1] 295:15 <b>produced</b> [1] 12:2 <b>product</b> [1] 250:16 <b>professional</b> [4] 38:20 39:1 216:18 252:11 <b>professionally</b> [1] 53:2 <b>proficiency</b> [7] 81:8 135:14 136:15,17 138:1 138:3,5 <b>progesterone</b> [16] 7:15 49:22 84:6 85:15 89:14 104:21 182:11 217:20,22 219:13 221:14 222:4 247:2,4 298:19 327:4 <b>program</b> [38] 25:22 27:6 28:7 35:8 36:9 40:20,23 41:6,8 42:22 43:20,22 43:25 44:25 45:3 49:23 54:25 57:23 58:9 75:15</p>
---	--	--	---	---

77:20 81:8,22 137:10  
138:14 172:7,7 175:19  
178:8 246:17 247:20  
270:9 271:19,21 275:13  
282:11 293:3 345:9  
**programs** [2] 25:14  
77:21  
**progress** [2] 237:11  
327:15  
**progressed** [1] 238:19  
**proper** [5] 29:21 173:3  
254:18,19 290:1  
**properly** [5] 26:20 28:17  
28:25 67:21 237:3  
**proposal** [2] 26:15 89:23  
**proposed** [1] 26:14  
**proposing** [2] 320:4  
327:12  
**prospective** [3] 18:8  
36:16 51:20  
**prospectives** [1] 170:4  
**protected** [5] 291:24  
294:18 295:6,9,9  
**proteins** [1] 254:15  
**protocol** [7] 179:8,18,19  
180:2 274:6,11 275:17  
**protocols** [5] 39:9 65:14  
206:18 275:4,21  
**provide** [8] 29:8 39:1  
41:20 165:12 181:1  
304:21 345:20 347:16  
**provided** [2] 26:6 249:9  
**provides** [1] 113:20  
**providing** [6] 32:20  
112:25 140:18 288:22  
290:6 348:10  
**province** [9] 111:14  
118:14 127:8 189:15  
218:10 235:13 289:20,22  
351:23  
**Provincial** [1] 261:20  
**PRs** [20] 50:23 89:18,24  
90:14 92:14 95:8,11  
104:22 208:8 209:24  
213:19 227:18 228:6  
253:3,5 260:9 298:5  
309:5,7 351:20  
**prudent** [1] 194:5  
**public** [32] 119:5,21  
120:18,18 121:8 122:8  
122:18 123:8,9,10,12  
145:25 146:3,13,13,15  
146:15 165:1,15,22,23  
166:13 167:15 169:11  
195:15 310:22 313:15  
314:17 316:2,10 328:4  
330:10  
**pull** [4] 62:25 337:21  
338:5,11  
**pulled** [5] 63:8 69:1  
108:4 215:5 336:25  
**pulling** [2] 129:22,23  
**pump** [1] 272:25  
**purely** [1] 241:23  
**Purolator** [1] 181:22

**purpose** [8] 193:17  
239:13 240:20 243:15,17  
281:22 305:13 349:25  
**purposes** [4] 14:3 37:8  
95:4 239:9  
**pursue** [2] 23:21,22  
**pursued** [2] 125:6,8  
**push** [2] 59:3,8  
**pushed** [3] 250:25 251:2  
251:5  
**pushing** [3] 59:10 249:22  
316:5  
**put** [14] 14:1 26:16 27:3  
29:22 31:24 78:13,16  
95:5 118:19 119:22  
248:19 270:4 308:20  
333:1  
**putting** [5] 13:17 36:17  
49:21 81:17 327:10

**-Q-**

**Q.C** [1010] 1:6,12 2:3 4:3  
4:9,17,22 5:1,9,11,13,21  
6:12,16 7:2,8,19 8:7,14  
9:16 10:4,15,24 11:7,11  
12:12,17 14:4,11,17,22  
15:3,16,21 16:1,6,11  
19:3,10,15,24 20:5,10  
20:18 21:1,5,10,16,20  
22:1,8,14,20,25 23:7,13  
24:3,9,15 26:19,25 28:3  
28:20 29:23 30:20 31:5  
31:15 33:11,16,22 34:3  
34:10,14,20 35:1,7,17  
36:1,8,20 37:1,9,14,20  
39:14,19 40:1,9,13 41:12  
42:6,12,19,25 44:2,19  
45:4,12,17 46:12,17 47:7  
47:21 48:2,14,19,25 49:5  
49:14 50:18 51:5,10,17  
52:2,8,25 53:6,11 54:4  
54:11,15,21 55:2,6,14  
55:19 56:23 57:3,15,20  
57:24 58:5,14 59:9,13  
59:20 60:4,14,18 61:3  
61:11,18 62:3,7,12 63:15  
63:20 64:1,6,11,15,20  
65:1,7 66:1,7,12 67:1,7  
67:12,19,25 68:12,18  
69:7,11,17,22 70:4,10  
70:17 71:4,11,18 72:8  
72:19 73:7,12,18,25 74:6  
74:25 75:7,18,24 76:3  
76:10,14,21 77:1,8,17  
78:1,25 79:5,11,25 80:5  
80:10,14,21 81:5,12,19  
82:1,6,18,23 83:9,15,24  
85:22 86:2,11,15,24 87:3  
87:7,20,25 88:17 89:4,9  
89:22 90:3,10,25 91:11  
91:16 92:3,21 93:1,8,12  
93:19 94:3,15,20 95:1,6  
95:15,19,25 96:6,22 97:4  
97:9,16,21 98:2,7,11,16  
98:23 99:7,12,17,21  
100:6,15,22 101:3,16,22  
102:3,14,19 103:1,5,11  
103:16,22 104:6,13,19  
105:14,20 106:1,8,17,25  
107:6,11,22 108:3,23

109:4,10,16,24 110:3,12  
110:16,20,25 111:6,12  
111:19,25 112:6,11 113:5  
113:14,18 114:1,6,11,17  
115:3,8,12,19 116:14,20  
117:4,9,20 118:2,6,15  
119:11,23 120:11,24  
121:7,11,18 122:2,14  
123:1,6,14,19 124:8,16  
125:10,21 126:2,16,23  
127:6,12,17,24 128:12  
128:18,22 129:2,17,25  
130:5,13,19 131:5,12,17  
132:4,14,19,24 133:15  
133:24 134:7,11,19 135:4  
135:18,22 136:6,14,19  
137:2,6,14,21,25 138:7  
138:12,24 139:3,9,24  
140:9,23 141:3,8,12,17  
141:21 142:2,11,17,22  
143:2,19 144:2,10,19  
145:2,9,15 146:18,25  
147:14 148:12,16,20,24  
149:5,10,14 150:6,10,14  
150:21 151:2,6,13 152:3  
152:8,13,25 153:6,18  
154:1,5,9,15,22 155:1,7  
155:11,23 156:13,17  
157:1,8,12,18,25 158:6  
158:13,20 159:12,19  
160:1,7,12,17,21 161:1  
161:7,15,20 162:1,7,13  
162:19,25 163:10,22  
164:2,8,13,17,22 165:5  
165:18,24 166:8,17 167:3  
167:10,17,25 168:6,12  
168:24 169:5,13,25  
170:18,22 171:3,8,14,25  
172:6,17 174:4,8,13,18  
174:24 175:5,16,22 176:2  
176:8,15,23 177:7 180:8  
181:12,17 182:3,8 183:2  
183:9,15 184:1,6,14,22  
185:1,6,12,16,21 186:1  
186:7,11,20 187:3,9,22  
188:7,14,25 189:7,12,19  
189:24 190:14,23 191:6  
191:11,16,24 192:5,11  
192:16,20,25 193:5,10  
193:16,21,25 194:10,20  
196:3,8,15,22 197:3,9  
197:15,21 198:3,11 199:7  
199:13,19,24 200:7,14  
201:7,12,22 202:17,24  
203:4,18 204:11,15,20  
204:24 205:4,12,19,24  
206:6,13,23 207:4,9,13  
207:19,24 208:19,25  
209:5,16,22 210:7,13,20  
211:7,17,23 212:18,25  
213:4,10 214:1,10,20,24  
215:3,11,16,20 216:8  
217:9,15 218:7 219:5,24  
220:10,15,20,24 221:6  
221:24 222:10,16,20  
223:6,14,20 224:3,12,18  
224:22 225:3,18,22  
226:18 227:16,24 228:4  
228:10,16,22 229:2,10  
229:24 230:3,10,17 231:1  
231:5,14,25 232:5,10,16  
233:4,9,13,20,24 234:5  
234:11,20 235:2,22 236:3

236:7,21 237:2,16 238:2  
238:11,16 239:5,12,19  
240:2,18,24 241:4,8,13  
241:25 242:5,12,16,23  
243:2,9,13 244:1,6,11  
244:16,22 245:2,6,17,21  
245:25 246:7,13 247:23  
249:3,19 250:1,7,17,22  
251:3,8,13,18 252:1,15  
252:20 253:21 254:10,24  
255:5,10,15,21,25 256:5  
257:6,21 258:1,7,12  
259:18,23 260:3,11,20  
261:2,8 262:12 263:3,11  
263:17,25 264:5,16,18  
264:22 265:8,15,20 266:1  
266:10,16 267:3,10,19  
268:10 269:1,6,12,18,23  
270:10,17,24 271:5 272:9  
272:18 273:2,10,17,24  
274:9,17 275:5,15 276:2  
276:15,22 277:1,10,17  
277:22 278:5,10,15,22  
279:9,13,17,21,25 280:6  
280:12,22 281:1,20 282:1  
282:5,15 283:6,15 284:2  
284:6,14,25 285:8,13,17  
285:23 286:4,11,16,22  
287:1,7,11,16,24 288:13  
288:18,25 289:18 290:8  
290:12,16,22 291:2,12  
291:18 292:12,20 293:7  
293:12,17,25 294:10,15  
294:22 295:8,16 296:3,9  
296:18,24 297:7,15,22  
298:11 299:18,25 300:5  
301:15 302:1,7,13,19,24  
303:3,7,11,16 304:8,12  
304:17,23 305:4,12,22  
306:5,14,21 307:2,6,12  
307:18,22 308:2,6,10,14  
308:18,24 309:15,22  
310:12,25 311:4,10,15  
311:20 312:4,8,15,25  
313:6,13,19,25 314:6,13  
314:23 315:3,8,12,20  
316:6,13,21 317:2,7,12  
317:17,24 318:3,19 319:9  
319:16,20 320:3,9,14,19  
320:23 321:3,12,17 322:6  
322:13,17 323:6,11,16  
323:21 324:6,13,21 325:5  
325:12 326:21 328:12,17  
328:22 329:2,11,18 330:4  
330:14,19,25 331:14  
332:14 333:10,20 334:5  
334:17 335:8,13 336:2  
337:25 338:9,16,22 339:2  
339:20,24 340:7,14,18  
341:4,11,15,23 342:3,13  
342:19,25 343:9 344:12  
344:21 345:6,17 346:5  
346:13,18,23 347:4  
348:18,22 349:3,8,19  
350:10,21 351:1,5,11,16  
352:17 353:1,7,11,17,21  
354:2,9,13 355:23  
**Q.C./Mandy** [1] 1:7  
**QI** [8] 5:23 55:25 124:15  
135:15 137:10 138:13,16  
244:24  
**qualifications** [1] 78:17

**quality** [33] 25:17 27:9  
39:3 47:13,22,25 75:15  
77:19 81:7 83:4,20,23  
135:15 136:21,24 138:9  
138:22,23 143:16 151:17  
151:19,22 158:15 240:11  
259:21 260:14 265:1  
271:19,21,22 274:4 289:8  
344:7  
**quarterly** [1] 66:3  
**questioned** [1] 213:8  
**questions** [9] 6:4 92:17  
182:22 211:16 219:19  
296:11 354:21 355:9,25  
**Quevillon** [1] 65:11  
**quickly** [11] 30:16 35:14  
36:19 37:16,19 123:12  
128:9 239:25 257:15  
259:5 265:19  
**quiet** [1] 282:18  
**quite** [18] 29:5,17 30:9  
30:10 41:6 42:11 78:23  
114:2 137:1 166:14 170:8  
196:19 208:4 281:9 301:6  
318:15 324:8 326:4  
**quote** [1] 333:13  
**quoting** [1] 62:1

**-R-**

**r** [4] 45:21,21,21,21  
**radiation** [2] 98:19 99:5  
**radiologist** [1] 29:16  
**radiology** [2] 32:25 33:7  
**raise** [3] 32:2 190:25  
327:17  
**raised** [7] 25:3 45:5  
62:21 123:25 175:19  
176:3 334:24  
**raising** [2] 191:3,5  
**ramifications** [2]  
187:25 188:5  
**ran** [1] 208:3  
**randomly** [2] 253:12,18  
**range** [1] 62:2  
**ranges** [1] 61:22  
**rate** [12] 61:7,19 62:1  
84:18,24,25 85:2 88:10  
88:11 284:21 306:3 333:5  
**rates** [11] 6:24 53:24  
84:10,10 146:8 194:25  
305:17 332:6,9,12 333:8  
**rather** [3] 135:1 257:15  
265:19  
**rationale** [1] 334:7  
**raw** [1] 85:4  
**re** [11] 13:8 17:6 56:13  
107:18 118:18 124:17  
135:14 136:8,8 163:4  
320:16  
**re-embed** [1] 204:2  
**re-embedded** [1] 203:15  
**re-evaluate** [1] 44:14  
**reach** [3] 193:12 205:5  
210:8

<p><b>reached</b> [4] 6:19 7:5 28:13 154:10</p> <p><b>reaction</b> [6] 54:16 69:23 282:16 339:3 353:12,13</p> <p><b>read</b> [20] 13:2 39:20,23 84:22 158:7,10 164:21 205:21 207:8 209:8 219:17 222:1 245:10 265:19 267:4 270:25 281:11 282:2 288:12 309:17</p> <p><b>readily</b> [4] 216:16 277:25 278:6,11</p> <p><b>reading</b> [4] 18:13 27:9 202:9 277:3</p> <p><b>readings</b> [1] 227:2</p> <p><b>reads</b> [6] 147:17 158:7 212:5 219:10 221:12 313:7</p> <p><b>ready</b> [3] 112:7 163:16 180:21</p> <p><b>realistic</b> [3] 120:14 122:4 333:5</p> <p><b>realize</b> [3] 45:2 94:9,24</p> <p><b>realized</b> [4] 94:9 144:21 293:21,24</p> <p><b>really</b> [17] 20:13 23:20 23:21 114:16 125:7 130:7 133:20 173:20 192:1 203:10 214:7 221:20 226:3 318:25 319:8 339:11 342:20</p> <p><b>realm</b> [1] 86:10</p> <p><b>reason</b> [12] 17:20 23:20 23:21 32:3 80:22,24 131:20 134:12 152:18 271:7 272:19 284:16</p> <p><b>reasonable</b> [2] 333:19 333:21</p> <p><b>reasons</b> [4] 132:3 272:11 294:3,6</p> <p><b>reassuring</b> [1] 291:23</p> <p><b>recalled</b> [1] 138:15</p> <p><b>receipt</b> [4] 104:25 216:12 265:25 317:20</p> <p><b>receive</b> [2] 39:15 236:14</p> <p><b>received</b> [26] 6:8 14:12 25:18 86:17 90:19 92:7 140:19 156:10 157:2 158:3 165:4 203:1 220:21 235:12 265:9,13,16 286:20 296:19,22 310:11 321:18 324:22 327:6 331:23 353:3</p> <p><b>recent</b> [4] 85:13 229:12 246:24 327:2</p> <p><b>recently</b> [2] 27:11 29:6</p> <p><b>receptive</b> [3] 59:6 301:6 349:16</p> <p><b>receptor</b> [10] 1:2 7:15 7:15 38:15 84:6,7 89:14 182:11 247:4 357:4</p> <p><b>receptors</b> [14] 49:22 89:14 104:20,21 126:7 181:20 217:20,22 219:13 221:14 222:4 247:2 326:14 327:4</p>	<p><b>RECESS</b> [3] 115:16 198:8 264:2</p> <p><b>recipient</b> [2] 29:24 221:12</p> <p><b>recognize</b> [5] 14:7 29:13 216:16 242:2 244:12</p> <p><b>recognized</b> [2] 58:11 274:20</p> <p><b>recollect</b> [12] 15:8 59:25 68:17 86:1 126:1 145:1 168:11 169:4 190:19 243:17 245:24 297:21</p> <p><b>recommend</b> [1] 298:25</p> <p><b>recommendation</b> [5] 25:13 66:2 75:9 249:11 350:16</p> <p><b>recommendations</b> [9] 74:13 240:22 245:16 246:6 270:19 297:6 327:8 327:12 346:19</p> <p><b>recommended</b> [1] 27:18</p> <p><b>recommending</b> [2] 59:2 81:6</p> <p><b>reconfirm</b> [1] 35:3</p> <p><b>reconstruct</b> [1] 216:21</p> <p><b>record</b> [7] 162:21 184:8 184:13 285:19,21 320:6 323:7</p> <p><b>recorded</b> [4] 183:23 184:16 185:4,11</p> <p><b>recording</b> [1] 183:25</p> <p><b>records</b> [5] 152:18 214:2 214:3,7 306:13</p> <p><b>recovering</b> [1] 162:10</p> <p><b>recruitment</b> [1] 81:21</p> <p><b>red</b> [1] 26:4</p> <p><b>redacted</b> [1] 156:10</p> <p><b>redone</b> [1] 216:6</p> <p><b>redrafted</b> [1] 223:17</p> <p><b>redrafting</b> [1] 74:15</p> <p><b>refer</b> [16] 33:17 79:13 81:13 112:2 119:2 125:19 136:23 146:20 188:17 200:2 225:13 248:2 259:24 302:9 331:25 352:1</p> <p><b>reference</b> [43] 15:12 34:15 36:21 52:3 62:20 62:24 69:12 77:18 118:17 124:22 125:11 126:11 145:18 155:2 157:2 167:4 180:22 181:3 183:11 187:4 191:12 193:1 195:5 215:21 222:22,24 229:13 231:6 232:1 240:6,8,11 240:14 241:9,17 245:18 249:8 268:5 276:16 283:17 311:21 314:8 317:13</p> <p><b>referenced</b> [2] 180:13 327:11</p> <p><b>references</b> [7] 12:18 27:2,3 63:22 79:18 224:4 311:16</p> <p><b>referencing</b> [1] 81:6</p> <p><b>referral</b> [3] 75:14 76:17</p>	<p>162:16</p> <p><b>referrals</b> [1] 324:16</p> <p><b>referred</b> [25] 4:11 5:15 25:9 46:1,3 56:19 91:25 92:16 95:10 99:2 108:21 123:23 125:22 137:12 145:21 148:9 153:13 198:17 201:8 227:20 287:3 288:7 304:7 352:13 352:22</p> <p><b>referring</b> [9] 47:8,12 77:5,5,7 112:17 136:1 237:19 268:7</p> <p><b>refers</b> [8] 24:24 36:15 59:15 106:16 112:14 284:17 323:22 344:25</p> <p><b>reformatted</b> [1] 221:20</p> <p><b>refrigerator</b> [1] 23:2</p> <p><b>regard</b> [12] 15:12 47:16 63:6 79:6 80:7 83:17 146:12 152:15 205:1 214:16 225:16 297:23</p> <p><b>regarded</b> [2] 63:9 72:15</p> <p><b>regarding</b> [45] 11:17 15:12 34:6 38:13 45:25 47:9 48:24 50:10 51:15 52:18 60:1 63:11,24 66:19 70:25 86:19 98:13 109:22 119:17 136:5,20 137:16 160:16,20 161:17 169:17 203:9 227:1 232:4 247:1 262:21 266:5,7 280:21 292:2,9,10 297:13 299:19,21 317:19 319:11 320:20 327:3 332:4</p> <p><b>regards</b> [15] 27:15 29:3 47:25 48:18 52:19 55:10 66:23 74:11 136:23 166:25 167:9 204:6 217:5 322:12 352:10</p> <p><b>regimes</b> [1] 167:1</p> <p><b>regional</b> [5] 1:10,17 311:11 312:11 329:25</p> <p><b>regions</b> [3] 226:25 227:7 228:11</p> <p><b>registered</b> [1] 338:14</p> <p><b>Registrar</b> [6] 4:10 5:14 141:22 198:12 223:22 287:17</p> <p><b>registrating</b> [1] 337:18</p> <p><b>regret</b> [1] 38:18</p> <p><b>Regretfully</b> [1] 37:25</p> <p><b>regular</b> [1] 177:11</p> <p><b>rehashing</b> [1] 81:17</p> <p><b>reimburse</b> [2] 50:11 52:16</p> <p><b>relate</b> [1] 310:15</p> <p><b>related</b> [6] 31:1,4 56:17 136:11 175:6 213:23</p> <p><b>relates</b> [1] 74:7</p> <p><b>relating</b> [1] 207:7</p> <p><b>relation</b> [10] 46:5 61:12 61:15 86:17 89:16 94:6 212:19,21,22 266:17</p> <p><b>relationship</b> [2] 150:3 151:24</p>	<p><b>relatively</b> [3] 272:5 305:19 337:12</p> <p><b>relay</b> [1] 295:24</p> <p><b>relayed</b> [2] 148:5 150:19</p> <p><b>released</b> [3] 90:5 91:2 97:3</p> <p><b>releasing</b> [1] 333:6</p> <p><b>relevance</b> [2] 167:13 186:21</p> <p><b>relevant</b> [2] 226:4 305:23</p> <p><b>reliability</b> [1] 289:11</p> <p><b>reliable</b> [3] 38:14 245:13 289:8</p> <p><b>relied</b> [2] 279:16 294:8</p> <p><b>rely</b> [1] 279:8</p> <p><b>relying</b> [2] 41:19 217:7</p> <p><b>remain</b> [4] 38:16 179:15 295:3,6</p> <p><b>remaining</b> [2] 114:21 352:10</p> <p><b>remains</b> [2] 31:22 268:19</p> <p><b>remarks</b> [2] 135:6 174:20</p> <p><b>remedied</b> [1] 247:19</p> <p><b>remedy</b> [2] 31:17 250:9</p> <p><b>remelted</b> [1] 204:8</p> <p><b>remember</b> [45] 19:22 20:24 48:22,22 58:10 59:23 68:15 74:20 87:23 88:23 102:2 106:15 122:20 124:5,6 139:22 144:17 155:20 161:19 165:8 177:23 191:3,5 192:4 216:6 223:13 243:24 246:10 249:13 253:7 254:6 258:17 259:1 281:18 282:19 288:5,11 291:22 314:21 316:3,14 330:17,24 332:4 335:24</p> <p><b>reminder</b> [1] 246:3</p> <p><b>reminders</b> [1] 34:5</p> <p><b>removed</b> [1] 41:17</p> <p><b>remuneration</b> [1] 78:8</p> <p><b>reorganize</b> [1] 350:8</p> <p><b>repackaged</b> [1] 128:3</p> <p><b>repeat</b> [3] 7:14 92:6 181:20</p> <p><b>repeats</b> [1] 114:24</p> <p><b>replied</b> [1] 325:25</p> <p><b>reply</b> [1] 301:23</p> <p><b>report</b> [86] 25:7 27:5 43:17 47:19 65:9,19 73:15 79:23 91:1,1 92:7 105:9 126:13 162:20 171:12 188:17,18 199:6 202:12 233:2 234:8 238:25 249:9,10 265:4,9 265:24,25 266:6,15,18 266:22 267:5,12,15 270:2 270:2,25 273:20,20 280:8 280:21 281:7,13,23 282:2 286:9,13 292:19 293:6,9 293:13,16 295:11,15,17 295:21 298:5 308:7,19</p>	<p>309:6,6,8,8,10,11,20,24 309:25 310:1,4,17 313:9 316:18 319:12 321:19 346:1 347:23 349:24 350:5,13,18,23 352:21 353:3,23</p> <p><b>reported</b> [11] 56:20 72:13 73:2 147:19 152:2 170:5 181:16 266:9 273:3 273:5 284:19</p> <p><b>reporting</b> [22] 7:14 23:5 40:21,22 43:12 44:17 49:21 57:11 59:4 89:18 89:25 104:22 148:10 153:21 188:15 218:11 235:17 266:25 276:18 281:16 298:8 300:11</p> <p><b>reports</b> [23] 64:12 90:4 90:11 111:22 112:9 170:14 171:5 181:1 199:8 229:18 230:5,24 238:23 239:25 309:4,13 310:9 310:10 311:12 312:11 322:23 345:20 352:3</p> <p><b>representative</b> [2] 147:2 197:18</p> <p><b>representing</b> [1] 194:4</p> <p><b>reprocessed</b> [3] 202:23 202:25 204:10</p> <p><b>reprocessing</b> [1] 203:25</p> <p><b>reproducibility</b> [1] 194:23</p> <p><b>reproducible</b> [2] 38:14 245:13</p> <p><b>reputation</b> [1] 38:22</p> <p><b>request</b> [13] 27:14 47:17 90:15 105:8 108:21 200:10 206:17 218:25 219:9 236:11 240:15 336:1 337:19</p> <p><b>requested</b> [7] 130:2 140:2 156:5 232:24 234:24 295:20 350:2</p> <p><b>requesting</b> [5] 106:2,13 172:19 182:10 218:13</p> <p><b>requests</b> [4] 105:2 218:11,19 238:24</p> <p><b>require</b> [7] 55:15 79:9 129:11 206:21 248:24 325:1 354:6</p> <p><b>required</b> [2] 179:24 239:10</p> <p><b>requirement</b> [1] 178:25</p> <p><b>requires</b> [1] 83:6</p> <p><b>requisition</b> [7] 26:3 27:11 29:22,25 30:25 31:24 233:3</p> <p><b>requisitioned</b> [1] 21:6</p> <p><b>requisitions</b> [2] 29:4 31:7</p> <p><b>reschedule</b> [1] 301:7</p> <p><b>rescheduling</b> [1] 299:21</p> <p><b>research</b> [2] 145:19 252:8</p> <p><b>resident</b> [1] 29:7</p> <p><b>residents</b> [1] 31:11</p>
--	---	--	---	--

<p><b>resisted</b> [1] 195:15  <b>resource</b> [7] 42:2 45:23  46:21 47:13 49:6 216:17  304:22  <b>resources</b> [11] 30:19  83:6 128:15 129:3,5,14  129:15,20 130:2 138:20  350:8  <b>respect</b> [11] 30:23 64:16  84:6 174:20 216:13 226:1  236:23 247:12 300:6  324:1 327:1  <b>respective</b> [1] 90:14  <b>respond</b> [1] 49:8  <b>responded</b> [1] 327:18  <b>response</b> [10] 21:24  44:20,22 153:5 174:5,7  246:24 327:22 335:4,10  <b>responsibility</b> [4] 39:8  107:24 116:24 197:16  <b>responsible</b> [3] 184:7  185:17 299:10  <b>rest</b> [2] 270:14 288:22  <b>restarted</b> [1] 91:8  <b>restarting</b> [1] 37:18  <b>restructuring</b> [1] 283:1  <b>result</b> [23] 9:13 35:9,20  36:18 62:6,8,9 70:23  168:20 202:20 226:3  248:11 252:3 254:14,17  276:7 309:21 336:5,13  336:24 337:13,24 339:18  <b>resulted</b> [2] 14:18 284:20  <b>resulting</b> [1] 248:10  <b>results</b> [93] 6:11,13 7:16  7:21,22,23,25 9:11,20  10:12,20 11:2,3 12:25  13:6 15:18 17:13,18  18:23 19:19 39:9 50:3,7  52:4 55:7 63:2 119:20  119:25 120:5,5,7,16,17  122:1,5,10,25 123:16  124:18,20,21 125:12,13  125:16 133:12,13,13  134:16 156:22,23,24  166:5,15,22,24 167:20  167:22,24 169:18 170:8  171:17,20 180:25 195:13  212:13 216:1 229:16  231:19 233:8,10 268:12  273:14 296:10,14,19  308:21 310:20,21 311:23  317:3 320:5 325:18  331:17,22 332:19,23  334:1,2 335:2,18,18  337:5 338:18  <b>results'</b> [1] 119:2  <b>RESUMES</b> [1] 2:2  <b>retaining</b> [2] 16:25 37:7  <b>retest</b> [26] 7:23,25 9:10  11:1 18:4 20:4,6 35:8  69:3 86:21,21,25 88:14  102:5 127:20 131:9  134:22 146:11 159:8  212:9 273:9 284:19  306:16 329:4 336:18  351:23</p>	<p><b>retested</b> [28] 9:23 10:8  15:18 53:24 62:22 68:8  68:23 84:21,21 87:4,6  100:18 115:9 120:15  130:21 131:1 134:4,20  159:11 168:3 306:7  311:25 321:5 330:7,10  331:17 336:11,19  <b>retesting</b> [32] 7:16 8:9  9:1 11:22,25 13:6 17:5,6  17:17 51:23 87:16 97:13  101:19 108:8 109:13,25  110:2 124:18,19 125:11  125:13 127:21 132:25  155:17 168:9 194:13  212:11 227:21 284:20  285:14 296:14 308:21  <b>retests</b> [1] 87:13  <b>rethink</b> [1] 120:22  <b>retirement</b> [1] 81:23  <b>retrieval</b> [8] 194:16  254:8,14,18,25 255:9  268:16 290:2  <b>retrieve</b> [2] 129:10 275:1  <b>retro</b> [6] 88:4 170:4  200:25 232:4 235:11,14  <b>retros</b> [2] 232:6,20  <b>retrospective</b> [7] 14:23  14:25 51:11,14 97:13  283:20 284:8  <b>retrospectives</b> [1] 51:16  <b>return</b> [2] 31:20 105:2  <b>returned</b> [5] 48:15 90:4  105:10 182:17 285:25  <b>revalidation</b> [2] 212:16  216:7  <b>revert</b> [2] 13:5 44:15  <b>review</b> [69] 4:14 6:9  14:21 24:23 25:2,4 27:10  27:11,19,24 41:18,19,21  41:23 50:25 51:11 52:13  54:3,20,25 79:23 87:24  88:6 100:16 108:5 137:13  140:20,21 146:7 148:3  155:16 169:21 170:7  173:14,18 195:11 211:6  214:18 216:15 217:3,21  219:12 221:13 222:3  229:15 240:8,11,22 241:1  241:20 245:9,13,15 246:5  253:2,4 262:9 265:2,16  266:15 283:18 284:18  287:20 294:18 298:15  336:10,11 349:21 353:8  <b>reviewed</b> [6] 13:6,9 54:8  88:8 283:19 329:25  <b>reviewers</b> [3] 246:4  294:9 295:3  <b>reviewing</b> [4] 108:13,15  173:15 176:11  <b>reviews</b> [6] 138:6 163:12  215:25 327:22,24 350:3  <b>revision</b> [1] 225:15  <b>right</b> [55] 1:8 5:7 9:2,8  12:16 15:5 19:14 21:19  23:4 28:19 34:19 35:16  46:8 67:11,24 76:9 78:12  98:6,22 103:15 107:21</p>	<p>128:21 131:11 132:23  135:25 138:18 139:14  155:6 158:10 160:25  161:25 164:1 182:7  193:15 198:7 210:19  227:15 258:6 267:24  268:5 284:5 285:16 300:4  306:24 308:23 311:19  315:11 317:1 320:8 335:7  341:25 342:12 352:16  354:23 355:17  <b>right-hand</b> [3] 97:18  172:12 299:13  <b>rim</b> [1] 257:11  <b>risking</b> [1] 38:22  <b>road</b> [2] 15:15 202:20  <b>Robb's</b> [2] 79:19,24  <b>role</b> [20] 38:2 39:6 42:4  49:8 195:1 216:16 217:2  217:6,18 238:19,20  256:24 318:8,9 345:18  346:6,14 347:7 348:19  350:19  <b>Rolf</b> [1] 1:8  <b>room</b> [4] 165:10 167:7  178:3 282:18  <b>rough</b> [1] 61:24  <b>rounds</b> [2] 32:12,19  <b>route</b> [2] 314:17 337:22  <b>routine</b> [2] 177:25  203:25  <b>routinely</b> [1] 67:13  <b>rule</b> [1] 8:17  <b>ruling</b> [1] 8:19  <b>run</b> [8] 65:16 67:9,14  78:18 169:22 237:10  253:16 343:18  <b>running</b> [1] 143:23  <b>runs</b> [1] 177:22</p> <hr/> <p style="text-align: center;"><b>-S-</b></p> <p><b>s</b> [2] 45:21 158:16  <b>safe</b> [2] 133:10 135:1  <b>salaries</b> [2] 251:25  261:21  <b>sample</b> [4] 131:1 168:9  285:18 325:20  <b>samples</b> [6] 53:24 146:8  168:3 212:10 237:9 253:8  <b>Sandra</b> [1] 1:7  <b>sat</b> [3] 133:19 253:25  335:21  <b>satisfactory</b> [1] 248:12  <b>satisfied</b> [2] 13:4 117:11  <b>save</b> [1] 30:17  <b>savings</b> [1] 252:2  <b>saw</b> [9] 165:12 176:24  201:23 254:4 285:1,4,5  285:9,10  <b>says</b> [48] 24:24 38:10  60:6 62:13 65:22 68:6  68:21 84:12,15 93:21  108:4 109:11,12 114:19  118:17 124:18 125:14,15</p>	<p>126:12,12 128:14 130:15  130:22 135:11 136:8  138:14 156:3,10 157:2  180:20 201:8 205:7  227:18 242:7 247:12  248:6 268:11 272:13  273:11 274:1 289:2  325:18,21 326:25 329:12  329:24 331:16 345:1  <b>scarce</b> [1] 30:18  <b>SCH</b> [1] 181:24  <b>scheduled</b> [1] 354:8  <b>scheduling</b> [2] 299:19  301:10  <b>Sciences</b> [2] 246:19  248:7  <b>scope</b> [14] 32:16 119:19  121:25 146:16 195:12  217:25 222:13,24 223:10  253:25 255:18 274:21  276:4 288:6  <b>scraps</b> [1] 144:17  <b>screening</b> [1] 325:1  <b>script</b> [1] 118:21  <b>searching</b> [1] 338:4  <b>seated</b> [3] 4:2 115:18  264:4  <b>second</b> [14] 60:5,13,15  68:21 78:2 105:21 114:19  114:23 115:5 128:13  208:18 229:14 246:14  247:11  <b>secret</b> [1] 295:4  <b>secretarial</b> [1] 129:11  <b>secretaries</b> [5] 124:15  129:21 183:24 184:10  185:20  <b>secretary</b> [1] 253:13  <b>section</b> [4] 178:3 179:1  180:4 275:2  <b>sectioned</b> [2] 172:25  257:4  <b>sectioning</b> [3] 256:22  275:12,24  <b>sectionings</b> [1] 250:13  <b>sections</b> [6] 248:14 250:6  256:17 267:16 268:23  289:13  <b>secure</b> [1] 78:5  <b>see</b> [36] 8:4 10:1 12:14  13:8 17:23 27:19 34:22  41:22 64:8 69:13 70:1  78:16 103:6 106:9 107:23  139:6 144:4 152:23 157:4  189:20 213:5 217:10  236:13 238:5 240:7  249:10 253:14 257:17,18  286:12 309:19 310:9  335:5 339:6,11 355:20  <b>seeing</b> [6] 44:23 72:11  72:25 156:24 216:6 348:7  <b>seem</b> [3] 71:1 194:5  196:10  <b>segregated</b> [2] 45:1  57:13  <b>segregation</b> [4] 43:25</p>	<p>44:3,12 58:12  <b>Sekura</b> [2] 248:5 249:18  <b>select</b> [1] 82:12  <b>selected</b> [1] 88:4  <b>selective</b> [1] 88:7  <b>semi</b> [1] 161:10  <b>semi-automated</b> [6]  159:5,9,11 180:23 181:2  181:5  <b>send</b> [37] 12:25 13:12  14:20 17:4 34:5 69:1  108:6 120:2 127:9 128:2  147:19 149:1,15 159:1  163:11,16 169:20 173:11  199:4 200:3,11 205:20  209:10,24 210:1 212:10  214:18 215:6 228:12  236:14 238:18,25 239:4  309:23 310:17 313:8  352:11  <b>sending</b> [20] 16:21 17:5  87:11 140:5 149:17 185:7  200:16,25 201:13,15  209:12,25 214:12 218:24  232:18 235:14 238:22  239:13 310:3 337:14  <b>sends</b> [1] 331:4  <b>senior</b> [1] 27:20  <b>seniority</b> [1] 78:14  <b>sense</b> [12] 20:6 28:16  31:1 60:22 61:1 73:13  143:6,11 229:21 259:19  260:12 341:6  <b>sensitive</b> [1] 273:12  <b>sensitivities</b> [1] 160:5  <b>sensitivity</b> [3] 86:6  157:21 194:24  <b>sent</b> [69] 16:14 20:15,23  21:2 25:2 26:21 48:3  74:18,22 90:18 91:12  92:18 95:22 106:3,10,14  108:8 109:7,12 120:3  127:1,20 128:4 147:21  148:1,4,7 159:14 169:16  170:14,15 174:2 177:21  180:18 181:25 183:8,12  183:14 198:24 199:1  200:8 201:14 206:5 210:1  210:17 218:12,21,23  219:4 228:17,24 230:7  231:9 232:22 233:2 239:8  240:19 322:1 324:15,23  325:1,8,20 329:14 331:5  335:25 336:8 345:24,24  <b>sentence</b> [1] 222:2  <b>separate</b> [6] 43:7 75:10  309:13,14 325:22 336:8  <b>separated</b> [1] 43:24  <b>separately</b> [1] 233:2  <b>September</b> [55] 25:5  52:15 106:5,10,11,22  110:24 111:4 127:14  166:23 172:13 174:14  201:25 207:16,20 210:15  221:8 222:6,17 223:24  230:14,18,25 231:6,10  231:15,20 233:5,16 234:1  234:12 235:5 236:10</p>
---	--	--	--	--

<p>237:5,11 240:4 244:19 246:16 249:21 252:17 264:12 287:19 290:24 294:24 296:6 297:16 298:13 299:13 302:8,17 306:6 324:25 327:1 351:21 353:2</p> <p><b>sequestered</b> [1] 228:20</p> <p><b>sequestering</b> [1] 104:4</p> <p><b>series</b> [1] 7:13</p> <p><b>serious</b> [2] 195:20 203:24</p> <p><b>service</b> [28] 32:13 54:1 66:24 67:8 75:10 78:7 78:19 81:9 240:12 245:5 245:7 246:5 248:23,23 248:25 265:2 288:9,9,22 289:8,23 290:6,11,13 347:8,10,15,19</p> <p><b>services</b> [6] 44:10 149:25 295:25 314:12 323:4 349:18</p> <p><b>session</b> [2] 261:4 327:7</p> <p><b>sessions</b> [1] 70:6</p> <p><b>set</b> [13] 22:4 51:3 131:8 183:4 195:17 229:3 253:1 253:3 262:2 283:20 284:8 298:2 312:18</p> <p><b>setting</b> [2] 142:7 217:3</p> <p><b>seven</b> [3] 7:21 8:1 180:25</p> <p><b>several</b> [4] 77:11,11 264:6 325:19</p> <p><b>shall</b> [1] 344:7</p> <p><b>sheer</b> [1] 110:6</p> <p><b>sheet</b> [2] 304:16 344:23</p> <p><b>sheets</b> [2] 235:18,23</p> <p><b>Shirley</b> [6] 299:14,16,20 300:9,14 301:6</p> <p><b>shore</b> [1] 48:10</p> <p><b>short</b> [3] 24:10 33:18 176:10</p> <p><b>shortage</b> [2] 99:3,4</p> <p><b>shortages</b> [1] 261:16</p> <p><b>shortcomings</b> [1] 213:5</p> <p><b>shorthanded</b> [1] 337:15</p> <p><b>shot</b> [1] 334:14</p> <p><b>show</b> [6] 139:12,13 187:17,19 254:5 327:17</p> <p><b>showed</b> [2] 258:3 284:11</p> <p><b>showing</b> [2] 254:2 260:8</p> <p><b>shows</b> [2] 130:15,22</p> <p><b>shut</b> [2] 66:23 67:3</p> <p><b>shutting</b> [1] 54:1</p> <p><b>sic</b> [2] 133:7 203:16</p> <p><b>side</b> [9] 97:18 195:23 241:22,24 299:13 342:11 342:11 343:4,4</p> <p><b>sight</b> [1] 271:11</p> <p><b>sign</b> [7] 17:11,23 18:25 23:23,24 91:10 350:23</p> <p><b>signals</b> [1] 157:23</p> <p><b>signature</b> [3] 7:12 73:22 331:8</p> <p><b>signed</b> [6] 97:3 104:8 172:11 218:20 219:25</p>	<p>299:11</p> <p><b>significance</b> [4] 66:13 66:16 160:13 186:12</p> <p><b>significant</b> [8] 29:12 41:10 82:14,16 116:18 186:25 256:24 339:14</p> <p><b>similar</b> [1] 158:25</p> <p><b>Simmons</b> [3] 1:10 354:23,24</p> <p><b>Simms</b> [4] 21:23 104:10 104:15 242:13</p> <p><b>simple</b> [1] 30:5</p> <p><b>simply</b> [5] 101:17 133:7 208:3 251:17 330:21</p> <p><b>simultaneously</b> [1] 90:17</p> <p><b>sinai</b> [120] 15:11,13 17:17 17:25 18:12,20,23 22:10 34:22 35:10,10,11 36:22 49:19 50:12 51:6 56:13 77:7,15,24 85:14 87:12 87:12,19 89:25 91:8,25 92:6,7,16 95:10,22 105:8 105:9 108:22 114:25 115:9 126:13,19 127:21 128:4 142:5 145:22 147:21 148:7 149:2 152:2 154:23 156:23 157:24 162:10,16 163:6 166:16 171:4 173:14 180:17 182:24 188:16,18 195:4 195:14 200:2,4,22 201:2 201:9,21 204:14 208:9 208:22,24 209:11,25 210:2 212:11,13 215:7 215:17 217:5 218:12 227:20 228:17 229:17 231:16 232:18 233:3 237:21,22,24 238:24 239:1,11,20 298:6 306:10 309:11,13,20 310:1,4,10 310:11 317:3 320:5 321:6 321:19 325:9 329:14 332:24 334:1 335:16 336:19 337:14,22 338:2 345:20 346:2 352:2,12</p> <p><b>Sinai's</b> [3] 17:18 50:7 52:4</p> <p><b>sincerely</b> [2] 173:9 220:1</p> <p><b>single</b> [1] 45:3</p> <p><b>sit</b> [1] 345:2</p> <p><b>site</b> [28] 4:11,13 7:1,1 23:6 34:6 46:3,4,6,10,14 46:16 56:5 58:18,21 92:8 105:11 108:16 172:8 176:5 180:15 182:18 235:15 246:18 254:16,23 281:11 327:20</p> <p><b>sites</b> [5] 108:25 117:23 117:24 283:14 349:22</p> <p><b>sitting</b> [2] 176:17 288:6</p> <p><b>situation</b> [27] 55:3,9 83:12 146:1,22 148:2,21 149:20,22 176:10,17 179:10 190:22 193:20 194:6 197:8 231:8 261:15 262:23 313:10,21,23 323:2,2 328:3,11 330:7</p>	<p><b>six</b> [12] 30:12 81:21 114:21 126:12 135:5 139:14 140:1 147:15,16 170:12 337:23 346:9</p> <p><b>size</b> [1] 341:1</p> <p><b>slices</b> [5] 268:13,19 270:13 274:4 343:23</p> <p><b>slide</b> [20] 22:21 23:1 32:22 72:12,12,21,23 73:14 187:16,21,21 260:16 268:1 339:25 340:9,9,11,21,22 343:3</p> <p><b>slides</b> [81] 13:2,2 16:13 17:8,9 18:13,14 20:3,7,9 20:23 21:15 22:2,4,5,7,7 22:16 24:6,10 47:18 54:8 72:3 104:4 105:3,9 106:3 106:14,21 107:2 108:14 108:15 142:18 148:4 151:18,19,21,25 154:11 156:5 158:15,15 159:10 159:13 160:9,22 162:10 175:2,6 176:12,18 182:17 187:17 194:16 216:6 253:2,4 256:8,11,12 257:17 259:3,14,16,19 259:19,22,25 260:6,15 260:19 266:8 267:18 269:3 277:3 285:2,6,9 285:10 288:7,11</p> <p><b>slightly</b> [1] 144:4</p> <p><b>slip</b> [1] 145:7</p> <p><b>Sloan</b> [1] 15:10</p> <p><b>small</b> [6] 82:9,11 88:7 257:11 271:16 305:19</p> <p><b>smooth</b> [1] 58:24</p> <p><b>Society</b> [1] 1:15</p> <p><b>sofar</b> [1] 91:12</p> <p><b>soft</b> [3] 303:12 304:2 305:7</p> <p><b>solely</b> [3] 75:11,19 347:10</p> <p><b>solutions</b> [1] 38:5</p> <p><b>someone</b> [7] 16:2 48:13 106:20 132:15 159:8 179:12 277:23</p> <p><b>sometime</b> [12] 11:20,23 20:21 89:7 110:23 113:7 148:6 166:23 281:4,8 286:19,23</p> <p><b>sometimes</b> [5] 143:8 144:15 318:16 326:7,9</p> <p><b>somewhere</b> [1] 338:5</p> <p><b>soon</b> [10] 13:13 122:5,6 163:13 167:22,23 177:19 180:19 215:7 216:1</p> <p><b>sorry</b> [30] 16:14,21 24:20 32:1 35:13 75:1 81:20 94:16 135:2 159:23 160:18 163:12 198:22 207:23,25 212:3 232:6 232:12 256:6 257:22 279:10 287:6 289:1,4,22 290:11 303:18 316:16 344:24 347:12</p> <p><b>sort</b> [24] 47:8 62:1 72:18 75:5 100:4 116:12 120:8 129:16 141:4 143:3,21</p>	<p>252:9 259:10 260:17 263:9 274:19 280:19 292:11,17 305:13 316:4 319:24 333:2,6</p> <p><b>sorts</b> [3] 174:25 293:22 332:2</p> <p><b>sought</b> [2] 39:5 48:7</p> <p><b>sound</b> [2] 46:7 357:10</p> <p><b>sounded</b> [1] 333:19</p> <p><b>source</b> [2] 328:14,20</p> <p><b>span</b> [1] 133:9</p> <p><b>Spanning</b> [1] 305:5</p> <p><b>speak</b> [12] 20:16 38:8 39:20 40:5 48:16 107:18 148:1 205:8 247:5 278:24 280:8 297:2</p> <p><b>speaking</b> [11] 15:9 20:24 48:22 138:15 143:4,17 211:12 226:1 332:4 352:6 355:24</p> <p><b>special</b> [1] 30:11</p> <p><b>specialized</b> [3] 289:17 289:23 347:9</p> <p><b>specialty</b> [1] 37:5</p> <p><b>specific</b> [6] 56:12 127:11 137:9 190:8 224:7 329:25</p> <p><b>specifically</b> [8] 59:25 136:5,18 138:21 139:23 155:20 247:1 327:3</p> <p><b>specifics</b> [3] 151:19 266:13 314:21</p> <p><b>specified</b> [1] 144:9</p> <p><b>specimen</b> [13] 26:21 172:22 177:20 179:13 236:17 256:22,23 298:20 300:20,21,25 321:5,5</p> <p><b>specimens</b> [28] 25:2,16 26:4,6 88:14 126:13 159:8 172:11,20 174:21 174:25 175:10,14 177:12 177:19 178:3,5 215:6 247:18 249:17 275:12 289:13 298:21 301:14,20 325:23 326:15,19</p> <p><b>spelled</b> [3] 218:4 224:9 302:25</p> <p><b>spells</b> [1] 284:3</p> <p><b>spend</b> [1] 162:9</p> <p><b>spent</b> [1] 248:13</p> <p><b>spoke</b> [40] 44:7 98:12 110:8 142:4 145:23 150:25 151:7 169:15 170:24 188:9 193:6 194:12,21 195:9 196:9 198:15 199:20 202:18 203:8 205:14 206:24 209:8,17 210:14 218:23 230:19 231:7,15,18 233:14 258:25 279:2 299:14 300:9 313:7 317:19 318:22 319:11 320:15,16</p> <p><b>spoken</b> [8] 39:23 86:19 150:7,11,22 153:9 193:22 233:15</p> <p><b>spot</b> [1] 351:15</p>	<p><b>spreadsheet</b> [15] 156:9 169:19,21 170:6,9,15 171:5 182:19 184:17,19 235:7,23 302:21 305:14 310:5</p> <p><b>spreadsheets</b> [7] 161:22 170:8 171:20 181:13 183:21 184:2 335:15</p> <p><b>spring</b> [2] 89:8 102:9</p> <p><b>St</b> [80] 38:4 51:23 52:11 52:13 84:8,14 92:8 95:21 97:11 105:1,6,10 108:14 111:7,13 113:10 118:13 126:20,22,25 127:1,5,13 127:20 128:2,3,6 149:17 151:8,11 160:23 172:3 176:5 180:15 181:23,24 182:18 183:17 188:17 190:17,25 191:7 198:17 199:2 200:11,23,25 201:14 205:21 207:10,14 209:13,25 210:10 214:25 226:20 227:7 228:12 231:7 235:15 243:21 252:25 254:1 279:4,5 280:18 281:10 284:13 285:25 290:23 294:1 299:17 300:14 306:8 309:23 313:9 317:21 324:9 357:7,11</p> <p><b>stability</b> [4] 258:20 271:10,10 282:25</p> <p><b>stable</b> [1] 271:12</p> <p><b>staff</b> [6] 25:14 38:17 63:11 118:18 293:2 301:22</p> <p><b>stage</b> [3] 28:14 305:24 306:1</p> <p><b>stages</b> [1] 271:6</p> <p><b>stain</b> [6] 17:7,7 48:1 72:17 90:16 182:17</p> <p><b>stained</b> [10] 13:9 21:15 21:17 24:11 73:3 105:3 106:21 107:3 152:1 156:4</p> <p><b>staining</b> [29] 12:25 13:13 18:18,20 22:7,21 23:4 24:5 50:3 65:23 74:12 75:12 85:16 93:16 104:16 148:7 160:9 231:17 235:17 237:8 245:14 246:25 247:8,13 298:18 327:3 342:8,10 347:22</p> <p><b>stains</b> [26] 9:2 13:4 30:11 30:12 47:13,15,22 65:14 67:9,22 90:19 112:9 142:7,18 182:11 213:22 253:13,14,16,19 254:2,5 254:6 259:3,8 288:21</p> <p><b>stamp</b> [1] 93:2</p> <p><b>STAND</b> [1] 2:2</p> <p><b>standard</b> [4] 102:4 247:6 247:24 292:8</p> <p><b>standardization</b> [7] 6:21 158:8 194:23 195:9 249:16 275:25 292:7</p> <p><b>standardized</b> [11] 79:16 105:8 247:17 248:19 250:16 274:5,10 275:12 275:16,21 289:14</p>
---	---	---	---	---

<p><b>standards</b> [1] 248:17  <b>standby</b> [1] 234:23  <b>standing</b> [3] 29:17 31:13 139:16  <b>start</b> [8] 18:24 51:23 93:6 147:5 215:5 231:17 238:7 240:1  <b>started</b> [9] 9:1 11:23 29:7 93:16 152:11 237:7 254:1 282:20 346:8  <b>starting</b> [4] 17:21 59:2 96:18 201:17  <b>state</b> [3] 71:6 266:8 318:17  <b>statement</b> [3] 68:16 155:22 268:25  <b>states</b> [2] 142:8 299:20  <b>stating</b> [2] 106:4 351:9  <b>stationery</b> [2] 242:7 244:17  <b>statistic</b> [1] 113:20  <b>status</b> [18] 38:15 85:15 92:12 93:23 133:1 140:14 162:20 200:10 208:20 218:16 229:14 234:7 247:4 276:18 310:20 321:6 324:1 329:9  <b>stayed</b> [1] 42:1  <b>steering</b> [1] 157:4  <b>step</b> [1] 194:15  <b>Stephanie</b> [1] 242:8  <b>Steve</b> [1] 242:8  <b>still</b> [24] 17:22 31:22 86:20 100:11 102:10 122:8 128:19 166:12 169:10,10 195:12 207:14 209:4 217:6 221:3 231:16 235:9 275:24 324:8,16 325:7 334:13 336:7,9  <b>stopped</b> [2] 43:18 214:17  <b>stored</b> [1] 23:1  <b>story</b> [2] 313:16 316:8  <b>straggles</b> [1] 102:9  <b>straight</b> [1] 201:2  <b>straightforward</b> [1] 272:6  <b>strategy</b> [1] 327:10  <b>streamline</b> [1] 59:5  <b>streamlined</b> [1] 43:14  <b>streams</b> [1] 43:21  <b>stress</b> [2] 195:24 319:6  <b>strong</b> [5] 10:9 42:10 66:25 158:16 318:25  <b>strongly</b> [2] 271:9 298:25  <b>struck</b> [1] 319:3  <b>structure</b> [15] 38:12 40:18 42:21 43:2,4,19 44:15 55:10 58:20 136:12 263:8 267:1 282:10 348:8 348:15  <b>study</b> [3] 14:25 94:6,8  <b>stuff</b> [3] 13:23 19:23 292:11</p>	<p><b>sub-specialization</b> [1] 206:3  <b>subgroup</b> [1] 271:24  <b>subject</b> [21] 52:11 87:21 89:13 104:20 115:24 123:24 124:17 153:7 155:12 172:10 174:9 181:20 221:10 235:6 236:11 240:6 265:1 297:17 298:15 339:9 351:20  <b>subjected</b> [2] 337:10,11  <b>submit</b> [2] 163:15 350:9  <b>submitted</b> [5] 27:12 173:8 182:13 304:16 317:21  <b>submitter</b> [2] 26:22,24  <b>subsequent</b> [1] 134:16  <b>subsequently</b> [3] 19:11 25:22 286:12  <b>subspecialist</b> [3] 272:1 272:8 277:13  <b>subspecialist's</b> [1] 272:8  <b>subspecialization</b> [10] 195:7 258:19 271:14,15 271:20,23 277:7 282:21 290:3 350:20  <b>subspecialize</b> [2] 258:23 262:24  <b>subspecialized</b> [1] 347:19  <b>subspecialty</b> [2] 23:24 258:23  <b>subtracting</b> [1] 332:9  <b>such</b> [14] 24:10 29:25 31:20 37:7 76:15 77:15 77:20 78:19 175:15 218:4 244:7 248:13 253:14 339:7  <b>sufficient</b> [1] 276:6  <b>suggest</b> [6] 126:17 153:22 228:5 272:22 318:20,21  <b>suggested</b> [3] 15:14 118:24 220:2  <b>suggesting</b> [4] 68:19 75:8 113:21 346:7  <b>suggestion</b> [6] 44:13 63:16,24 101:24 163:5 254:7  <b>suggestions</b> [3] 12:21 12:24 13:14  <b>suggests</b> [2] 27:22 247:18  <b>suite</b> [2] 149:24 151:12  <b>summarized</b> [2] 124:21 125:16  <b>summer</b> [2] 121:8 159:7  <b>Sunnybrook</b> [1] 209:11  <b>supervision</b> [1] 347:14  <b>support</b> [1] 25:12  <b>supporting</b> [3] 8:23 204:6 261:20  <b>suppose</b> [3] 41:3 197:25</p>	<p>226:24  <b>supposed</b> [1] 185:4  <b>supposedly</b> [1] 58:21  <b>surely</b> [1] 257:2  <b>surface</b> [1] 187:19  <b>surfaced</b> [1] 76:4  <b>surgeon</b> [5] 179:4,11 301:8 326:8,10  <b>surgeons</b> [13] 25:23 101:14 122:23 297:12 298:7 314:1,20 315:14 322:2,3 326:11 346:20 346:22  <b>surgeries</b> [1] 178:14  <b>surgery</b> [4] 300:16,21 301:9,12  <b>surgical</b> [14] 24:22 25:1 25:4,16 26:3 27:10,19 27:23 39:4 156:6 172:7 185:9 236:12 268:14  <b>surmise</b> [1] 173:25  <b>surprise</b> [1] 353:18  <b>surprised</b> [4] 57:1 292:14,16 339:17  <b>surrogate</b> [1] 84:17  <b>surrounding</b> [12] 44:11 194:9 204:7 211:2 257:12 263:8 271:18,19 282:9 283:4 292:3 316:17  <b>surveillance</b> [1] 275:13  <b>survey</b> [4] 5:16 6:4,11 6:13  <b>surveys</b> [1] 6:2  <b>Susan</b> [7] 219:2,7 220:3 242:9 321:22 331:3,4  <b>switching</b> [1] 283:23  <b>symbols</b> [1] 225:7  <b>synaptophysin</b> [2] 253:15 259:4  <b>system</b> [100] 17:11 29:2 29:21 32:23 35:13 37:15 37:19 38:7,15 44:15 50:9 62:19 66:17 85:5,11,17 85:18,19,24 86:9,22 88:15 90:5,9 91:3 92:10 92:15 93:7 95:9,21 96:8 105:4 117:16 135:14 136:20 137:16 140:22 146:10 147:2,11,13 148:11 154:17 155:3 157:22,23 158:8,25 159:3 159:6,9,11,15,17,18 161:11,11 171:11,18,21 177:10,15 178:22 180:23 184:11 185:5 188:20 190:4 194:22,24 208:17 212:7,9,12,17,24 213:1 213:3,12,18,24 214:9 215:25 227:19 229:15,20 264:7 272:15,20,22 273:6 273:7,12,13,21 308:20 321:20 336:6,13 351:24  <b>systems</b> [7] 87:17 118:3 144:11 159:5,6 181:2 297:4</p>	<p style="text-align: center;"><b>-T-</b></p> <p><b>TABLE</b> [1] 2:1  <b>taking</b> [10] 32:7 41:4 47:2 57:7 169:12 217:2 250:5 337:9 343:4 353:25  <b>Tamoxifen</b> [12] 8:23 11:17 12:4 112:18 124:23 125:3 130:16,23,25 132:2 132:20 134:15  <b>task</b> [2] 118:12 326:13  <b>tasked</b> [1] 246:10  <b>Taylor</b> [1] 299:16  <b>teachings</b> [1] 252:8  <b>tech</b> [3] 35:10 36:21 248:5  <b>technical</b> [33] 13:12 40:20,22 41:1,5,7 43:11 44:13,17 58:22 59:3 62:14 63:7,11 65:4,5 70:24 72:4 190:6 198:1 202:25 203:20 207:18 208:2 211:4 229:19 241:24 254:13 263:1 291:8 292:25 293:2 298:17  <b>technically</b> [1] 248:14  <b>technicians</b> [2] 65:15 65:19  <b>technique</b> [4] 13:13 188:21 248:9 347:11  <b>techniques</b> [1] 79:17  <b>technological</b> [2] 71:7 195:10  <b>technologist</b> [2] 90:16 241:15  <b>technologists</b> [36] 20:15 22:15 56:18 57:8 74:10 75:11,13,19 76:6,15,16 76:22 77:21 78:13 81:22 82:10,12,15,17 90:18 104:3,7 105:16 137:17 197:10,11,18 248:25 262:4 289:24 292:2 300:18 347:10,15 349:2 349:9  <b>technology</b> [5] 70:23 71:13 154:17 155:3 248:7  <b>techs</b> [16] 35:12 36:22 56:1,4,8 59:15 60:2,6,8 60:21 61:2 66:20 137:17 137:22 178:1 249:15  <b>telephone</b> [1] 49:20  <b>telling</b> [14] 72:23 123:20 123:21,22 130:6 136:1 150:15,16 167:18,21 168:8 218:9 313:21 322:9  <b>temperatures</b> [1] 254:19  <b>template</b> [1] 5:16  <b>ten</b> [43] 7:22,22 12:5,7 35:4 63:10 68:22 84:16 92:13 93:24 94:4,7,19 94:21 96:8,20 97:23 98:18 99:23 103:19 112:22,24 113:21 198:19 218:17 224:5,5,6,14,23</p>	<p>224:24,25 225:2,4,8,10 225:11,17 226:2 270:19 332:11 333:13,18  <b>ten-year</b> [1] 8:24  <b>tend</b> [1] 186:18  <b>term</b> [2] 141:20 310:21  <b>terminology</b> [2] 303:22 304:13  <b>terms</b> [62] 8:9 9:19 30:10 43:24 47:22 51:18,19 76:5 93:20 104:7 113:1 116:2,22 121:1 129:5,11 129:12 131:7 137:3,5 140:21 144:4 146:1 149:25 155:17 180:4 181:9,10,16 184:15 187:13 188:6 189:8 208:6 239:6 240:6,7,11,14 241:9,16 252:9 253:11 255:1 257:4 259:21 260:14 288:21 292:13 294:2 296:14 297:6 301:23,24 304:24 320:4 330:8 332:12 333:14 334:7 342:12 344:5  <b>Terry</b> [12] 40:22 62:15 62:17,20 65:10 161:8 162:9 198:15 246:17 323:17 324:15 326:23  <b>tertiary</b> [1] 247:25  <b>test</b> [12] 16:16 21:6 35:3 35:9 71:25 112:20 113:2 139:4 153:22 272:11 294:3,6  <b>tested</b> [7] 62:25 113:9 114:7 139:6 159:14 208:8 208:9  <b>testimony</b> [2] 15:9 272:24  <b>testing</b> [44] 1:2,13 6:4 11:23 12:24 16:14,15 38:3 56:14 69:25 81:8 84:7,13 89:2 92:6 125:19 135:15 136:15,17 138:1 138:3,5 139:19 140:15 180:23 194:15 206:12 212:12 214:17 215:5 216:1,3,5 218:12 230:2 243:20 253:12 271:2 283:20 284:8 289:11,25 337:22 357:4  <b>tests</b> [10] 9:22 10:20 67:3 86:22 147:11 211:3 215:13 253:5 259:3 260:10  <b>text</b> [11] 27:9 74:16 219:10 221:1,12,19 283:18 319:22,24 321:9 331:15  <b>thank</b> [21] 4:4 5:10 12:11 12:16 33:10 50:12 107:12 115:13,20 198:5,12 227:15 264:1 302:2 331:1 345:12 347:25 351:17 355:22 356:10,10  <b>thanks</b> [3] 163:17 237:11 240:9  <b>Theatre</b> [1] 281:8  <b>thee</b> [1] 335:17</p>
--	---	--	---	---

Inquiry on Hormone Receptor Testing

<p><b>theirs</b> [1] 159:18  <b>theme</b> [2] 165:16 190:11  <b>themselves</b> [1] 275:2  <b>therapy</b> [4] 8:24 131:20 331:21,23  <b>there'd</b> [3] 80:25 127:18 339:7  <b>they've</b> [2] 77:4 338:6  <b>thick</b> [3] 268:13,19 270:13  <b>thickness</b> [3] 267:16 268:3 274:3  <b>thinking</b> [18] 16:18 17:3 17:21 18:1 76:2 77:9 78:9,11 87:2 95:18 103:18 116:12 190:7 225:6 332:8 333:3 337:8 337:9  <b>thinks</b> [2] 277:16 278:4  <b>third</b> [13] 7:13,24 9:5,7 9:9 24:23 38:9 59:14 111:20 130:20 315:9 331:16  <b>thought</b> [21] 19:5,6 29:18,19 41:10 43:21 75:5 79:1 89:1 101:17 102:16 133:19 139:17 148:8 152:1 195:20 213:18 224:23 255:3 270:2 335:1  <b>thoughts</b> [3] 74:21,23 81:16  <b>three</b> [40] 6:5 10:11 13:11 50:6 51:21,24 75:11,19 79:13 82:12 104:16 108:8 109:13 117:23 128:1,5 135:11 140:3 142:8,19 158:1 159:22,23 160:2 173:16 176:11 180:16 198:22 199:9 240:13 246:15 250:15 259:9 268:22 272:2,11,12 273:25 284:3 326:5  <b>three-hour</b> [1] 261:11  <b>through</b> [37] 7:20 9:21 10:17 30:9 41:23 53:9 103:13 133:17 136:13 152:9 155:17 164:18,21 173:14 179:6 219:17 221:18 237:18,19 243:23 255:18 256:8 257:15,16 259:2,5,10 260:15,18 265:19 274:21 276:4 288:1 305:5 324:7 325:18 344:6  <b>throughout</b> [6] 217:17 218:10 230:13 340:11 344:15 351:22  <b>thrust</b> [1] 25:12  <b>Thursday</b> [2] 5:24 169:16  <b>ticked</b> [1] 15:14  <b>tightening</b> [1] 348:14  <b>Tilley</b> [13] 36:3 38:8 126:8 140:2 157:9 164:4 181:3 219:8 242:20 251:9 251:12 311:5 321:22</p>	<p><b>Tilley's</b> [1] 128:24  <b>timeframe</b> [1] 63:17  <b>timely</b> [1] 299:7  <b>times</b> [25] 30:1,3,4 32:21 33:3 43:4 47:18 55:23 79:2 109:23 195:18 203:13 208:11 217:8 238:12 239:9 254:19 288:15 293:20 310:8 318:14,22 326:16 344:14 352:3  <b>tissue</b> [48] 22:17 25:2 27:17 120:3,3 131:1 158:12,14 160:22 168:3 168:9 173:4,22,24 174:1 175:7,14 179:1,9 203:14 204:2,5,7,9 257:3,11 267:16 268:13,23 274:1 274:4,14,18,24,25 275:14 276:3 289:10,16 300:16 301:25 341:18 342:4 343:3,4,6 344:2 345:23  <b>titration</b> [1] 194:17  <b>to-do</b> [1] 35:18  <b>today</b> [13] 6:2 31:22 74:9 81:1,4 118:22 180:21 209:4 245:5,7 300:1 331:11 352:13  <b>together</b> [4] 116:19 128:2 327:10 328:9  <b>Tom</b> [4] 192:17 193:7 195:21,24  <b>tomorrow</b> [2] 62:18 231:17  <b>too</b> [9] 59:6 78:14 142:24 144:23 203:13 262:3 273:12 318:25 349:16  <b>took</b> [8] 25:20 203:25 204:7 243:7 262:6 264:19 281:7 320:25  <b>top</b> [8] 8:3 10:6 172:12 183:5 263:18 299:13 309:7 319:22  <b>topic</b> [2] 26:10 139:20  <b>total</b> [5] 111:17 304:25 305:7 324:25 350:7  <b>totally</b> [1] 61:25  <b>totals</b> [1] 304:25  <b>touch</b> [3] 195:21 196:23 197:2  <b>toward</b> [3] 10:17 62:23 153:19  <b>towards</b> [4] 8:25 71:10 83:19 316:2  <b>town</b> [4] 48:9,12 191:22 289:16  <b>track</b> [6] 183:17 274:25 325:23 326:12,17,19  <b>tracked</b> [2] 325:23 326:2  <b>Tracy</b> [2] 172:3 173:11  <b>traditionally</b> [1] 46:25  <b>train</b> [4] 78:23 129:8 130:9,11  <b>trained</b> [9] 39:2 75:13 76:16 77:2,4 79:15 250:15 272:1,3</p>	<p><b>training</b> [5] 37:6 77:9 78:4,8 129:12  <b>transcribe</b> [2] 144:18 145:7  <b>transcribed</b> [2] 143:5 357:9  <b>transcript</b> [1] 357:3  <b>transcription</b> [1] 171:22  <b>transferring</b> [1] 208:16  <b>transmission</b> [2] 236:9 344:23  <b>transmitted</b> [1] 25:15  <b>transportation</b> [1] 301:19  <b>transported</b> [1] 179:14  <b>treat</b> [3] 134:1,1 338:2  <b>treated</b> [9] 98:19 99:5 100:25 107:18 114:22 132:7,8,11 133:6  <b>treating</b> [2] 101:11 133:9  <b>treatment</b> [8] 131:19,23 132:10 145:19 166:25 195:4 297:6 346:19  <b>trend</b> [2] 173:17,20  <b>trends</b> [2] 195:6 258:25  <b>tried</b> [4] 42:9 193:12 205:5 210:8  <b>trim</b> [1] 204:2  <b>trimmed</b> [1] 204:9  <b>Trip</b> [1] 52:11  <b>Trish</b> [13] 36:23 234:13 234:14 241:12,14,23 244:23 290:23 291:7 292:19 294:1 350:4 352:21  <b>trouble</b> [5] 151:23 257:13 322:8 337:17 339:18  <b>troubleshoot</b> [1] 65:16  <b>troubleshooting</b> [3] 75:15 77:20 289:25  <b>true</b> [2] 85:2 357:3  <b>truth</b> [3] 20:4 71:19 339:6  <b>try</b> [13] 25:13 28:15 32:18 42:7 55:11 59:4 135:2 230:21,24 298:2 326:18 328:7 330:21  <b>trying</b> [22] 29:7 32:17 47:4 87:13 96:13,13 125:2,4 140:21 143:6,10 149:25 151:18 170:3 216:20 258:17 301:7 314:17 326:12 328:1 330:17 332:10  <b>tubular</b> [2] 68:24 186:17  <b>Tuesday</b> [1] 231:20  <b>tumorous</b> [1] 344:2  <b>tumour</b> [16] 30:8,13 108:18 162:16 172:24 195:3 239:2 257:12 297:14 337:10 342:24 344:3,15,18,20 345:14  <b>turn</b> [2] 208:11 266:24  <b>turn-around</b> [1] 47:18</p>	<p><b>turnaround</b> [4] 109:22 142:21 170:12 352:3  <b>turnover</b> [2] 281:16 282:24  <b>turns</b> [2] 134:12,13  <b>twice</b> [1] 327:25  <b>two</b> [69] 7:24 8:8 10:21 15:13 39:24 40:19 43:21 43:23 44:1 45:1 55:21 55:24 57:10,12 58:13 61:16 67:2 68:1 71:12 82:12 108:24 111:21 112:1 126:18,19 128:5 159:5 161:22 163:2 165:2 167:4 173:16 176:11 177:22 195:14 197:6 202:20 217:11 237:5 240:10 244:23 246:14,15 248:17,24 252:23 259:9 259:9 260:22 265:10 268:6,12,18,24 270:12 272:2 273:11 284:3 294:8 295:2 307:21 326:14 330:10 334:18 337:6 338:17,18 340:19 343:21  <b>type</b> [8] 13:7 44:14 173:20 216:2 259:19 305:16 339:10 342:10  <b>typed</b> [8] 55:22 74:2 126:6 139:10 140:1 180:11 212:3 329:20  <b>types</b> [5] 6:22 49:7 143:12 175:9 195:2</p>	<p>352:25  <b>unable</b> [1] 295:22  <b>unchanged</b> [1] 220:6  <b>uncomfortable</b> [1] 38:20  <b>uncovered</b> [1] 56:20  <b>undated</b> [2] 112:14 332:16  <b>under</b> [18] 4:13 23:10 27:8 41:8 44:17 45:3 85:6 130:14 139:19 147:11 244:23 268:17 283:18 291:9,24 293:3 295:6 312:9  <b>undergoing</b> [1] 84:13  <b>understand</b> [8] 26:7 70:18 101:5 121:12 285:24 302:3 336:16 355:24  <b>understood</b> [8] 54:23 69:18 132:9 204:12 225:25 334:7 337:17 343:19  <b>undifferentiated</b> [3] 30:7,13 186:15  <b>undue</b> [1] 166:6  <b>uneven</b> [2] 344:15,18  <b>unfair</b> [1] 318:21  <b>unfortunate</b> [1] 273:8  <b>unintelligible</b> [3] 355:14 355:15,20  <b>union</b> [1] 197:11  <b>unions</b> [1] 79:10  <b>unique</b> [1] 323:2  <b>unknown</b> [2] 213:24,24  <b>unless</b> [2] 10:8 263:15  <b>unlikely</b> [1] 272:15  <b>unmasking</b> [1] 254:15  <b>unopened</b> [1] 235:10  <b>unprecedented</b> [1] 118:12  <b>unsectioned</b> [1] 173:2  <b>unusual</b> [3] 323:1 326:4 326:13  <b>up</b> [117] 4:11,12 9:2 12:4 17:14,21 18:24 19:21 25:20 26:2 27:4 28:8 30:10 36:23 37:10 48:10 51:3 54:8 57:25 66:21 70:6 82:7,13 86:8 87:11 93:6 96:16,18 99:13 100:8 102:5,15,18 113:19 133:3 139:20 142:7,13 142:18 149:6 153:8 155:12 159:1,14 163:1 165:16,17 169:16 173:18 174:9 177:21 179:6 190:2 194:13 195:17 197:22 198:5 200:17 206:19 208:8 211:15 212:23 217:3 225:9 228:17 232:21 233:2 238:25 239:4,23 244:18 246:8 249:20,23 252:11,24 253:1,3 254:5 256:15 258:4,19,24 260:24 262:2</p>
--	--	--	---	---

-U-



<p>262:17 269:20 277:9 282:22 290:7,15 298:2 299:12,22 302:8,11,11 304:1 306:6 311:22 312:11,18 315:21 325:8 326:5 328:2 334:8 335:25 336:8,14 337:14 339:13 345:24,24 346:9 348:14 352:20</p> <p><b>update</b> [13] 35:25 126:12 130:14 165:13 193:20 194:6,8 197:7 234:1 243:18 323:17,25 325:17</p> <p><b>updated</b> [5] 218:2 219:15 221:16 231:7 313:10</p> <p><b>updates</b> [2] 41:20 140:18</p> <p><b>Updating</b> [1] 313:23</p> <p><b>upgrading</b> [1] 208:13</p> <p><b>upheaval</b> [1] 283:2</p> <p><b>upset</b> [5] 23:17,18 40:17 41:24 319:1</p> <p><b>urgent</b> [8] 35:9 36:9,11 49:24 336:5,24 337:19 338:2</p> <p><b>used</b> [16] 4:18 65:14 67:16 99:23 101:12 129:12 134:1 141:4 159:23,23 160:2 170:10 213:17,23 241:17 350:16</p> <p><b>using</b> [30] 6:22 61:21,23 84:11,16,23,25 85:2 90:21 94:7,10,24,25 95:2 96:16,20 100:5 101:18 101:25 105:3 118:5 149:11 156:25 158:24 182:12 195:4 253:16 321:7 332:5 334:8</p> <p><b>usually</b> [3] 186:16 293:1 328:8</p> <p><b>utilization</b> [2] 30:18 83:2</p> <p><b>utilized</b> [1] 241:9</p> <p><b>utilizes</b> [1] 159:4</p> <p><b>utilizing</b> [4] 100:11,11 102:10 103:24</p>	<p><b>varied</b> [1] 187:21</p> <p><b>variety</b> [3] 133:6 154:18 247:14</p> <p><b>various</b> [28] 5:17 13:20 32:19,24 33:6 74:24 79:9 81:18 82:13 116:15 129:10,13,22 132:3 143:12 212:22 217:4 223:23 227:12 230:12 247:15 259:2 260:15,19 292:5 310:10 318:12 328:1</p> <p><b>vary</b> [2] 72:1,6</p> <p><b>varying</b> [2] 173:23 187:15</p> <p><b>Ventana</b> [66] 7:16 9:11 11:1 13:11 37:19 38:6 50:8 62:15 65:11,12 66:17 69:3,6 84:23 85:2 85:11,19,24 86:7,8,22 87:17 88:15 92:14 93:16 95:8,20,21 96:8 105:3 114:20 146:10 147:1,12 156:22 157:22 158:8,25 159:3 161:10,17 181:2,5 194:24,25 208:17 212:7 212:9,12,17 213:1,3,12 213:18 214:9 215:25 227:19 229:14,20 273:12 273:13,21 284:20 351:24 352:5,10</p> <p><b>Ventana's</b> [1] 180:22</p> <p><b>verbally</b> [2] 75:2 200:18</p> <p><b>verified</b> [1] 216:2</p> <p><b>verify</b> [2] 108:18 171:19</p> <p><b>vernacular</b> [1] 333:12</p> <p><b>version</b> [12] 55:22 74:17 126:6 135:11 139:10 140:1 180:11 212:2,3 221:20 236:16 329:20</p> <p><b>versus</b> [1] 85:15</p> <p><b>vice</b> [5] 92:23 149:24 295:24 323:3 347:24</p> <p><b>view</b> [21] 18:24 55:11 72:12 83:11,17 91:8 109:6 119:17,17,22 121:14,22,24 123:8 124:1 152:20 195:25 271:1,4 294:17 342:4</p> <p><b>views</b> [3] 42:20 119:13 270:5</p> <p><b>visit</b> [3] 244:23 252:21 261:9</p> <p><b>visited</b> [1] 269:8</p> <p><b>voice</b> [2] 121:21,24</p> <p><b>voiced</b> [2] 121:14 122:19</p> <p><b>voicing</b> [1] 138:20</p> <p><b>VP</b> [4] 140:17,18 246:21 349:18</p>	<p><b>watch</b> [1] 300:12</p> <p><b>Watters</b> [1] 156:4</p> <p><b>ways</b> [3] 28:10 46:25 47:4</p> <p><b>weak</b> [1] 62:23</p> <p><b>web</b> [1] 4:13</p> <p><b>website</b> [1] 331:10</p> <p><b>Wednesday</b> [1] 231:20</p> <p><b>week</b> [15] 6:7 108:7 109:11 120:6,9 142:21 162:14 163:14 178:11 180:19 231:20 237:8 265:10 328:1 329:14</p> <p><b>weekend</b> [11] 162:9 173:2 175:8,9 178:9,14 179:15,23 298:23 301:4 356:11</p> <p><b>weekends</b> [2] 174:2 178:11</p> <p><b>weeks</b> [15] 8:9 77:11,14 108:8 109:13 126:12,18 126:19 128:1 142:9 195:14 202:20 218:2 219:14 221:16</p> <p><b>Wegrynowski</b> [10] 36:23 234:14 241:12,14 241:23 290:23 294:1,12 294:17 350:4</p> <p><b>Wegrynowski's</b> [2] 292:19 352:21</p> <p><b>weigh</b> [1] 355:17</p> <p><b>Western</b> [2] 1:16 242:9</p> <p><b>whatnot</b> [15] 32:13,25 47:4 53:20 129:10,22 140:19 175:15 208:7 214:19 250:14 259:1,4 301:10 337:16</p> <p><b>whereas</b> [1] 338:13</p> <p><b>whereby</b> [4] 36:18 177:11 247:6 249:11</p> <p><b>wherever</b> [1] 107:9</p> <p><b>whichever</b> [1] 209:12</p> <p><b>whole</b> [12] 41:22 118:7 131:7 169:8 192:2 211:2 211:12 245:14 246:5 275:18 320:20 324:15</p> <p><b>wide</b> [3] 133:11 272:22 273:7</p> <p><b>widely</b> [1] 43:24</p> <p><b>wider</b> [4] 60:21,22 61:1 61:1</p> <p><b>Williams</b> [96] 5:25 12:19 12:24 13:15,17,21,25 14:13 24:19 25:25 37:24 44:7 55:21 58:4 59:12 61:6 73:21 74:23 79:2 84:1 87:15 88:22 89:13 91:19 97:12 107:14 112:14,15 115:23 122:17 123:7 126:10 128:23 140:14 147:3 150:13,15 150:18 161:9 170:16 180:10,13 194:7 215:22 216:11 217:18 218:24 219:9 220:9,16 221:11 234:16,23 237:13 238:5 238:13,18 239:6,14,21</p>	<p>240:5,17 246:12,20,21 251:7 260:25 262:18 265:23 266:5,14 267:7 281:6 291:23,25 294:16 296:22 298:14 311:7 321:24 326:25 327:5 329:21 332:5 333:1,12 335:10 344:24 347:6 348:12 349:12,22 350:2 350:9 351:4,19</p> <p><b>Williams'</b> [16] 68:2 126:4 139:15 211:25 214:12 236:10 238:20 241:19 242:7 243:7 244:17 295:12 310:14 331:8 332:4 333:24</p> <p><b>wish</b> [8] 38:1 114:24 217:20 219:10,11 221:12 222:2 285:21</p> <p><b>wished</b> [1] 23:18</p> <p><b>withdraw</b> [1] 38:1</p> <p><b>within</b> [27] 25:24 28:21 38:12,12,17 40:19 42:1 43:15 51:23 53:19 55:11 57:23 58:9 78:24 83:21 91:2 123:2 136:4 138:19 190:8 218:1 219:14 221:15 265:9,10,24 268:14</p> <p><b>without</b> [8] 6:17 23:4 32:17 41:10 47:2 120:18 236:18 298:24</p> <p><b>witness</b> [1] 354:7</p> <p><b>witnesses</b> [1] 354:8</p> <p><b>wold</b> [1] 295:6</p> <p><b>women</b> [3] 85:7 112:18 112:20</p> <p><b>wondering</b> [2] 114:12 225:5</p> <p><b>Woodland</b> [1] 1:7</p> <p><b>word</b> [7] 221:19,19 236:4 281:12,12 318:23 350:16</p> <p><b>wording</b> [1] 118:24</p> <p><b>words</b> [6] 86:9 123:15 171:21 222:5,11,17</p> <p><b>work-a-day</b> [1] 141:14</p> <p><b>worked</b> [7] 5:23 28:22 151:10 152:12 191:20,20 226:13</p> <p><b>workload</b> [4] 128:19 208:7 215:8 283:3</p> <p><b>works</b> [1] 314:11</p> <p><b>world</b> [3] 141:5,13,14 12:24 13:15,17,21,25 <b>worried</b> [2] 41:3 350:15</p> <p><b>write</b> [11] 52:12 86:4 91:22 142:4 144:16 182:9 235:7 246:23 249:5 298:15 347:6</p> <p><b>writes</b> [8] 12:20 84:3 219:9 236:13 237:6 240:7 283:19 296:11</p> <p><b>writing</b> [4] 143:17 202:9 261:19 326:25</p> <p><b>written</b> [17] 13:18 46:18 46:24 97:23 98:12 106:2 161:16 164:19 169:14 172:18 179:19 180:2</p>	<p>200:16 214:2 244:2 246:1 248:1</p> <p><b>wrong</b> [3] 71:25 140:22 239:2</p> <p><b>wrote</b> [1] 86:12</p>
<p align="center"><b>-V-</b></p> <p><b>v</b> [1] 45:21</p> <p><b>vacation</b> [3] 48:6,15 191:22</p> <p><b>vacations</b> [1] 337:15</p> <p><b>vaguely</b> [1] 196:11</p> <p><b>validate</b> [3] 50:8 213:17 213:24</p> <p><b>validated</b> [3] 35:13,14 37:15</p> <p><b>validation</b> [6] 212:24 213:8,11,15 214:3 216:5</p> <p><b>value</b> [1] 11:24</p> <p><b>variability</b> [3] 6:23 194:22 341:2</p> <p><b>variable</b> [1] 256:10</p> <p><b>variation</b> [2] 6:25 100:2</p> <p><b>variations</b> [1] 100:3</p>		<p align="center"><b>-W-</b></p> <p><b>wait</b> [4] 121:15 122:1,24 140:2</p> <p><b>waiting</b> [1] 56:13</p> <p><b>wanting</b> [3] 206:3 289:7 295:23</p>	<p align="center"><b>-Y-</b></p> <p><b>year</b> [8] 8:12 42:15 82:12 86:23 187:14 212:12 251:22 302:25</p> <p><b>years</b> [28] 8:17,18,20 12:5,7 29:6 30:13 31:14 52:24 79:19 83:1 102:7 163:12,15 175:23 176:3 176:19 198:21 199:15 200:1 229:7 235:15 250:23 283:1 305:5 306:4 324:2 352:10</p> <p><b>yesterday</b> [8] 5:15 15:9 33:17 72:24 180:15 272:24 277:19 325:19</p> <p><b>yet</b> [3] 70:1 114:2 311:24</p> <p><b>young</b> [2] 78:22 81:22</p> <p><b>yourself</b> [66] 5:25 12:20 13:15,16 24:19 34:4,5 37:23 41:13 45:19 49:19 52:10 54:7 61:6 68:4 84:1,22 89:11 91:20 107:15 108:9 115:23 124:11 126:9 131:6 133:19 135:6 139:11 147:5 156:1 161:21 162:21,21 163:3 172:9 181:19 198:15 216:10 217:12,18 219:8 221:10 233:21 235:5 236:10 237:6 238:3,5 240:5 246:20 265:1 296:6 298:14 311:6 325:15 326:24 328:14 330:1 334:20,21,23 344:24 347:1 349:23 350:11 351:19</p>	<p align="center"><b>-Z-</b></p> <p><b>zero</b> [5] 30:16 71:2 132:7 132:16 304:1</p>